


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

 In the Matter of : DOCKET NO. 970001-EI
 :
 Fuel and purchased power :
 cost recovery clause and :
 generating performance :
 incentive factor. :



VOLUME 2

Pages 173 through 291

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN JULIA L. JOHNSON
 COMMISSIONER SUSAN F. CLARK
 COMMISSIONER JOE GARCIA

DATE: Thursday, August 14, 1997

TIME: Commenced at 9:30 a.m.

PLACE: Betty Easley Conference Center
 Room 148
 4075 Esplanade Way
 Tallahassee, Florida

REPORTED BY: JOY KELLY CSR, RPR
 Chief, Bureau of Reporting
 H. RUTHE POTAMI, CSR, RPR
 Official Commission Reporters

APPEARANCES:

(As heretofore noted.)

DOCUMENT NUMBER-DATE

08400 AUG 20 97

FPSC-REGS-REPORTING

1	NUMBER	ID.	ADMTD.
2	17 DBZ-1	291	291
3	18 DBZ-2	291	291
4	19 RS-1	291	291
5	20 RS-2	291	291
6	21 RS-3	291	291
7	22 KMD-1	291	291
8	23 KMD-2	291	291
9	24 GMB-3	291	291
10	25 KMD-3	291	291
11	26 MFO-1	291	291
12	27 MFO-2	291	291
13	28 MWH-2	291	291
14	29 SDC-1	291	291
15	30 SDC-2	291	291
16	31 GDF-1	291	291
17	32 GDF-2	291	291
18	33 KAB-1	291	291
19	34 KAB-2	291	291
20	35 KAB-3	291	291
21	36 KAB-4	291	291
22	37 GAK-1	291	291
23	38 GAK-2	291	291
24	39 GAK-3	291	291
25	40 CRB-1	291	291

P R O C E E D I N G S

1
2 (Transcript follows in sequence from
3 Volume 1.)

4 CHAIRMAN JOHNSON: I think we're to Gulf
5 Power's witness. Is it Mr. Howell?

6 MR. STONE: That is correct. For the
7 record, Mr. Howell was present earlier when the
8 witnesses were sworn.

9 - - - - -

10 M. W. HOWELL

11 was called as a witness on behalf of Gulf Power
12 Company and, having been duly sworn, testified as
13 follows:

D I R E C T E X A M I N A T I O N

14
15 BY MR. STONE:

16 Q Would you please state your name for the
17 record?

18 A Name is M. W. Howell.

19 Q And are you the same M. W. Howell who
20 prefiled direct testimony dated June 23, 1997?

21 A Yes.

22 Q Do you have any changes or corrections to
23 that prefiled direct testimony consisting of 17 pages?

24 A No.

25 Q If I were to ask you the questions contained

1 in that testimony, would your responses be the same?

2 A Yes.

3 MR. STONE: Chairman Johnson --

4 CHAIRMAN JOHNSON: I'm sorry. You said
5 17 pages?

6 MR. STONE: I am referring to his prefiled
7 direct testimony dated June 23. There was an earlier
8 set of testimony, a true-up testimony, that has
9 previously been stipulated into the record that may
10 have a different page count.

11 CHAIRMAN JOHNSON: You're right. I think
12 they probably forwarded me the wrong copy. Staff, do
13 you have a extra copy of Mr. Howell's?

14 MS. PAUGH: Of his testimony?

15 CHAIRMAN JOHNSON: Yes.

16 MS. PAUGH: I don't.

17 CHAIRMAN JOHNSON: Go ahead. 1 through 17.

18 COMMISSIONER GARCIA: That's including the
19 exhibits, right?

20 MR. STONE: I hadn't gotten to the exhibits,
21 but there are exhibits attached to the back of
22 June 23, yes.

23 WITNESS HOWELL: We've got, I think, an
24 extra copy if all three of the Commissioners do not
25 have a copy at this time.

1 **CHAIRMAN JOHNSON:** I'm probably the only
2 one.

3 **WITNESS HOWELL:** Hold on for just a second.

4 (Pause)

5 **CHAIRMAN JOHNSON:** Now, did you say there
6 were going to be some corrections?

7 **MR. STONE:** We ascertained that there were
8 no corrections. I believe that's correct, isn't it,
9 Mr. Howell?

10 **WITNESS HOWELL:** There are no corrections;
11 that is correct.

12 **CHAIRMAN JOHNSON:** Okay.

13 **MR. STONE:** For the sake of clarity, I would
14 ask that his entire testimony be inserted into the
15 record as though read; but for purposes of these
16 issues we're focusing on that portion of his testimony
17 that begins at Page 12 at Line 17 and continues
18 through the end of his testimony on Page 17.

19 **CHAIRMAN JOHNSON:** Okay.

20 **Q** **(By Mr. Stone)** Mr. Howell, you also have
21 an exhibit that's referred to in that portion of your
22 testimony that was identified MWH-2; is that correct?

23 **A** Yes.

24 **MR. STONE:** May we have that exhibit
25 identified for the record?

1 **CHAIRMAN JOHNSON:** I have an MWH-1 and an
2 MWH-2.

3 **MR. STONE:** Your preference. MWH-1 refers
4 to the stipulated issues, and you had not given
5 numbers to those yet, so MWH-2 is the part that he'll
6 be referring to in this --

7 **CHAIRMAN JOHNSON:** Okay. We'll identify
8 MWH-2 as Exhibit 8.

9 (Exhibit 8 marked for identification.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

GULF POWER COMPANY

Before the Florida Public Service Commission
Direct Testimony of
M. W. Howell
Docket No. 970001-EI
Date of Filing: June 23, 1997

1
2
3
4
5
6 Q. Please state your name, business address and occupation.

7 A. My name is M. W. Howell, and my business address is 500
8 Bayfront Parkway, Pensacola, Florida 32520. I am
9 Transmission and System Control Manager for Gulf Power
10 Company.

11
12 Q. Have you previously testified before this Commission?

13 A. Yes. I have testified in various rate case,
14 cogeneration, territorial dispute, planning hearing,
15 fuel clause adjustment, and purchased power capacity
16 cost recovery dockets.

17
18 Q. Please summarize your educational and professional
19 background.

20 A. I graduated from the University of Florida in 1966 with
21 a Bachelor of Science Degree in Electrical Engineering.
22 I received my Masters Degree in Electrical Engineering
23 from the University of Florida in 1967, and then joined
24 Gulf Power Company as a Distribution Engineer. I have
25 since served as Relay Engineer, Manager of Transmission,

1 Manager of System Planning, Manager of Fuel and System
2 Planning, and Transmission and System Control Manager.
3 My experience with the Company has included all areas of
4 distribution operation, maintenance, and construction;
5 transmission operation, maintenance, and construction;
6 relaying and protection of the generation, transmission,
7 and distribution systems; planning the generation,
8 transmission, and distribution system additions; bulk
9 power interchange administration; overall management of
10 fuel planning and procurement; and operation of the
11 system dispatch center.

12 I am a member of the Engineering Committees and
13 the Operating Committees of the Southeastern Electric
14 Reliability Council and the Florida Reliability
15 Coordinating Council, and have served as chairman of the
16 Generation Subcommittee of the Edison Electric Institute
17 System Planning Committee. I have served as chairman or
18 member of many technical committees and task forces
19 within the Southern electric system, the Florida
20 Electric Power Coordinating Group, and the North
21 American Electric Reliability Council. These have dealt
22 with a variety of technical issues including bulk power
23 security, system operations, bulk power contracts,
24 generation expansion, transmission expansion,
25 transmission interconnection requirements, central

1 dispatch, transmission system operation, transient
2 stability, underfrequency operation, generator
3 underfrequency protection, and system production
4 costing.

5

6 Q. What is the purpose of your testimony in this
7 proceeding?

8 A. The purpose of my testimony is to support Gulf Power
9 Company's projection of purchased power recoverable
10 costs for energy purchases and sales for the period
11 October, 1997 - March, 1998. I will also support the
12 Company's projection of purchased power capacity costs
13 for the October, 1997 - September, 1998 annual recovery
14 period. Finally, in response to economy energy pricing
15 and cost recovery issues raised by the Florida Public
16 Service Commission's Staff, I will discuss the changes
17 to the Southern electric system's pricing of economy
18 energy as related to the Federal Energy Regulatory
19 Commission's (FERC) Orders 888 and 888-A.

20

21 Q. Have you prepared an exhibit that contains information
22 to which you will refer in your testimony?

23 A. Yes. I have two exhibits to which I will refer. These
24 exhibits were prepared under my supervision and
25 direction.

1 Counsel: We ask that Mr. Howell's exhibits
2 MWH-1 and MWH-2 be marked for
3 identification as
4 Exhibit _____ (MWH-1) and
5 Exhibit 8 (MWH-2).
6

7 Q. What is Gulf's projected purchased power recoverable
8 cost for energy purchases for the October, 1997 - March,
9 1998 recovery period?

10 A. Gulf's projected recoverable cost for energy purchases,
11 shown on line 12 of Schedule E-1 of the fuel filing, is
12 \$6,609,297. These purchases result from Gulf's
13 participation in the coordinated operation of the
14 Southern electric system power pool. This amount is
15 used by Gulf's witness Susan Cranmer as an input in the
16 calculation of the fuel and purchased power cost
17 adjustment factor.

18

19 Q. What is Gulf's projected purchased power fuel cost for
20 energy sales for the October, 1997 - March, 1998
21 recovery period?

22 A. The projected fuel cost for energy sales, shown on line
23 18 of Schedule E-1, is \$13,588,600. These sales also
24 result from Gulf's participation in the coordinated
25 operation of the Southern electric system power pool.

1 This amount is used by Gulf's witness Susan Cranmer as
2 an input in the calculation of the fuel and purchased
3 power cost adjustment factor.

4

5 Q. Has Southern made any changes to the Intercompany
6 Interchange Contract (IIC) that was used in the most
7 recent recovery factor adjustment proceedings?

8 A. Yes. The Southern electric system has filed Amendment
9 No. 8 and Amendment No. 9 to the IIC. These amendments,
10 filed with the FERC on March 5, 1997 and June 6, 1997,
11 respectively, will enhance the system's energy and
12 capacity pricing and enable the system to more readily
13 compete in a market-based environment.

14

15 Q. Will these amendments have any effect on Gulf's
16 customer's rates?

17 A. Yes. Both amendments will reduce the rates that our
18 customers pay.

19

20 Q. What are the key features of the two new IIC amendments
21 as related to energy?

22 A. For a number of years, the Southern electric system has
23 dispatched its generating units using marginal
24 replacement fuel costs, but the pricing of energy was
25 based on blended (long-term contracts plus spot fuel)

1 costs. IIC Amendment No. 8 and Amendment No. 9 will not
2 change the way system units are dispatched, but will
3 affect how energy from the units is priced.

4 Amendment No. 8, accepted by the FERC on May 2,
5 1997, has changed the Southern electric system's non-
6 associated pool interchange energy pricing for
7 opportunity (economy) sales. Prior to Amendment No. 8,
8 when Southern made an economy sale to an off-system,
9 non-associated company, the system operating company
10 that supplied more energy than its load ratio obligation
11 in a given hour sold the excess energy to the pool at a
12 rate based on blended replacement fuel costs. Amendment
13 No. 8 changed this rate to one based on marginal
14 replacement fuel costs. However, all other energy
15 pricing, including pool interchange and all Unit Power
16 transactions, will continue to use blended replacement
17 fuel costs.

18 Under Amendment No. 9, when each operating company
19 supplies pool energy for purchase by the other operating
20 companies to serve their territorial load requirements,
21 it will be based upon marginal pricing.

22
23 Q. Will either Amendment affect Gulf's pool capacity
24 transactions?

25 A. Yes. Amendment No. 9 will also modify the IIC's

1 capacity pricing of shared reserves by incorporating the
2 use of monthly capacity worth factors in the monthly
3 capacity rate calculation. These factors, derived
4 primarily from system reliability studies, are used to
5 allocate annual capacity costs over those months when
6 capacity is most valuable to the customers of the
7 operating companies.

8

9 Q. Has Gulf incorporated these new amendments into its
10 projections of energy transactions for the October,
11 1997-March, 1998 recovery period that is being submitted
12 for approval by the Commission in this proceeding?

13 A. Yes. Because IIC Amendment No. 8 has been accepted for
14 filing by the FERC, Gulf has incorporated its pricing
15 provision into its energy cost projections. Amendment
16 No. 9 has been incorporated into Gulf's energy cost
17 projections beginning January 1, 1998 to coincide with
18 our requested effective filing date for the amendment.
19 If final FERC acceptance of Amendment No. 9 is delayed,
20 and the Southern electric system decides to base its
21 actual monthly IIC territorial energy billing
22 transactions upon the current blended replacement fuel
23 costs, Gulf will reflect the resulting differences in
24 the true-up filing for the period.

25

1 Q. Has Gulf incorporated Amendment No. 9's capacity related
2 modification into its projections of IIC capacity
3 transactions for the October, 1997 - September, 1998
4 recovery period that is being submitted for approval by
5 the Commission in this proceeding?

6 A. Yes. Beginning January 1, 1998, the amendment's new
7 capacity pricing has been incorporated into Gulf's
8 capacity cost projections. If final FERC acceptance of
9 Amendment No. 9 is delayed and we decide to base monthly
10 IIC capacity billing transactions upon the current IIC,
11 Gulf will reflect the resulting differences in the true-
12 up filing for the period.

13
14 Q. Which power contracts produce capacity transactions that
15 are recovered through Gulf's purchased power capacity
16 cost recovery factors?

17 A. The two primary power contracts that produce recoverable
18 capacity transactions through Gulf's purchased power
19 capacity recovery factors are the Southern electric
20 system's Intercompany Interchange Contract and Gulf's
21 cogeneration capacity purchase contract with Monsanto
22 Company. The Commission has authorized the Company to
23 include capacity transactions under IIC for recovery
24 through the purchased power capacity cost recovery
25 factors. Gulf will continue to have IIC capacity

1 transactions during the October, 1997 - September, 1998
2 recovery period. The energy transactions under this
3 contract for these periods are handled for cost recovery
4 purposes through the fuel cost recovery factors.

5 The Gulf Power/Monsanto cogeneration capacity
6 contract enables Gulf to purchase 19 megawatts of firm
7 capacity from June 1, 1996 until June 1, 2005. Gulf has
8 included these costs for recovery during the October,
9 1997 - September, 1998 recovery period. The energy
10 transactions under this contract have also been approved
11 by the Commission for recovery, and these costs are
12 handled for cost recovery purposes through the fuel cost
13 recovery factors.

14
15 Q. Are there any other arrangements that produce capacity
16 transactions that are recovered through Gulf's purchased
17 power capacity cost recovery factors?

18 A. Yes. Gulf and other Southern electric system operating
19 companies have purchased short-term market capacity for
20 the summer of 1998. Gulf also expects to make
21 additional market purchases of capacity for the summer
22 of 1998, but it is not known at this time what these
23 might be. Any actual costs incurred but not projected
24 will be included in a future true-up filing.

25

1 Q. Besides Amendment No. 9 which you discussed earlier,
2 have there been any other changes to the IIC with regard
3 to capacity transactions since the last recovery factor
4 adjustment proceedings?

5 A. Yes. On November 1, 1996, in accordance with both the
6 contract and the requirements of the FERC, the Southern
7 electric system made its annual IIC informational filing
8 with the FERC. The informational filing reflects
9 updated historical load responsibility ratios, expected
10 system load, and the capacity resource amounts for the
11 1997 budget cycle that are used in the IIC capacity
12 equalization calculation to determine the capacity
13 transactions and costs for each operating company.
14 All of these changes are reflected in the projection of
15 capacity transactions among the Southern electric
16 system's operating companies for the October, 1997
17 -September, 1998 recovery period.

18

19 Q. What are Gulf's IIC capacity transactions that are
20 projected for the October, 1997 - September, 1998
21 recovery period?

22 A. As shown on my exhibit MWH-1, capacity transactions
23 under the IIC vary during each month of the annual
24 recovery period. IIC capacity purchases in the amount
25 of \$2,398,766 are projected for the period. IIC

1 capacity sales during the same period are projected to
2 be \$1,591,874. Therefore, the Company's net capacity
3 transactions under the IIC for the period are net
4 purchases amounting to \$806,892. This is significantly
5 lower than the net purchases of \$10,735,529 which were
6 projected for the period October, 1996 - September,
7 1997.

8

9 Q. What is the cost of Gulf's capacity purchase from
10 Monsanto that is projected for the October, 1997 -
11 September, 1998 recovery period?

12 A. As shown on my exhibit MWH-1, Gulf is projected to pay
13 \$746,424, or \$62,202 per month, to Monsanto for firm
14 capacity purchases made pursuant to the Commission
15 approved contract.

16

17 Q. What is the cost of Gulf's market capacity purchases
18 that is projected for the October, 1997 - September,
19 1998 recovery period?

20 A. As shown on my exhibit MWH-1, Gulf is projected to pay a
21 total of \$288,353 for the committed market capacity
22 purchases. Capacity in varying amounts will be
23 purchased during the months of June through September of
24 1998. The individual suppliers and megawatt amounts are
25 not shown, since this is highly sensitive and

1 confidential information. Public availability of this
2 information would seriously undermine our competitive
3 position and cause our customers increased cost.
4

5 Q. What are Gulf's total projected net capacity
6 transactions for the October, 1997- September, 1998
7 recovery period?

8 A. As shown on my exhibit MWH-1, the net purchases under
9 the IIC, the Monsanto contract, and the committed market
10 capacity purchases will result in a projected net
11 capacity cost of \$1,841,669. This annual figure is used
12 by Ms. Cranmer as an input into the calculation of the
13 total capacity transactions to be recovered through the
14 purchased power capacity cost recovery factors for this
15 twelve month recovery period.
16

17 Q. Earlier in your testimony, you indicated that in
18 response to economy energy pricing and cost recovery
19 issues raised by the Commission's Staff, you would
20 discuss the changes to the Southern electric system's
21 pricing of economy energy as related to FERC Orders 888
22 and 888-A.

23 A. Yes, my testimony will now address these issues.
24
25

1 Q. What is Gulf's relationship to the other operating
2 companies of the Southern electric system as related to
3 economy energy transactions?

4 A. Gulf and the other Southern operating companies all
5 participate in consolidated Southern economy energy
6 transactions. Gulf does not make economy sales on its
7 own. When I reference Gulf's transactions in the
8 remainder of my testimony, it is our share of the total
9 Southern sale to which I am referring.

10

11 Q. Prior to FERC Order 888, how did Gulf determine the
12 price for economy transactions between directly
13 interconnected utilities and recover the associated
14 costs?

15 A. Gulf included only its incremental cost of production in
16 determining the price for economy transactions. Gulf's
17 economy transaction price was based on the average of
18 the seller's incremental production cost and the buyer's
19 decremental production cost. When Gulf sold economy
20 energy to others, it credited the fuel portion of the
21 production component of the economy price to its fuel
22 cost for recovery through the Fuel Cost Adjustment
23 Clause. Gulf's mark-up was split 80/20 between the
24 retail customer and the shareholders for recovery
25 purposes in the Fuel Cost Adjustment Clause. When Gulf

1 purchased economy energy from others, it charged the
2 full purchase cost to its fuel cost for recovery through
3 the Fuel Cost Adjustment Clause.
4

5 Q. In response to FERC Order 888, how does Gulf now
6 determine the price for economy transaction prices
7 between directly interconnected utilities and costs to
8 be recovered?

9 A. FERC Order 888 required Gulf to include a transmission
10 cost component in the transaction price for economy
11 sales. Because there was no transmission cost component
12 included in Gulf's economy price before Order 888, Gulf
13 now adds its transmission cost after first calculating
14 the average between its incremental production cost and
15 the buyer's decremental production cost. My exhibit
16 MWH-2 illustrates Gulf's economy pricing before and
17 after FERC Order 888. In the exhibit's example, it is
18 assumed that Gulf's incremental production cost is
19 \$20/mwh, the interconnected utility's decremental cost
20 is \$30/mwh, the transmission rate (after Order 888) is
21 \$3/mwh, and both buyer and seller have comparable
22 regulatory treatment. The fuel clause treatment of
23 economy sales revenues and economy purchase costs before
24 and after FERC Order 888 are also shown on my exhibit
25 MWH-2.

1 Q. Prior to FERC Order 888, how did Gulf determine the
2 price for economy transactions between non-directly
3 interconnected utilities and recover the associated
4 costs?

5 A. Transactions between Gulf and a non-directly
6 interconnected utility only occurred in an indirect
7 manner. A utility directly interconnected to Gulf would
8 buy the economy energy from Gulf and then resell it to
9 the utility not directly interconnected to the system.
10 Therefore, economy energy pricing and fuel cost recovery
11 under this scenario were identical to the economy
12 pricing and cost recovery for two directly
13 interconnected utilities.

14
15 Q. In response to FERC Order 888, how does Gulf now
16 determine the price for economy transaction prices
17 between non-directly interconnected utilities and costs
18 to be recovered?

19 A. Gulf would add its transmission after first calculating
20 the production cost component of the economy sale.
21 Then, the third party's transmission cost is added. The
22 sale occurs only if the total transaction price is below
23 the non-directly interconnected utility's decremental
24 cost.

25 However, Gulf expects most future economy

1 transactions will be under the emerging market-based
2 pricing. Under market-based pricing, Gulf has the
3 flexibility to price economy energy based on the
4 prevailing market price. If the market price covers our
5 incremental production cost, transmission cost, and some
6 minimum mark-up, we will make the sale.

7
8 Q. Exhibit MWH-2 shows the transmission component being
9 treated as a base rate item, not a part of the mark-up.
10 What is the reason for this?

11 A. Originally, Gulf determined the economy mark-up before
12 adding the transmission component, so it would be
13 improper to include it as part of the mark-up. More
14 importantly, however, is that accounting for the
15 transmission component as a part of the mark-up would
16 result in the entire transmission component being
17 credited as an 80/20 split between the customer through
18 the fuel clause and the stockholder. Consequently, none
19 of this revenue would be available to be applied to
20 offset transmission costs. Yet, the FERC requires that
21 all transmission revenue be credited in calculating
22 reductions to the transmission tariff rates. Crediting
23 the transmission component through the 80/20 split, and
24 also crediting the tariff rate calculation would be, in
25 effect, "giving away" the money twice, and would

1 eventually result in our customers paying more in base
2 rates.

3

4 Q. What should the Commission do, then, regarding the
5 accounting for the transmission component revenue?

6 A. The Commission should direct that all such transmission
7 revenue be credited to base rates and should not be
8 included as part of the mark-up to be split 80/20.

9

10 Q. Does this conclude your testimony?

11 A. Yes.

12

13

14

15

16

17

18

19

20

21

22

23

24

25

AFFIDAVIT

STATE OF FLORIDA)
)
COUNTY OF ESCAMBIA)

Docket No. 970001-EI

Before me the undersigned authority, personally appeared M. W. Howell, who being first duly sworn, deposes, and says that he is the Transmission and System Control Manager of Gulf Power Company, a Maine corporation, that the foregoing is true and correct to the best of his knowledge, information, and belief. He is personally known to me.

M. W. Howell

M. W. Howell
Transmission and System Control
Manager

Sworn to and subscribed before me this 17 day of JUNE, 1997.

Paul H. Roberts

Notary Public, State of Florida at Large

Commission No.

My Commission Expires

PAUL H. ROBERTS
"Notary Public-State of FL"
Comm. Exp. Sept. 12, 1998
Comm. No. CC 400548

1 Q (By Mr. Stone) Mr. Howell, would you
2 please summarize that portion of your testimony that
3 begins on Page 12 at Line 17 and continues --

4 A Yes. Well, Commissioners, officially, good
5 afternoon.

6 There are a lot of things that I think it's
7 obvious we disagree on, but I think it should be clear
8 that we all agree on one thing; FERC has caused this
9 trouble in both the economy energy pricing and the
10 cost recovery issues as a result of those two infamous
11 orders they have issued.

12 I'd like to think of my summary as kind of
13 addressing three issues, and they are separate. One
14 is pricing economy; one is what do you do when you're
15 selling with this revenue; one is what do you do with
16 these costs when you're purchasing. So I'll address
17 price first.

18 The FERC orders have required utilities to
19 include a distinct transmission cost component in the
20 pricing. We have filed compliance tariffs that
21 reflect the inclusion of the transmission service
22 costs as a charge added to the traditional
23 split-the-savings method. Whether or not this will be
24 proper will be ruled on, hopefully some day, by the
25 FERC.

1 We do not have approval of these yet as most
2 utilities have theirs languishing in Washington, but
3 we do have a FERC approval for market based tariffs.
4 They specify we can charge a market rate for the
5 energy, and we must add a specified transmission
6 service component.

7 We expect very soon to do essentially all of
8 our economy business this way. It is our view that
9 the industry is rapidly moving away from cost based
10 type pricing and towards market based pricing on
11 economy energy. In any event, FERC will some day
12 hopefully decide how transactions are to be priced.

13 The real issue before you today is, if we
14 are selling, how do we treat the revenue. And I
15 maintain that that is the issue. And you have two
16 decisions basically: Should you credit that to base
17 rates, or should you credit it to the fuel clause.
18 FERC has required that nonfirm transmission service
19 revenues be credited to the transmission service user
20 when determining transmission service firm tariff
21 prices.

22 If you direct utilities to credit
23 transmission service revenues from economy to the fuel
24 clause, that will create a double-dipping against the
25 utility, because we then have to credit the revenues

1 to the customer through the fuel clause. We have to
2 credit those revenues to the transmission service
3 customer. And we're not allowed yet to print money,
4 so we wound up short.

5 Also, you, as the PSC, have made it clear
6 that we should not pollute the fuel clause with
7 variable O&M expenses, in-plant fuel handling
8 expenses, and a lot of other things that might be
9 associated with fuel that are not fuel items. We
10 surely don't think any of us want to put transmission
11 revenues in there at this point.

12 As far as when we purchase, I think it's a
13 slam dunk. All the utilities agree, in addition to
14 FERC causing these problems, that when we buy economy
15 it doesn't matter how they determined the price. We
16 have a choice of either generating with our own
17 facilities or buying at some price that has been set
18 by maybe a FERC approved tariff.

19 And if we can buy economy energy, no matter
20 what the components are, if we can buy that cheaper
21 than we can generate ourselves, that's good for our
22 customers. Everybody wins. If we can't do it, then
23 we go ahead and generate.

24 Gulf and Southern are very different from
25 the peninsula utilities. We're not a party to the

1 Florida broker. We do engage in economy transactions.
2 We're moving very strongly towards market based rates.
3 But when we do purchase economy, we think that unless
4 the fuel -- if the entire component, the entire price
5 of the economy is allowed to be recovered, we won't
6 make the transaction.

7 Just because we have now introduced a
8 transmission component into the price shouldn't change
9 the way we've been doing business all along, and that
10 is whatever the economy costs, you ought to be able to
11 recover that; or like any other business, if you
12 cannot recover your costs, you're not going to
13 purchase.

14 So I would say we're asking you to do two
15 things: One is, go ahead and allow recovery of the
16 transmission component when we're purchasing,
17 otherwise you're going to shut down the economy
18 market. The other is asking you to credit
19 transmission service revenues to base rates to avoid
20 an unfair double hit against the utility.

21 That concludes my summary on these issues.

22 **MR. STONE:** We tender Mr. Howell for
23 cross-examination.

24 **CHAIRMAN JOHNSON:** TECO.

25 **MR. LONG:** Madam Chairman, I have no

1 questions.

2 MR. MCGEE: No questions.

3 CHAIRMAN JOHNSON: Public counsel?

4 CROSS EXAMINATION

5 BY MR. BURGESS:

6 Q Mr. Howell, characterize for me please, what
7 kind of sales you're referring to when, as I
8 understand it, you're talking about that which is
9 relevant to Gulf is nonbroker economy sales.

10 A Okay. We're not a member of the Florida
11 broker, okay. In the past, the economy energy
12 transactions that we have made have been pursuant to
13 FERC approved tariffs, amendments, whatever we want to
14 call them here in legalese, with interconnected and
15 noninterconnected utilities; and they have been cost
16 based type economy transactions.

17 The new transactions that we will expect to
18 make basically all of our exchanges on the future are
19 what we call market based. A cost based
20 transaction -- now split-the-savings is one form of
21 cost based. You look at your cost, you look at his
22 cost, you look at what other costs there are, and you
23 come up with a price. That's a cost based
24 transaction.

25 A market based transaction says, what is the

1 market price for this, and as long as we can sell
2 somebody something at a market price they're willing
3 to pay that has all the components in it that FERC
4 requires, then the transaction would take place.

5 Q With regard to the revenue that's credited
6 for these sales, do I understand your testimony to be
7 that in historical Gulf Power rate cases that those
8 have been credited in the establishment of the base
9 rates?

10 A They --

11 Q An estimated portion for projected test
12 year?

13 A Yes. They have always been included in the
14 calculation for determining base rates is my
15 understanding.

16 Q And so by virtue of the fact that those
17 have, in the establishment of existing base rates,
18 factored in a reduction of what would otherwise be
19 paid by retail ratepayers, what you're saying is to
20 then credit them through the fuel adjustment clause
21 would be twice crediting that revenue. Is that the
22 point that you were making?

23 A No, not really the point. Let's take the
24 case of we've got rates set up for everything, okay.
25 We're in motion, and now FERC comes along and says,

1 okay, you have to charge a transmission component now
2 of this sale. And, by the way, whatever transmission
3 component you charge on a nonfirm sale, you have to
4 credit the calculation of your firm transmission
5 rates.

6 You have to next year when you reset your
7 firm transmission rate, you have to give them credit
8 for the fact that you have made money off nonfirm
9 transmission revenue. That nonfirm transmission
10 revenue will decrease from what you're able to charge
11 then the next year, and eventually the customer has
12 got to make that up, because it's -- you know, it's
13 dollars flowing out.

14 Q When you say decrease, you're talking about
15 decrease in the establishment of your wholesale rates
16 the following year?

17 A No, we're not talking about wholesale; we're
18 talking about transmission service.

19 Q On future year economy sales?

20 A Firm transmission. People use your system
21 to wheel power across, you charge them a FERC approved
22 rate.

23 Q That then FERC will approve for the
24 following year -- you're saying then the following
25 year FERC will take that revenue from this year and

1 credit the revenue credit in calculating the rate for
2 the following year's transmission?

3 A Well, before I say yes or no, let me
4 clarify. The answer is yes, if what you meant when
5 you said that revenue -- the nonfirm revenue that
6 applies to the firm rate, because that's what they
7 dictated in the order to do.

8 Q I'm sorry. Repeat that last part.

9 A If what you meant was do we take the
10 nonfirm --

11 Q Okay --

12 A -- do we take the nonfirm transmission
13 revenue and decrease the firm rate the following year,
14 the answer is yes.

15 See, we've had firm rates and that they're
16 at some level. Now FERC says, okay, we're now going
17 to require you to take your economy transactions and
18 assign or include a transmission component, and
19 whatever that amount is, you've got to reduce the firm
20 rate that you charge them next year. So you have less
21 money.

22 So we give that money to them, and if the
23 Commission decides, well, it's appropriate to take
24 transmission revenues from economy transactions and
25 give them to the customer through the fuel clause, the

1 utility is giving twice. And we can't print the
2 money, so we wound up short, and we're short on our
3 base rates.

4 Q Then I'm missing the point of why you would
5 then credit it through base rates for the surveillance
6 reports as indicated on your Page 2 of your exhibit.

7 A Well, there are two ways that we can show
8 this. We can show it being credited through the fuel
9 adjustment clause as some are proposing, or we can
10 show this being credited as operating revenue as some
11 of the other utilities have suggested.

12 If you treat it as operating revenue that
13 doesn't go through the fuel adjustment clause, it goes
14 to base rates, and that shows up in this surveillance
15 report.

16 Q When you are -- in the amount that you're
17 calculating here or that you -- and I realize these
18 are numbers that are simply used as examples -- but do
19 I understand correctly that the \$3 is not an
20 incremental operating maintenance, but rather is an
21 allocation of a portion of capital costs of the
22 existing transmission facilities?

23 A Well, that's not a yes or no answer. The
24 way the nonfirm rate is calculated is based on a
25 combination of capital costs and O&M costs and all the

1 other things that go into the calculation.

2 Q Then my question is, is this then an
3 incremental cost that's being reflected here? Does it
4 include a portion that's incremental, or is it
5 rather --

6 A Well, it may or may not.

7 WITNESS HOWELL: Can I give an example,
8 Commissioners, that will maybe clarify his question?
9 Let's take the example of the southern Florida
10 interface, which we know is somewhat fully subscribed
11 in peak periods; and let's take the example that a
12 power marketer -- Enron, LG&E, one of the many hordes
13 that have come out recently -- are selling power to
14 Florida, we then, if they use our transmission system
15 to transmit that power down, we can charge them a
16 third-party transmission component for the use of our
17 system. And everybody agrees -- I think I've heard
18 today -- that that third-party transmission would go
19 into operating revenue. It's not a question of
20 whether it should go into base rates -- I'm sorry --
21 whether it should go into fuel clause or not.

22 If we then say, well --

23 Q It's a question with us.

24 A I'm sorry?

25 Q It's a question with us.

1 A Okay. All right. Okay. Then there is a
2 question. I stand corrected.

3 Rather than an LG&E using our system to sell
4 power to Florida, if we then say okay, we're going to
5 sell power to Florida because we can beat the rate or
6 whatever, we have to take that same transmission --
7 exact same transmission component, and we then have to
8 put that as a credit to the customer in the fuel
9 clause, we're going to lose money, right? Do you
10 follow my logic?

11 Q I understand what you're saying.

12 A And all I'm saying is, sometimes it could be
13 an incremental cost, if you think of it, but look at
14 it more as maybe it's an incremental loss if you don't
15 treat it in base rates as opposed to trying to give it
16 back through the fuel adjustment clause.

17 Q Thank you, Mr. Howell.

18 MR. STONE: That's all I have.

19 CHAIRMAN JOHNSON: Ms. Kaufman?

20 CROSS EXAMINATION

21 BY MS. KAUFMAN:

22 Q Mr. Howell, I want to look also at your
23 MWH-2, Page 2 of two, that Mr. Burgess was talking to
24 you about. Do you want to turn to that?

25 A Yes, I have it.

1 Q And I want to talk about the bottom half
2 that the bold heading says "Regulatory Treatment," and
3 you've got four columns.

4 A Yes, ma'am.

5 Q The second column from the left is the
6 "After" column; after 888, correct?

7 A Yes, ma'am.

8 Q And the very bottom line of that column
9 using the hypothetical numbers that we've discussed
10 all day shows \$7 to the customer; is that correct?

11 A Yes, ma'am.

12 Q But it's true, isn't it, Mr. Howell, that of
13 the \$7, that \$3 of transmission is being retained by
14 the company in operating revenue?

15 A Well, it goes into operating revenue, and
16 the customer pays all of our costs. So if the money
17 didn't go there, he would have to make it up. So I
18 see it going to the customer.

19 Q Well, my point is that \$4 is going to the
20 customer through the fuel clause, but the \$3 is not;
21 isn't that right?

22 A That's correct. It is not going to the
23 customer through the fuel cost, it is going to the
24 customer through a reduction in base rates.

25 Q Well, there's no reduction in base rates, is

1 there, until the next time you have a rate case?

2 A There may be, if you overearn or the
3 Commission calls you in.

4 Q You're correct.

5 A Yeah. I mean, I don't think we should fall
6 into the trap of saying, well, as long as they don't
7 have a rate case, there's no effect. There is an
8 effect. One of the things that happens is we're
9 growing all the time. As we grow, we get additional
10 revenue from our customers, new sales. We get
11 additional revenue for transmission that we sell. We
12 have additional costs for expansion of our
13 infrastructure that we have. And if the rates that
14 are set by the Commission are adequate to maintain
15 that balance, then there's no increase in rate. But
16 all of this, in my view, the customer is benefiting
17 from.

18 Q Well, just to be clear, Mr. Howell, I agree
19 with you that unless the Commission brings you in and
20 you're overearning, or unless you have a rate case,
21 absent those two situations, that \$3 is being retained
22 by the company and there's no reduction for the
23 customers.

24 A In your example, that's correct. If it's
25 just \$3, then certainly that's not going to swing a

1 rate case or a call-in.

2 CHAIRMAN JOHNSON: Staff?

3 CROSS EXAMINATION

4 BY MS. PAUGH:

5 Q Mr. Howell, I believe you stated earlier
6 that nonfirm transmission revenue would go to reduce
7 firm transmission rates the following year; is that
8 correct?

9 A Yes. No, I'm sorry. Would you repeat the
10 question, please?

11 Q Nonfirm transmission revenue would go to
12 reduce firm transmission rates?

13 A The following year; yes, ma'am, that's
14 correct.

15 Q How does this reduction flow to the
16 residential ratepayers specifically?

17 A Okay. Let's say we charge somebody -- in my
18 prior example, we're going to charge -- let's say
19 we're in balance, okay; whatever in balance means, as
20 far as rates and revenue and profit and all that,
21 okay. And we then make a sale, either from our
22 resources off our system that results in \$3 of
23 revenue, or we let somebody else make a sale through
24 our system and they pay us that results in \$3 of
25 revenue.

1 We then take that \$3, and now we've got \$3
2 more than what we need, and we're out of balance by
3 \$3. The next year we decrease the revenue that we get
4 in firm transactions by an equal amount, and we're
5 back in balance. So that flows directly to the
6 customer and that the customer didn't have to make
7 that up.

8 Q Okay. As part of the Southern Company, is
9 Gulf a net purchaser or a net seller on the broker
10 system?

11 A Okay. We don't participate in the Florida
12 broker system. We do make economy transactions with
13 Florida utilities, but not as a member of the broker
14 system. Our transactions are through bilateral
15 amendments to our interconnection agreements or
16 through agreements with noninterconnected utilities or
17 power marketers who want to buy or sell the power or
18 use our system.

19 Q Within your agreements and amendments, are
20 you a net purchaser or a net seller?

21 A We're generally a net seller.

22 Q What types of costs were included in Gulf's
23 broker quotes prior to FERC Order 888?

24 A Broker quotes? You mean incremental costs?

25 Q Yes.

1 A It would be whatever the incremental cost of
2 production is, which would include fuel, in-plant --
3 incremental in-plant fuel handling, incremental
4 variable O&M, and we're going to ignore for a moment
5 emission allowances, okay, since that's handled in the
6 environmental cost recovery clause.

7 I think that's all -- don't hold me to it --
8 it's what I remember is included as far as what our
9 incremental production cost is.

10 Q Okay. Thank you. Please refer to your
11 Exhibit MWH-2. It's Page 2 of two of your exhibits.
12 In that exhibit will you please explain Gulf's
13 proposed methodology? Would ratepayers see an
14 immediate impact of a \$4 credit to the fuel clause
15 just as before FERC Order 888?

16 A I'm sorry. Would you repeat that, please?

17 Q Based on that exhibit, would ratepayers see
18 an immediate impact of a \$4 credit to the fuel clause
19 just like before FERC Order 888 was issued; is that
20 correct?

21 A Yes, ma'am, that is correct.

22 Q Does this take into account any kind of
23 jurisdictional separation?

24 A No, ma'am. One of the things that we did --
25 and I may remember it wrong -- but in the workshop

1 that the Staff held with all the utilities, we tried
2 to agree on numbers that everybody would use to where
3 it would be easier to compare what the utilities are
4 doing. So we came up with \$20 as an incremental cost,
5 \$30 as a decremental cost, \$3 as a transmission rate,
6 and for simplicity, ignored things such as
7 jurisdictional separation factors and the effect of
8 in-plant fuel handling and all that. That was my
9 understanding, and we filed it that way, and everybody
10 but Power Corp filed it that way.

11 They also -- Power & Light and TECO also
12 ignored this issue, and I think it's a relatively
13 minor change as far as the jurisdictional separation.
14 But, yes, we did; for purposes of simplicity here in
15 trying to understand the differences, we did ignore
16 that.

17 Q That's fine. When you make actual
18 transactions, do you apply a separations factor?

19 A Well, when it comes time to assign the --
20 you know, if we're buying or selling, the answer is
21 yes, we do take into account the jurisdictional
22 separation factors; and all of the utilities, if
23 they're doing it correctly, should do the same thing,
24 and I believe they do.

25 Q Do you know what those percentages are,

1 roughly?

2 A Roughly, it's about 96% retail.

3 Q Thank you.

4 A That's rough.

5 Q That's fine. Is it your testimony that
6 under your methodology which is reflected in your
7 exhibit the buyer flows the transmission costs
8 directly to the ratepayer through the fuel clause, and
9 the seller credits the transmission revenues to
10 operating revenue?

11 A Yes.

12 Q Thank you.

13 **MS. PAUGH:** We have no further questions.

14 **CHAIRMAN JOHNSON:** Commissioners? Any
15 redirect?

16 **MR. STONE:** Briefly.

17 **REDIRECT EXAMINATION**

18 **BY MR. STONE:**

19 Q Mr. Howell, just for the record, when you
20 were referring to power marketers, you used a term.
21 Would you mind spelling that term for the benefit of
22 the court reporter?

23 A Power marketers?

24 Q No, no; the term you used to describe the
25 power marketers. Would you please spell that for the

1 record.

2 A Could you re-read that section there? What
3 was the phonetic result of that?

4 MR. STONE: May I help the witness?

5 CHAIRMAN JOHNSON: Yes.

6 Q (By Mr. Stone) Was the word you used
7 "hordes"?

8 A H-O-R-D-E-S, hordes. (Laughter) Hordes.
9 I'm sorry. As in --

10 COMMISSIONER CLARK: You know, that's
11 interesting. That's exactly the way I heard it, but
12 he heard it differently.

13 WITNESS HOWELL: I refrain from any further
14 comment, other than in my mind I was thinking of
15 Hannibal crossing the Alps and the term paper I did in
16 high school.

17 COMMISSIONER GARCIA: One of the definitions
18 was pretty close to the truth. (Laughter)

19 WITNESS HOWELL: Well, he came with hordes
20 of soldiers, and I picture -- you know, the power
21 marketers have just become -- they have increased in
22 number so exponentially that that's the word that came
23 to mind; and I apologize for not seeing the potential
24 tie between that and another -- whatever.

25 CHAIRMAN JOHNSON: Okay. Any other

1 questions?

2 **MR. STONE:** I did. But I won't.

3 **CHAIRMAN JOHNSON:** Exhibits?

4 **MR. STONE:** I would ask that we admit
5 Exhibit 8.

6 **CHAIRMAN JOHNSON:** Show it admitted without
7 objections.

8 (Exhibit 8 received in evidence.)

9 **COMMISSIONER GARCIA:** I'll just have you
10 know, though, that Hannibal's soldiers weren't hordes,
11 they were very well organized and disciplined.

12 **WITNESS HOWELL:** Yes, sir. And I didn't
13 say -- the hordes only refers to the numbers of them.
14 As a matter of fact, you're correct. The discipline
15 of these men to cross the Alps in the winter was, I
16 thought, incredible. No wonder they could defeat
17 these people living a life of ease.

18 **CHAIRMAN JOHNSON:** Thank you, sir.

19 (Witness Howell excused.)
20
21
22
23
24
25

1 **GERARD J. KORDECKI**

2 was called as a witness on behalf of Tampa Electric
3 Company and, having been duly sworn, testified as
4 follows:

5 **DIRECT EXAMINATION**

6 **BY MR. WILLIS:**

7 **Q** Would you please state your name, address,
8 occupation and employer?

9 **A** Gerard J. Kordecki, 702 North Franklin,
10 Tampa, Florida 33602, and I'm employed by Tampa
11 Electric Company.

12 **MR. WILLIS:** Commissioners, we would propose
13 to insert both Mr. Kordecki's prepared direct
14 testimony and his rebuttal testimony in at this
15 juncture and have him testify one time with respect to
16 both of those.

17 **CHAIRMAN JOHNSON:** That will be fine.

18 **Q** **(By Mr. Willis)** Mr. Kordecki, did you
19 prepare and cause to be prefiled "Prepared Direct
20 Testimony of Gerard J. Kordecki"?

21 **A** Yes, I did.

22 **Q** If I were to ask you the questions contained
23 in that testimony, would your answers be the same
24 today?

25 **A** They would.

1 Q Did you have a exhibit attached to your
2 testimony?

3 A Yes, I did.

4 MR. WILLIS: We would request that
5 Mr. Kordecki's Exhibit GJK-1 be marked for
6 identification.

7 CHAIRMAN JOHNSON: It will be marked as 9,
8 identified GJK-1.

9 (Exhibit 9 marked for identification.)

10 Q (By Mr. Willis) Mr. Kordecki, did you also
11 prepare and cause to be prefiled "Prepared Rebuttal
12 Testimony of Gerard J. Kordecki"?

13 A Yes, I did.

14 Q If I were to ask you the questions contained
15 in that document, would your answers be the same
16 today?

17 A Yes, they would.

18 MR. WILLIS: We request that both
19 Mr. Kordecki's direct and his rebuttal testimony be
20 inserted in the record as though read.

21 CHAIRMAN JOHNSON: They will be inserted as
22 though read.

23

24

25

1 BEFORE THE PUBLIC SERVICE COMMISSION

2 PREPARED DIRECT TESTIMONY

3 OF

4 GERARD J. KORDECKI

5
6 Q. Please state your name, address, occupation and employer.

7
8 A. My name is Gerard J. Kordecki My business address is 702
9 North Franklin Street, Tampa, Florida 33602. I am employed
10 by Tampa Electric Company in the position of Senior
11 Regulatory Consultant.

12
13 Q. Have you testified previously before the Florida Public
14 Service Commission ("FPSC" or "the Commission")?

15
16 A. Yes. I have testified on behalf of Tampa Electric in a
17 number of proceedings before this Commission. I have
18 testified on conservation goals and program cost recovery
19 issues, load research, cost allocation, rates and planning
20 issues. A list of the dockets and testimony subjects is
21 attached to my testimony as Exhibit 9 (GJK-1).

22
23 Q. What is the purpose of your testimony?

24
25 A. My testimony is intended to identify the effects of the

1 Federal Energy Regulatory Commission's (FERC) Order No's.
2 888 Final rule ("Open Access") and 888A (Order on
3 Rehearing) on ("Open Access") on the terms, conditions and
4 rates for transactions under the Florida Broker.

5
6 Q. Briefly describe how the recent "Open Access" rules require
7 changes in the treatment of economy interchange?

8
9 A. The "Open Access" rule requires that each Public Utility
10 unbundle the transmission and ancillary charges from its
11 economy sales to all new customers effective July 9, 1996
12 and to all prior existing interchange contracts on January
13 1, 1997. A Public Utility must take service under its own
14 unbundled transmission tariff for the purpose of
15 transmitting power from its production capacity to the edge
16 of its system for delivery to the buyer in the broker
17 transaction. The revenues from these charges are to be
18 recorded in separate revenue accounts. A utility must
19 sign a transmission service agreement with itself which
20 normally would be done between the company's bulk power
21 sales function and its transmission department. This
22 agreement covers all non-firm transactions of less than one
23 year.

24
25 Q. Why has FERC required Public Utilities to take transmission

1 service under their own tariff?

2

3 A. In order to facilitate the development of a competitive
4 wholesale market, the FERC is requiring transmission owners
5 to open up their transmission systems to potential users on
6 a non-discriminatory, comparable basis which requires the
7 owner to treat the use of its own transmission system for
8 sales transactions as if the utility were purchasing
9 transmission from a third party. The concept is to provide
10 a level playing field so that generation competes directly
11 against generation, thereby, denying a transmission owner
12 the ability to discriminate in favor of its own power
13 sales.

14

15 Q. Mr. Kordecki, has FERC specified how transmission revenue
16 from broker transactions must be treated for wholesale
17 transmission ratemaking purposes?

18

19 A. Yes. FERC requires that transmission revenues derived from
20 all short-term transactions of less than one year be
21 treated as a revenue credit.

22

23 Q. What does revenue crediting mean?

24

25 A. The revenues collected from short-term transmission

1 services are subtracted from the overall transmission
2 revenue requirements for purposes of determining FERC
3 jurisdictional long-term transmission rates.

4
5 Q. What is the effect of revenue crediting on long-term
6 transmission rates?

7
8 A. FERC revenue crediting effectively reduces the rate for all
9 long-term transmission users by subtracting the
10 transmission revenues received from short-term transmission
11 sales.

12
13 Q. Can you give an example of how the required revenue
14 crediting is accomplished?

15
16 A. Utility A has a transmission revenue requirement of \$1,000
17 with an annual transmission peak demand of 100kW or \$10 a
18 KW/year or \$0.83/KW/MO for firm long-term transmission
19 users. Let's say utility A makes "Broker" sales which have
20 a total transmission cost of \$30. At the next transmission
21 rate change the \$30 of Broker revenue would be subtracted
22 from \$1,000 which in turn would reduce the transmission
23 rate to \$0.81/KW/MO ($\$1000.00 - \30.00 divided 12 months).

24
25 Q. Mr. Kordecki does FERC permit the addition of transmission

1 charges to the sale quotes on the broker or transaction
2 prices?

3

4 A. No. This approach would be contrary to the current
5 position FERC has taken on split savings (page 204 of 888A)
6 transactions.

7 "In the cases cited by Utilities for Improved
8 Transition, the Commission prohibited the
9 utility from charging a split-savings rate plus
10 a contribution to fixed costs. The Commission
11 has long allowed utilities to set their
12 coordination rates by reference to their own
13 costs (cost-based ceilings) or by dividing the
14 pool of benefits (fuel cost differentials)
15 brought about by the transaction. Utilities
16 have been free to design a rate using either
17 method but not both." (emphasis added)

18

19 The precedent case citation is Illinois Power Company, 62 F
20 61,147 to 62,062 (1993) and the pertinent paragraph states:

21 "In Service Schedule F, Illinois Power proposes
22 to charge a rate for economy energy transactions
23 equal to a share of the savings plus its
24 transmission charge of 10 mills/kWh. This is
25 inappropriate. The Commission has long accepted

1 split-savings rates which disregard the fixed
2 costs of the seller, but which ensure that the
3 customer retains at least 50 percent of the
4 transaction savings. Such rates permit the
5 seller to obtain a contribution to fixed costs in
6 excess of 100 percent, as long as the customer
7 receives at least 50 percent of the savings.
8 Illinois Power's proposed economy energy rate
9 (allowing recovery of both a share of these
10 savings plus a separate transmission charge)
11 violates the Commission's pricing principles.
12 Illinois Power retains over 50 percent of the
13 savings, while Illinois Municipal receives less
14 than 50 percent of the savings. Accordingly,
15 Illinois Power is directed to revise Service
16 Schedule F to eliminate the additional
17 transmission charge."

18
19 It is clear that FERC will not allow a transaction which
20 uses split-savings plus an added transmission charge. The
21 FERC position also effectively requires a seller on the
22 Broker to cover its transmission costs from its share of
23 the split savings since the buyer must receive "at least 50
24 percent of the savings".
25

1 Q. Mr. Kordecki do you have any knowledge of any Florida
2 Broker transactions after January 1, 1997 in which some of
3 the transmission revenues are recorded above the line for
4 revenue requirements calculations?

5

6 A. Yes, at the Commission Staff's workshop, utilities stated
7 that third party transmission revenues are being treated
8 above the line for broker transactions.

9

10 Q. What are third party transactions?

11

12 A. Third party transactions take place when a seller must sell
13 through another transmission system to reach a buyer. For
14 instance, if Tampa Electric were making a Broker sale to
15 Utility C but must use Utility B's transmission system,
16 Utility B would require transmission wheeling revenues from
17 Utility C in order to facilitate the sale. In this case,
18 Utility B would receive the transmission revenue and that
19 revenue would be credited above the line.

20

21 Q. Does this conclude your testimony?

22

23 A. Yes, it does.

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE PUBLIC SERVICE COMMISSION
PREPARED REBUTTAL TESTIMONY
OF
GERARD J. KORDECKI

Q. Please state your name and business address.

A. My name is Gerard J. Kordecki My business address is 702 North Franklin Street, Tampa, Florida 33602.

Q. Are you the same Gerard J. Kordecki who submitted Testimony in this proceeding on June 25, 1997?

A. Yes, I am.

Q. What is the purpose of your testimony?

A. The purpose of my rebuttal testimony is to describe the inappropriate treatment of transmission costs proposed by Florida Power Corporation (FPC) and Florida Power and Light (FPL) for Schedule C Broker Sales. Each utility's proposal is inconsistent with Federal Energy Regulatory Commission (FERC) ratemaking policy and economic efficiency and may, possibly be discriminatory. I will also comment to the limited circumstance under which Gulf Power Company's (GPC)

1 treatment of transmission costs is appropriate.

2

3 Q. Mr. Kordecki, how is FPC's treatment of the Transmission
4 pricing inconsistent and possibly discriminatory?

5

6 A. FPC wishes to separate Schedule C Broker Sales participants
7 into two categories -- those with agreements before January
8 1, 1997, and those who became members of the Florida Broker
9 after that date. FPC proposes to treat transmission costs
10 differently for "new" and "existing" participants. The net
11 effect for "new" Broker customers would be a smaller share
12 of the savings from a transaction than would accrue to an
13 "existing" customer with an identical sale. This different
14 treatment for "new" Broker customers has two significant
15 shortcomings.

16

17 First, FPC cannot have a cost based split-the-savings sale
18 in which the purchaser's benefits are less than 50 per cent
19 of the total savings. The FERC position on shared savings
20 is outlined in my direct testimony from line 5, page 5 and
21 lines 1 through 17 on page 6 which requires that the buyer
22 must receive "at least 50 percent of the savings" from the
23 "pool of benefits (fuel cost differentials) brought about
24 the the transaction."

25

1 Secondly, FPC wishes to discriminate between "new" and
2 "existing" Broker customers through the method of
3 allocating transmission costs when FPC is the seller. This
4 situation is inconsistent with the purpose of the Broker
5 matching system because it may lead to potential matches
6 which are less efficient based on the fact that a customer
7 is "new" instead of selection based on the difference in
8 generating costs.

9
10 Q. Please comment on Florida Power & Light's proposal with
11 respect to transmission pricing and treatment?

12
13 A. FPL wishes to treat the transmission it charges a Schedule
14 C sale as if FPL's transmission grid were a separate
15 company or a third party. This is accomplished by
16 "adjusting the buyer's costs in the Broker matching
17 algorithm just like it is done for transactions between
18 non-directly interconnected utilities." (Villar page 3,
19 lines 10 through 13.) Again, as in the FPC's proposed
20 "new" customer situation, FPL will retain more than 50 per
21 cent of the transaction savings which is contrary to FERC
22 regulations. This approach, moreover, raises the same
23 issues on economic efficiency noted above.

24
25 Q. Mr. Kordecki, is there any further problems in the FPL

1 proposed methodology?

2

3 A. Yes. FPL states that "through this methodology, FPL's
4 Broker sales are treated the same as Broker sales by other
5 users of FPL's transmission system." For pricing this
6 statement appears to be correct, but for transmission
7 revenue treatment, FPL does not treat its Broker sales and
8 the Broker sales of others symmetrically. In third party
9 transactions, FPL keeps transmission revenue as operating
10 income. With respect to its Broker transactions, FPL
11 proposes to flow transmission revenues through to the fuel
12 clause.

13

14 From the Staff workshop, it is also my understanding that
15 FPL's treatment of transmission for all other third party
16 non-Broker short-term sales is to credit these revenues to
17 operating income. This treatment is consistent with the
18 FERC required revenue crediting treatment but differs from
19 their Schedule C proposed treatment. In order to be
20 consistent with both transmission usages and ratemaking
21 principles, FPL should treat transmission revenues from
22 Broker sales as "above the line" so that transmission
23 revenues are treated comparably for all of FPL's short-term
24 transmission uses whether it be for FPL's use or a third
25 party's.

1 Q. What are your comments concerning Gulf Power's pricing
2 methodology for shared savings transactions?

3
4 A. Gulf Power, of course, is not a participant in the Florida
5 Broker system so its proposal is hypothetical only.
6 Southern Company (Southern) actually makes all transactions
7 under market based rates. The latter point is most
8 important. If Southern were making sales under a
9 (regulated) cost based regime, their proposed treatment
10 (split savings on generation plus full transmission
11 charges) would be contrary to FERC policy as stated
12 previously in my testimony. With market-based rate
13 authority, even if the negotiated price is based on a
14 shared savings methodology, Southern must treat its
15 transmission costs for the sales separate from the
16 generation price, no matter if Southern or the buyer is the
17 transmission customer.

18
19 In essence, Gulf Power's proposed treatment of transmission
20 revenues is proper only because it has market-based rate
21 authority, which none of the peninsular Florida public
22 utilities have acquired for off-system sales in Florida.
23 Therefore, Gulf Power's situation differs significantly
24 from the other Broker participants.

25

1 Q. Mr. Kordecki, does this conclude your rebuttal testimony?

2

3 A. Yes, it does.

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 Q (By Mr. Willis) Would you please summarize
2 your testimony?

3 A First, the summary of my direct testimony.
4 Actually, I wrote down "good morning," but I guess we
5 can go by that at this point.

6 My direct testimony addresses the unbundling
7 effect for FERC Orders 888 and 888A which require
8 public utilities to separately account for generation,
9 transmission and ancillary services when making
10 off-system sales.

11 For short-term transactions, the FERC
12 requires utilities to revenue credit or reduce
13 transmission revenue requirements when -- which
14 effectively is treated as operating income. Broker
15 sales is just one category of short-term transactions.
16 Others would include opportunity sales and third-party
17 transmission transactions.

18 Since the Florida energy broker is a cost
19 based shared savings market, FERC has required that,
20 first, the buyer must receive at least 50% of all
21 benefits. Second, the transmission charges cannot be
22 added to the variable cost differentials.

23 With these constraints, Tampa Electric has
24 designed its broker sales transactions so that the
25 transmission costs that are captured from Tampa

1 Electric Company's share of the -- excuse me -- that
2 the transmission costs are captured from Tampa
3 Electric's share of the transaction savings,
4 therefore, meeting both of FERC's pricing criteria.

5 And rebuttal: My rebuttal testimony
6 addresses the utility's proposed pricing methodologies
7 for shared savings transactions. Both the FPC new
8 customer proposal and FPL's proposal for pricing
9 treatment of broker transactions suffer from serious
10 deficiencies in meeting FERC pricing criteria, but
11 each of those utilities has a pending filing at the
12 FERC, and litigation will resolve any problems in
13 pricing.

14 Further in my rebuttal I address some
15 inconsistencies in the treatment of transmission
16 revenues for similar transmission transactions. These
17 differences in revenue treatments should be resolved
18 by this Commission in this proceeding.

19 Thank you.

20 **CHAIRMAN JOHNSON:** Thank you.

21 **MR. WILLIS:** We tender the witness.

22 **CHAIRMAN JOHNSON:** Florida Power & Light?

23 **CROSS EXAMINATION**

24 **BY MR. CHILDS:**

25 **Q** Would you turn to Page 3 of your direct

1 testimony, specifically looking at the answer
2 beginning on Line 19 when you state that the FERC
3 requires that transmission revenues be treated as a
4 revenue credit?

5 A That's correct.

6 Q Where is that provided by the FERC?

7 A Excuse me a second. (Pause) Page 247 of
8 the rehearing. I'll read --

9 Q I'm sorry. Of the what?

10 A Of the rehearing order, which is 888A. "In
11 order to prevent overrecovery of costs from those, use
12 this approach." The Commission explained that it will
13 require transmission providers to include firm
14 point-to-point capacity reservations in the derivation
15 of the low ratio calculations for billings under
16 network service.

17 In addition, the Commission explained that
18 revenue from nonfirm transmission services should
19 continue to be reflected as a revenue credit in the
20 derivation of firm transmission tariffs, rates.

21 Q Does FERC have any directions about how
22 revenue from broker transactions that do not include
23 compensation for transmission be credited?

24 A I have --

25 Q Doesn't FERC also tell you to credit the

1 revenue from a broker sale?

2 A The transmission --

3 Q Direct --

4 A The transmission portion?

5 Q No, the nontransmission portion.

6 A No.

7 Q They don't?

8 A No.

9 Q Does this Commission tell you that?

10 A I couldn't tell you what the Commission
11 tells us. I'm not testifying to that.

12 Q Well, isn't it this Commission that affects
13 the recovery of costs for retail ratemaking?

14 A Yes.

15 Q I want to show you a document, please.

16 MR. CHILDS: Commissioners, I have given the
17 witness a document which is entitled "Staff Advisory
18 Bulletin No. 20, two pages issue date shown as being
19 9/14/84 in the upper left-hand corner and effective
20 date of 1/1/85.

21 Q (By Mr. Childs) Mr. Kordecki, have you had
22 a chance to look at this document?

23 A Briefly, yes.

24 Q Do you know whether this document directs
25 the accounting associated with broker transactions in

1 the state of Florida?

2 A Yes, it does.

3 Q Do you know whether the FERC order having to
4 do with the crediting of revenue for transactions for
5 wheeling in broker sales directs that the crediting be
6 to a sub-account of Account 447?

7 A Yes, it does.

8 Q And 447 is the same account to which this
9 accounting bulletin directs that the nonwheeling
10 portion be credited, is it not?

11 A Yes.

12 MR. CHILDS: I'd like to have that document
13 marked for identification Commissioners, that bulletin
14 No. 20.

15 CHAIRMAN JOHNSON: It will be marked as
16 Exhibit 10, short titled Staff Advisory Bulletin 20.

17 (Exhibit 10 marked for identification.)

18 Q (By Mr. Childs) Mr. Kordecki, as to the
19 treatment and your comment about the inconsistent
20 treatment by the other companies both, I think, in
21 your direct and rebuttal, I ask you the following:
22 Would you agree that prior to 1985 when broker sales
23 were treated exclusively in the fuel adjustment
24 clause, that the off-system sales revenues for broker
25 transactions were handled in a full rate case

1 proceeding by reducing retail revenue requirements by
2 an imputed amount of budgeted off-system sales
3 revenue?

4 A That's correct.

5 Q And would you agree that that treatment or
6 recognition was through crediting?

7 A Excuse me. Are you still addressing my
8 direct testimony, or my rebuttal testimony?

9 Q I'm addressing at this point your point
10 about what FERC directs you to do in terms of
11 crediting.

12 A All right; summary of my rebuttal.

13 Q Would you agree that it -- that this
14 Commission reflected the treatment of revenues from
15 the sale -- broker sales, through a crediting of
16 revenues against the retail revenue requirement?

17 MR. WILLIS: Excuse me, Mr. Childs. What is
18 your reference to his direct testimony?

19 MR. CHILDS: I'm referring still to his
20 testimony on Page 3 of his direct which asks has FERC
21 specified how transmission revenues must be treated
22 for wholesale transmission revenue purposes, and he
23 answers that. And then in his -- and I asked him
24 whether that determined how the transaction needed to
25 be addressed in the state of Florida.

1 And so at this point I'm trying to
2 understand the consistency or relationship between the
3 crediting as directed by FERC and the crediting as
4 directed by this Commission.

5 **WITNESS KORDECKI:** The term that I used in
6 my summary of rebuttal that said about inconsistencies
7 did not refer to treatment by this Commission; it
8 referred to treatment of transmission transactions
9 that used the same -- basically, let's say the nonfirm
10 transactions or short-term firm transactions in some
11 cases were being dealt with by this Commission,
12 specifically broker sales, as credits to the fuel
13 clause as opposed to in other types of sale, let's say
14 third-party sales or other types of sales where the
15 revenues were taken above the line as operating
16 income.

17 So maybe I didn't make it clear when I
18 summarized my rebuttal that it was specific to
19 transmission, not that there was inconsistencies in
20 the treatment of where brokered sales were being dealt
21 with by this Commission.

22 **Q** **(By Mr. Childs)** And would you agree,
23 though, that the methodology used by this Commission
24 prior to the inclusion of broker revenues in the fuel
25 adjustment clause was to credit an estimated level of

1 the revenues against the retailed revenue requirement
2 in setting retail base rates?

3 A Yes, that's fine.

4 Q And would you agree that when this
5 Commission changed to incorporate broker transactions
6 in the fuel adjustment clause, that it, in fact,
7 addressed the retail rate level to reflect that
8 change; that is, that the amount of revenue that was
9 being transferred to the fuel adjustment clause was
10 reflected in an adjustment to base rates for the
11 effective utilities?

12 A I'll take your word for it. I wasn't there.

13 Q Well, I'm going to show you an order. It's
14 Order 12923 dated 1/24/84, and I'm going to ask you to
15 look at Page 3. I have one copy, so I'm going to
16 identify it in advance.

17 MR. WILLIS: Chairman Johnson, I object to
18 this line of questions which are beyond the scope of
19 Mr. Kordecki's testimony. Mr. Kordecki's testimony
20 goes to what the FERC treatments are, and he is asking
21 him a different line of questions that is not relevant
22 to his direct testimony. Those questions, if they're
23 to be directed, should be directed to Witness Branick.

24 CHAIRMAN JOHNSON: Mr. Childs?

25 MR. CHILDS: I think the witness just tried

1 to steer me in the right direction when he told me
2 what he was testifying in his direct testimony to
3 about the differential in the treatment between the
4 FERC and the FPSC.

5 I mean, to talk about what the FERC requires
6 without it having some relevance to what this
7 Commission does, I think would make all this testimony
8 relevant. My understanding was the witness said that
9 the FERC requirements were applicable to the
10 consistency of the treatment of the cost by this
11 Commission, and I think those were his words, "the
12 consistency."

13 CHAIRMAN JOHNSON: I'm going to allow the
14 question.

15 Q (By Mr. Childs) Mr. Kordecki, would you
16 look to that order that I gave you, Page 3 --

17 A Yes.

18 Q Would you look to that highlighted paragraph
19 towards the bottom of the page and tell me if you
20 would agree that that order reflects that the
21 Commission, in fact, adjusted base rates at the time
22 that it changed the treatment of broker sales in the
23 fuel adjustment clause?

24 A Yes, that's what it says.

25 Q Would you agree that now we're going in the

1 other direction, that is as it relates to the
2 transmission revenue, the treatment that you propose,
3 that you are proposing a credit to revenue, which you
4 state the FERC directs?

5 **A** My company's proposal is that it'd be more
6 appropriate to credit operating income with short-term
7 firm and nonfirm transaction; that's correct.

8 **Q** And the effect of that would be to take that
9 amount of the revenue associated with transmission
10 revenues from the fuel adjustment clause first of all,
11 would it not, by crediting as you propose?

12 **MR. WILLIS:** Excuse me, Mr. Childs. Our
13 witness for what our company proposal is is
14 Ms. Branick, not Mr. Kordecki. Those questions should
15 be directed to Ms. Branick.

16 **MR. CHILDS:** My understanding was this
17 witness in his rebuttal testimony and in his summary
18 testifies about that treatment by this Commission. I
19 realize you may have intended that the other witness
20 address it, but my understanding was that this witness
21 is talking about that treatment and the impact of that
22 treatment because of the crediting as directed by the
23 FERC. And the witness is testifying as to the effect
24 of the crediting on the long-term transmission rate,
25 and I don't understand how you can affect the

1 long-term transmission rate without reflecting the
2 impact on revenue requirements at the retail level.
3 So I'm trying to see how that's consistent.

4 WITNESS KORDECKI: They are not consistent.

5 Q (By Mr. Childs) They're not consistent?

6 A No. The retail rates are done -- in the
7 retail jurisdiction, the -- they're basically done on
8 a separation basis. In other words, requirements,
9 wholesale and retail, basically take -- or take all
10 the revenue requirements.

11 In the FERC jurisdictional transmission
12 rates, long-term firm use of the system, excluding --
13 including both native load requirements and
14 third-party users, basically the rate is derived as if
15 the third-party users of the transmission system were,
16 in fact, owners of the system.

17 In other words, the revenue requirements are
18 divided by the demand of all the firm customers on the
19 system, including retail, wholesale requirements and
20 third-party users. So there is a discrepancy between
21 the two.

22 Q Let me refer you specifically. Perhaps we
23 can head off some concern about the scope of the
24 questions. Would you look at Page 4 of your rebuttal
25 testimony?

1 **MR. CHILDS:** And I would point out that
2 there this witness is attempting to rebut the
3 testimony of Florida Power & Light Company and says as
4 follows: In third-party transactions, FPL keeps
5 transmission revenues as operating income. With
6 respect to broker transactions, FPL proposes to flow
7 transmission revenue through to the fuel clause.

8 **Q** **(By Mr. Childs)** Are you addressing that in
9 the context of wholesale transactions or FERC
10 transactions?

11 **A** Yes. Those are all --

12 **Q** All of this testimony relates solely to the
13 FERC?

14 **A** All wholesale transactions are FERC
15 jurisdictional; that's correct.

16 **Q** No. But this testimony where we say "With
17 respect to broker transactions, FPL proposes to flow
18 transmission revenues through to the fuel clause,"
19 that testimony relates to what FPL proposes to do for
20 wholesale sales?

21 **A** For transmission transactions?

22 **Q** Yes.

23 **A** Yeah. That's --

24 **Q** The flowing through is for the flowing
25 through in the wholesale fuel adjustment clause?

1 A No. I said --

2 Q Retail fuel adjustment --

3 A Yeah, in either -- either clause.

4 Q So to the extent we're talking about the
5 retail fuel adjustment clause, we have to talk about
6 what this Commission has before it, don't we?

7 A Yeah. I mean --

8 Q To the extent we talk about what's proper
9 and consistent, we have to talk about what this
10 Commission has directed and authorized, don't we?

11 A As far as all sales?

12 Q That's right.

13 A Yes.

14 Q Well, now let me go back to the question.
15 When this Commission directed that the cost be
16 included in the fuel adjustment clause, I think you
17 testified that it adjusted base rates.

18 A That's correct.

19 Q And it did that for Tampa Electric Company,
20 correct?

21 A That's correct. Yes.

22 Q Now, your proposal is to credit revenue, I
23 think, for retail purposes; is that right, to the
24 extent of the transmission revenues associated with
25 broker transactions?

1 A Again, I'm not the witness. But the
2 Company's proposal is that all short-term transactions
3 less than a year ought to be revenue credited, which
4 is in essence crediting to operating income. That
5 includes broker opportunity sales and third-party
6 short-term use --

7 Q Sure. And you --

8 A -- transmission --

9 Q You -- excuse me. Are you finished?

10 A Yes.

11 Q You say on Page 4 of your rebuttal
12 testimony, "In order to be consistent with both
13 transmission usage and ratemaking principles, FPL
14 should treat transmission revenues from broker sales
15 as, 'above the line,' so that transmission revenues
16 are treated comparably for all of FPL short-term
17 transmission uses," et cetera, don't you?

18 A That's the principle I believe is correct,
19 yes --

20 Q And do you mean that principle should be one
21 that's applicable in the retail context, or only
22 wholesale?

23 A You're talking about retail rates as opposed
24 to retail transmission use?

25 Q I'm talking about retail rates as related to

1 the fuel adjustment and broker transactions.

2 A I think all short-term transactions should
3 be dealt with the same way, whether third party or
4 broker, whatever they be; yes, that's --

5 Q So my question is -- well, I'm just asking
6 you to confirm the scope of your testimony, whether
7 it's wholesale or retail in the content --

8 A I think -- the scope of my testimony is, is
9 that all those transactions, like transactions, should
10 be treated the same way.

11 Q Okay. And now treating them the same way
12 when we go back to the question of including the
13 revenue from wheeling for broker transactions or sales
14 by Tampa Electric as a credit to revenue. That is the
15 proposal, right?

16 A Yes.

17 Q Credit to revenue, above the line?

18 A Above the line.

19 Q But it does not include -- that is the
20 proposal -- an adjustment to rates?

21 A Well, I would think that would be
22 appropriate, yes.

23 Q You think it would be appropriate?

24 A Yes. If you're going to take it out of one
25 and put it in the other, yes.

1 Q In fact, that's what the Commission did
2 before when it was going the other way, didn't it?

3 A Yes.

4 Q Thank you.

5 MR. CHILDS: That's all I have.

6 CHAIRMAN JOHNSON: Florida Power Corp?

7 MR. MCGEE: No questions.

8 CHAIRMAN JOHNSON: Gulf?

9 MR. STONE: No questions.

10 CHAIRMAN JOHNSON: Public Counsel?

11 **CROSS EXAMINATION**

12 **BY MR. BURGESS:**

13 Q Mr. Kordecki, I want to go back to the
14 example that was used, \$30.00, \$20.00 and \$3, to
15 understand how you would suggest the transaction price
16 be calculated.

17 When we have that, as I understand it, if
18 TECO were the selling utility, you suggest that the
19 transaction price would be \$25 and that the \$3 simply
20 be subsumed within that?

21 A That's correct.

22 Q My question to you is, do you have in this
23 an understanding or a notion as to what then would be
24 the cost in the same situation, but let's say there
25 was also an alternative source of production that was

1 \$18 strict --

2 A Mr. Burgess, could I ask you something? I
3 did not prepare the exhibit that you're generally
4 addressing, and I think it would be more appropriate
5 if you'd address those questions to Mrs. Branick.

6 Q Okay. Now, I'm --

7 A I mean, I can -- I'll -- you know, I can
8 attempt to answer, but I think she's the one
9 testifying to the specifics.

10 Q Well, I'm addressing Issue 11 and Issue -- I
11 mean, addressing Issues 9 and 11. I'm not
12 addressing -- I'm trying to figure out the transaction
13 price. I'm not dealing with how it should be treated
14 in the ratemaking context.

15 A I'm sorry.

16 Q If, for example, there were an alternative
17 production source available at 18, but they needed
18 wheeling services from TECO to make that sale, what
19 would be the transaction price there in your
20 understanding of the post-888 process?

21 A Well, I don't -- if it was a broker
22 transaction, it wouldn't have been any different than
23 it was before. The buyer would have purchased
24 transmission service from us, and to the extent that
25 the margin difference was still greater, they would

1 buy or not buy. I think that's --

2 Q Okay. Well, let me run through the
3 arithmetic just to make sure that we have the same
4 understanding as to whether the sale would be made.

5 As I understand it, then the producer at 18
6 would add \$3 and so, therefore, the price would be --
7 the incremental price would be \$21, and the
8 split-the-savings with the potential buyer would,
9 therefore, be \$25.50 and, therefore, the sale would be
10 made from Tampa Electric?

11 A Yeah. I'll take your --

12 Q Okay. And I guess my question -- and once
13 again this gets down to what we all agree is a very
14 difficult question to answer, and there doesn't seem
15 to be any silver bullets here -- but doesn't that, the
16 fact that with those examples the \$20 future as far as
17 costs for production would be sold instead of the \$18
18 fuel, doesn't that run counter to what you state on
19 Page 3 of your testimony, of your direct testimony
20 wherein you began on Line 9 that the concept -- and
21 this is the concept of 888 is to provide a level
22 playing field -- and I knew that term was used by
23 somebody somewhere -- so that generation competes
24 directly against generation?

25 A That's correct.

1 Q And in the example that we've come up with,
2 if the relationships of the numbers are in that
3 category, then, in fact, we wouldn't have -- under the
4 proposal that you have, we wouldn't have generation
5 competing directly against generation?

6 A No, I disagree.

7 Q Oh. Please tell me how.

8 A I think the concept of the level playing
9 field was the fact that a transmission owner could, in
10 fact, not charge for transmission and make a sale
11 against a third party who had to pay the fee to get
12 across the system. So that the idea of revenue
13 crediting or charging, it does, in fact, level the
14 playing field, at least in terms of operating income
15 that has to be regulated. Everyone is paying the same
16 charge.

17 One is imputed this -- you know, as an
18 owner, it's imputed at this point and would be dealt
19 with, I guess, in a rate case or, you know, it would
20 be a subtraction from revenue requirements. That's
21 how it's dealt with. And to the extent that there was
22 a third-party marketer who had to pay the \$2, or
23 whatever it be, they don't have the same direct
24 effect, but ultimately they do.

25 Q My understanding of what you had indicated

1 in the example was that, in fact, at that particular
2 hour if those were the available alternatives, the
3 broker would direct the burn of the \$20 fuel as
4 opposed to the \$18 fuel.

5 A Well, I think it's still -- you've got two
6 things you're -- that are trying to be accomplished.
7 You're trying to match the lowest cost generation, but
8 you're also trying to keep all the parties on the same
9 level playing field.

10 To the extent that the higher cost
11 generation might be used as opposed to the lower cost,
12 that may be one of the outgrowths of competition.

13 Q I see. So then it would run afoul, at least
14 of the understood purpose of the broker, which is to
15 burn the lowest cost fuel available?

16 A Well, if -- in using your example, let's say
17 it was -- you know, one was 18 and one was 20,
18 whatever it be, and that --

19 Q And a \$3 dollar transmission --

20 A And a \$3 transmission, I think that -- I
21 will attempt to speak for Tampa Electric Company and
22 the other utilities -- and they can jump up and say
23 that I'm wrong -- is one of the obvious -- the obvious
24 problem is that if we were to discount down to the
25 generation only cost, in other words, transmission was

1 zero in every hour for broker transactions, and broker
2 transactions are quoted every hour of the year, that
3 in fact would mean that marketers, IPPs or other
4 people with generation could traverse the transmission
5 system for nothing.

6 Q Yes.

7 A It would be free to everyone.

8 Q Yes. And it would --

9 A That's --

10 Q And it would assure that the lowest
11 production cost at any one time would be that which --

12 A No. That would mean that you're getting no
13 revenues for your transmission system, number one, the
14 owner. Number two is that in all probability, that
15 would be serving loads that probably would be removed
16 from Florida utilities service and they would not be
17 making the sale.

18 So I suspect what you're really saying is,
19 yes, you may end up with the lowest cost generation,
20 but you're going to end up with -- in that case, but
21 you're going to also end up with a lot of stranded
22 cost in the sense that the revenue is not being met
23 elsewhere.

24 Q Thank you.

25 CHAIRMAN JOHNSON: Ms. Kaufman?

CROSS EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MS. KAUFMAN:

Q Mr. Kordecki, would you agree with me that if the transmission revenue from these transactions we've been talking about is credited through the fuel clause, that consumers will see an immediate reduction in their bills?

A Yes, they would see -- yes, they would.

Q And that would not be the case if these revenues are retained as operating revenues as you proposed; is that right?

A There they would see them in terms of -- when rate changes were made or in terms of the effect of the earnings of the company. So they ultimately would see those benefits anyway.

Q They wouldn't see an immediate reduction, would they?

A No.

Q You were here, weren't you, when Mr. Villar testified?

A Yes.

Q And is it your understanding that at least as to broker transactions -- and we may have some disagreement on the wheeling, as Mr. Burgess mentioned -- but at least as to broker transactions,

1 FPL is proposing to flow the revenues back through the
2 fuel clause?

3 A That was my understanding.

4 Q And I am correct in understanding that it's
5 Tampa Electric's position that you want this
6 Commission to direct FP&L not to do that and to
7 require them to retain those revenues as operating
8 revenues?

9 MR. WILLIS: Excuse me just a minute. These
10 questions are well beyond the scope of Mr. Kordecki's
11 testimony. We have another witness that states what
12 the appropriate treatment should be. Her name is
13 Ms. Branick. She's the next witness, and these
14 questions should be directed to her.

15 MS. KAUFMAN: Chairman -- I beg to differ
16 with you. If you look at Mr. Kordecki's rebuttal
17 testimony, Page 4, beginning approximately at Line 8,
18 he's directly criticizing there what FPL is proposing
19 to do, and I think I'm entitled to question him about
20 that.

21 CHAIRMAN JOHNSON: Mr. Willis?

22 MR. WILLIS: The fact that he mentions that
23 in his testimony is not indicative of whether he's
24 sponsoring the particular treatment for Tampa
25 Electric. He made those statements. The treatment

1 and the proposal that we have made is being sponsored
2 by Ms. Branick.

3 **CHAIRMAN JOHNSON:** I'm going to allow the
4 question. To the extent that the witness doesn't
5 known the answer or can't answer it, then he can say
6 something.

7 **Q** **(By Ms. Kaufman)** Do you need me to repeat
8 the question, Mr. Kordecki, or do you recall it?

9 **A** Yeah. The essence of my statement is, is
10 that for consistency's sake, they ought to be dealt
11 with the same way, and the Company's proposal is that
12 they be dealt in operating income.

13 **Q** So what you are asking this Commission to do
14 is to direct FPL to not flow these revenues back to
15 ratepayers; is that right?

16 **A** I think they're flowing them back when they
17 put them above the line. You just asked me whether it
18 was immediate or longer term, and the answer I gave
19 you was not immediate, it was longer term; but I am
20 saying they ought need to be -- they are being flowed
21 back.

22 **Q** Well, maybe my question wasn't clear. What
23 you're asking the Commission to do is to direct FPL
24 not to flow these revenues back to customers through
25 the fuel clause; is that right?

1 A Companies -- Tampa Electric's proposal, you
2 need to direct that to Ms. Branick. I'm just
3 saying --

4 Q Mr. Kordecki --

5 A I'm just saying they need to be treated the
6 same way.

7 Q If you would look at your rebuttal testimony
8 on Page 4 beginning at Line 9. If I'm misreading
9 this, you know, just tell me; but aren't you
10 criticizing FPL there and suggesting that the
11 Commission should direct them to follow the approach
12 that Tampa Electric is sponsoring?

13 A I think what I was attempting to do was show
14 that there's an inconsistency between -- in terms of
15 how transmission use is being dealt with, and to the
16 extent that the more appropriate treatment for
17 purposes of revenue crediting because -- due to the
18 FERC transmission tariff is operating income, yes.

19 Q You think that's a more appropriate
20 treatment for FPL to use as well?

21 A I think it's a more appropriate treatment
22 for everybody to use, yes.

23 Q Now, I think you mentioned in some responses
24 to me and earlier as well that one of your concerns is
25 that all these transactions be treated in the same

1 way; is that right?

2 A Yes.

3 Q And the way that Tampa Electric has proposed
4 that consistency is to retain all the revenue from all
5 the different kind of transactions as operating
6 revenue, right?

7 A Short-term, yes.

8 Q Wouldn't another way to maintain consistency
9 be to flow back all the revenue through the fuel
10 clause from these transactions, treat them all that
11 way?

12 A Well, not all, no. You can't flow all of it
13 back.

14 Q We're talking about transmission revenues
15 here.

16 A That's hard to say.

17 Q So another way to assure consistency would
18 be to flow the revenues back, rather than retaining
19 them as operating revenue?

20 A No. I think actually the most equitable way
21 is to leave them above the line, because they're --
22 above the line you're dealing with both retail in a
23 rate case, wholesale requirements in a rate case, and
24 third-party users in a -- in a case.

25 Q Mr. Kordecki, I think I understand Tampa

1 Electric's position, but what I'm asking you is, it
2 certainly would be a consistent treatment to flow the
3 revenue back, wouldn't it?

4 A I don't think there's a way to consistently
5 flow back third-party users. That's what I'm saying.

6 Q I guess I don't understand your response.
7 Why could Tampa Electric not take the revenue that it
8 receives from third-party transactions and flow it
9 through the fuel clause?

10 A Because third-party users, nonrequirements
11 customers don't have a fuel clause.

12 Q We're talking about retail customers here,
13 right? I think you got in that discussion with
14 Mr. Childs. We're talking about retail customers and
15 the retail --

16 A And I'm saying because of those differences
17 between requirements, retail and third-party users,
18 the most equitable way to deal with it is to put it in
19 operating income.

20 Q Let me give you a hypothetical. Maybe we
21 can work through this. If Tampa Electric --

22 MR. WILLIS: Excuse me. I object to this
23 continuing line of questions with respect to Tampa
24 Electric's proposal. These questions should be
25 directed to Ms. Branick.

1 **MS. KAUFMAN:** Chairman Johnson, I think I
2 understand Tampa Electric's proposal, and that's not
3 what I'm questioning Mr. Kordecki about.

4 He's stated several times that one of Tampa
5 Electric's concerns is that these revenues be treated
6 consistently, and that's what I'm trying to explore
7 with him. He stated what Tampa Electric's consistent
8 treatment would be, but I think there are other ways
9 to deal with it.

10 **WITNESS KORDECKI:** And what I'm saying is
11 that there's no consistent way to deal with a
12 third-party user -- in a fuel clause. There is no
13 fuel clause.

14 **CHAIRMAN JOHNSON:** I will allow the
15 question.

16 **MS. KAUFMAN:** Thank you.

17 **Q** **(By Ms. Kaufman)** Here's my hypothetical,
18 Mr. Kordecki. Tampa Electric receives revenue for
19 transmission service that it has provided to one of
20 these third-party hordes that Mr. Howell referred to.
21 They receive that revenue. It's accounted for. Why
22 is it they could not flow through the fuel clause?

23 **A** Because the customer who -- where you derive
24 the rate from FERC does not have a fuel clause.

25 **Q** But Tampa Electric could take that revenue

1 and flow it through the retail fuel clause which we
2 have in Florida, right?

3 **A** Then you will have the mismatch that
4 Mr. Howell was deriving. You're giving away,
5 theoretically, someone else's money.

6 **Q** But you could do it. I mean, it's not a
7 problem of accounting. You could flow it through the
8 fuel clause.

9 **A** I could flow everything through the fuel
10 clause. I mean, accounting wise, we could put
11 everything through, yeah. I'm not trying to be
12 capricious, but that's -- yes. It doesn't make it
13 right.

14 **Q** Thank you.

15 **MS. KAUFMAN:** That's all I have, Chairman
16 Johnson.

17 **CHAIRMAN JOHNSON:** Staff?

18 **MS. PAUGH:** Staff has no questions of this
19 witness.

20 **CHAIRMAN JOHNSON:** Redirect?

21 **MR. WILLIS:** Could we take a short break?

22 **CHAIRMAN JOHNSON:** We'll take a five-minute
23 break.

24 (Brief recess.)

25

- - - - -

1 Q (By Mr. Willis) Mr. Kordecki, Mr. Childs
2 asked you several questions with respect to the
3 treatment of transmission revenues above the line, and
4 the effect of those treatments with respect to the
5 company's base rates. Do you recall those questions?

6 A Yes.

7 Q Mr. Kordecki, when should those revenues and
8 the calculation of those revenues affect the company's
9 base rates?

10 A At the time of the next rate case is what I
11 meant.

12 Q Now, you were also asked some questions with
13 respect to the actions taken in 1984 at the time the
14 80/20 split was adopted?

15 A Yes.

16 Q Do you know, in fact, if Tampa Electric's
17 base rates were changed at that time?

18 A No, I do not. It was my understanding, and
19 I could stand corrected, that they were done at the
20 next rate proceeding.

21 Q Thank you.

22 MR. WILLIS: No further questions.

23 CHAIRMAN JOHNSON: No further questions?

24 Exhibits.

25 MR. WILLIS: Mr. Kordecki's Exhibit No. 9, I

1 believe, I move into evidence.

2 CHAIRMAN JOHNSON: Okay.

3 MR. CHILDS: I'd like to move Exhibit 10.

4 CHAIRMAN JOHNSON: Show both those admitted
5 then without objection. Thank you. You're excused.

6 (Witness Kordecki excused.)

7 (Exhibits 9 and 10 received in evidence.)

8 MR. WILLIS: Call Ms. Branick.

9

- - - - -

10 KAREN BRANICK

11 was called as a witness on behalf of Tampa Electric
12 Company and, having been duly sworn, testified as
13 follows:

14 DIRECT EXAMINATION

15 BY MR. WILLIS:

16 Q Would you state your name, address,
17 occupation and employer?

18 A My name is Karen Branick. My business
19 address is 702 North Franklin Street, Tampa, Florida
20 33602. I'm employed by Tampa Electric Company and I'm
21 the Director of Electric Regulatory Affairs.

22 MR. WILLIS: Chairman Johnson, Ms. Branick
23 filed three different pieces of testimony. The first
24 two pieces have been stipulated in the record, as I
25 understand, and the third piece, the supplemental

1 direct testimony is the subject that we're trying on
2 transmission revenues. And I take it, it was not
3 shown as stipulated in by asteric, but I'm asking that
4 her testimony and exhibit, prepared Direct Testimony
5 of May 20th, as well as the prepared Direct Testimony
6 of June 23rd, be inserted into the record, and that
7 the exhibits attached thereto be admitted in the
8 record.

9 **CHAIRMAN JOHNSON:** May 20th was stipulated?

10 **MR. WILLIS:** Yes. The first two pieces were
11 stipulated into the record, I believe.

12 **MS. PAUGH:** Yes, they were stipulated, but
13 we've not identified the additional exhibits. We'll
14 do that at the --

15 **CHAIRMAN JOHNSON:** So all we need to deal
16 with now is the -- but we will go back and take care
17 of that in a orderly fashion. As it relates to her
18 testimony are we looking at the June 23, '97?

19 **MR. WILLIS:** That's correct.

20 **CHAIRMAN JOHNSON:** You said there were
21 exhibits attached to that?

22 **MR. WILLIS:** There is one exhibit attached
23 to that, KAB-5.

24 **CHAIRMAN JOHNSON:** And the rebuttal was to
25 Issue 13 so it's been withdrawn?

1 **MR. WILLIS:** It's been withdrawn.

2 **Q** **(By Mr. Willis)** Did you prepare and cause
3 to be prefiled Supplemental Direct Testimony of Karen
4 A. Branick?

5 **A** I did.

6 **Q** If I were to ask you the questions contained
7 in this testimony, would your answers be the same?

8 **A** They would.

9 **MR. WILLIS:** We'd ask that Ms. Branick's
10 supplemental direct testimony be inserted into the
11 record as though read.

12 **COMMISSIONER JOHNSON:** It will be so
13 inserted.

14 **Q** **(By Mr. Willis)** Did you prepare an exhibit
15 that's attached to your testimony?

16 **A** KAB-5?

17 **Q** Yes.

18 **A** Yes.

19 **MR. WILLIS:** I ask that exhibit be marked
20 for identification.

21 **CHAIRMAN JOHNSON:** It will be marked
22 Exhibit 11 identified KAB-5.

23 (Exhibit 11 marked for identification.)
24
25

266-1

1 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

2 PREPARED DIRECT TESTIMONY

3 OF

4 KAREN A. BRANICK

5
6 Q. Please state your name, address, occupation and employer.

7
8 A. My name is Karen A. Branick. My business address is 702
9 North Franklin Street, Tampa, Florida 33602. My position
10 is Manager - Energy Issues in the Regulatory and Business
11 Strategy Department of Tampa Electric Company.

12
13 Q. Please provide a brief outline of your educational
14 background and business experience.

15
16 A. I received a Bachelor of Science Degree in Chemical
17 Engineering and Chemistry from the University of
18 Pittsburgh, Pittsburgh, Pennsylvania in 1986. In 1987 I
19 was employed as a chemist for Florida Power & Light Company
20 (FPL). In 1990, I became a performance engineer; in 1991
21 a lab supervisor; and in 1992 an operations supervisor for
22 FPL. My career at Tampa Electric Company began in 1992 in
23 the Production Department. My responsibilities included
24 insurance of proper boiler chemistry and chemical
25 engineering support during normal operations and

1 maintenance outages. I led projects related to alternate
2 fuel test burns and waste water management. In 1994, I
3 transferred to the Bulk Power & Market Development
4 Department where I managed the customer accounts of
5 approximately 30 of Tampa Electric's large industrial
6 customers. I also participated in developing proposals for
7 long term off system sales of wholesale power. In October
8 of 1996, I was promoted to Manager-Energy Issues in the
9 Regulatory and Business Strategy Department. My present
10 responsibilities include the areas of fuel adjustment,
11 capacity cost recovery, environmental filings and rate
12 design.

13
14 **Q.** What is the purpose of your testimony in this proceeding?

15
16 **A.** The purpose of my testimony is to present the net true-up
17 amounts for the October 1996 through March 1997 period for
18 both the Fuel Cost Recovery and the Capacity Cost Recovery
19 Clauses.

20
21 **FUEL COST RECOVERY CLAUSE**

22
23 **Q.** What is the net true-up amount for the fuel cost recovery
24 clause for the period October 1996 through March 1997?

25

- 1 **A.** An over/(under) - recovery of \$1,926,965. The actual fuel
2 cost over/(under) - recovery, including interest, is
3 \$6,918,724 for the period October 1996 through March 1997
4 (Schedule A2, page 2 of 3, of March 1997 monthly filing, in
5 Document No. 4, reflects an end of period total net true-up
6 of \$3,517,588. Subtracting the beginning of period
7 deferred true-up of (\$3,401,136) yields the \$6,918,724.
8 This \$6,918,724 amount, less the actual/estimated
9 over/(under) - recovery approved in the February 1997 fuel
10 hearings of \$4,991,759 results in a final over/(under) -
11 recovery for the period of \$1,926,965. This over/(under) -
12 recovery amount of \$1,926,965 will be carried over and
13 applied in the calculation of the fuel recovery factor for
14 the period October 1997 through March 1998.
15
- 16 **Q.** How much effect will this \$1,926,965 over/(under) -recovery
17 in the October 1996 through March 1997 period, have on the
18 October 1997 through March 1998 period?
19
- 20 **A.** The \$1,926,965 over/(under) - recovery will cause a 1,000
21 KWH residential bill to be approximately \$0.27 lower.
22
- 23 **Q.** Have you prepared an Exhibit in this proceeding?
24
- 25 **A.** Yes. Exhibit No. (KAB-1, Fuel Cost Recovery and Capacity

1 Cost Recovery) which contains four documents. Document No.
2 3 is used to explain the capacity cost recovery clause
3 which is discussed later in my testimony. Document No. 4
4 contains Commission Schedules A-1 through A-9 for the
5 months of October 1996 through March 1997. Included with
6 the March 1997 monthly filing is a six months summary for
7 each of Commission Schedules A6, A7, A8, and A9 for the
8 period October 1996 through March 1997.

9
10 Q. Please explain Document No. 1.

11
12 A. Document No. 1, entitled "Tampa Electric Company Final Fuel
13 Over/(Under) - Recovery for the period October 1996 through
14 March 1997" shows the calculation of the final fuel
15 over/(under) - recovery for the period of \$1,926,965 which
16 will be applied to jurisdictional sales during the period
17 October 1997 through March 1998.

18
19 Line 1 shows the total company fuel costs of \$151,404,489
20 for the period October 1996 through March 1997. The
21 jurisdictional amount of total fuel costs is \$152,930,406
22 as shown on line 2. This amount is compared to the
23 jurisdictional fuel revenues applicable to the period on
24 line 3 to obtain the actual over/(under) - recovered fuel
25 costs for the period, shown on line 4. The resulting

1 \$6,959,567 over/(under) - recovered fuel costs for the
2 period, combined with (\$40,843) of interest shown on line
3 5, constitute the actual over/(under) - recovery of
4 \$6,918,724 shown on line 6. The \$6,918,724 less the
5 actual/estimated over/(under) - recovery of \$4,991,759
6 shown on line 7, which was approved in the February 1997
7 fuel hearings, results in the final over/(under) - recovery
8 of \$1,926,965 shown on line 8.

9

10 Q. What does Document No. 2 show?

11

12 A. Document No. 2, entitled "Tampa Electric Company
13 Calculation of True-Up Amount Actual vs. Original Estimates
14 for the period October 1996 through March 1997," shows the
15 calculation of the actual over/(under) - recovery as
16 compared to the original estimate for the same period.

17

18 Q. What was the variance in jurisdictional fuel revenues for
19 the period October 1996 through March 1997?

20

21 A. As shown on line C1 of my Document No. 2, the company
22 collected \$10,517 more jurisdictional fuel revenues than
23 originally estimated.

24

25 Q. What was the total fuel and net power transaction cost

1 variance for the period October 1996 through March 1997?

2

3 A. As shown on line A7 of Document No. 2, the fuel and net
4 power transactions cost variance is (\$6,023,729) or (3.8%).

5

6 Q. What are the reasons for the total fuel and net power
7 transactions cost being lower by (\$6,023,729) or (3.8%)?

8

9 A. The primary reason for the (3.8%) decrease is due to Net
10 Energy for Load being up 37,497 MWH or 0.5%. This 0.5%
11 combined with the ¢/KWH for Total Fuel and Net Power
12 Transaction being less than estimated by (4.3%), accounts
13 for the (3.8%) decrease.

14

15 **CAPACITY COST RECOVERY CLAUSE**

16

17 Q. What is the net true-up amount for the capacity cost
18 recovery clause for the period October 1996 through March
19 1997?

20

21 A. An over/(under) - recovery of (\$28,551). The actual
22 capacity cost over/(under) - recovery, including interest,
23 is \$212,386 for the period October 1996 through March 1997
24 (Document No. 3, pages 2 and 3 of 5). This amount, less
25 the actual/estimated over/(under) - recovery approved in

1 the February 1997 fuel hearings of \$240,937 results in a
2 final over/(under) - recovery for the period of (\$28,551)
3 (Document No. 3, page 5 of 5). This over/(under) -
4 recovery amount of (\$28,551) will be carried over and
5 applied in the calculation of the capacity cost recovery
6 factor for the period October 1997 through March 1998.
7

8 Q. How much effect will this (\$28,551) over/(under) - recovery
9 in the October 1996 through March 1997 period, have on the
10 October 1997 through March 1998 period?
11

12 A. The (\$28,551) over/(under) - recovery will have no effect
13 on a 1,000 KWH residential bill.
14

15 Q. Does this conclude your testimony?
16

17 A. Yes.
18
19
20
21
22
23
24
25

1 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

2 PREPARED DIRECT TESTIMONY

3 OF

4 KAREN A. BRANICK

5
6 Q. Please state your name, address, occupation and employer.

7
8 A. My name is Karen A. Branick. My business address is 702
9 North Franklin Street, Tampa, Florida 33602. I am employed
10 by Tampa Electric Company in the position of Director -
11 Electric Regulatory Affairs.

12
13 Q. Please provide a brief outline of your educational
14 background and business experience.

15
16 A. I received a Bachelor of Science Degree in Chemical
17 Engineering and Chemistry from the University of
18 Pittsburgh, Pittsburgh, Pennsylvania in 1986. In 1987 I
19 was employed as a chemist for Florida Power & Light Company
20 (FPL). In 1990, I became a performance engineer; in 1991
21 a laboratory supervisor; and in 1992 an operations
22 supervisor for FPL. My career at Tampa Electric began in
23 1992 in the Production Department. My responsibilities
24 included insurance of proper boiler chemistry and chemical
25 engineering support during normal operations and

1 maintenance outages. I led projects related to alternate
2 fuel test burns and waste water management. In 1994, I
3 transferred to the Bulk Power & Market Development
4 Department where I managed the customer accounts of
5 approximately 30 of Tampa Electric's large industrial
6 customers. I also participated in developing proposals for
7 long term off-system sales of wholesale power. In October
8 1996, I was promoted to Manager-Energy Issues in the
9 Regulatory and Business Strategy Department. In June of
10 1997 I was promoted to my current position of Director. My
11 present responsibilities include the areas of fuel
12 adjustment filings, capacity costs recovery filings,
13 environmental cost recovery filings, pricing and rate
14 design and issues under the Federal jurisdiction.

15

16 Q. What is the purpose of your testimony?

17

18 A. The purpose of my testimony is to present to the Commission
19 the proposed Total Fuel and Purchased Power Cost Recovery
20 factors, the proposed Capacity Cost Recovery factors and
21 the billing refund credit factors for the period of October
22 1997 - March 1998.

23

24 Fuel and Purchased Power Cost Recovery Factors / Capacity Cost
25 Recovery Clause

- 1
- 2 Q. Did you review the projected data necessary to calculate
- 3 the Total Fuel and Purchased Power Cost Recovery factors
- 4 for the period October 1997 - March 1998?
- 5
- 6 A. Yes I have.
- 7
- 8 Q. Do you wish to sponsor an exhibit consisting of Schedules
- 9 H-1 (October - March, 1994 through 1997) and Schedules E-1
- 10 through E-10 (October 1997 - March 1998)?
- 11
- 12 A. Yes. Also contained in this exhibit are Schedules E-2, E-
- 13 3, E-5, E-6, E-7, E-8 and E-9 for the prior period April
- 14 1997 - September 1997. These schedules are furnished as
- 15 back-up for the projected true-up for this period and
- 16 consist of two actual months and four projected months.
- 17
- 18 (Have identified as Exhibit No. 34 (KAB-2), Fuel
- 19 Projection.)
- 20
- 21 Q. Does Schedule E-1 of Exhibit No. 34 (KAB-2), Fuel
- 22 Projection, show the proper value for the Total Fuel and
- 23 Purchased Power Cost Recovery Clause as projected for the
- 24 period October 1997 - March 1998?
- 25

- 1 A. Yes.
- 2
- 3 Q. What is the proper value of the fuel adjustment for the new
4 period?
- 5
- 6 A. The proper value for the new period is 2.304 cents per kwh
7 before the application of the factors that adjust for
8 variations in line losses.
- 9
- 10 Q. Please describe the information provided on Schedule E-1C.
- 11
- 12 A. The GPIF and True-up factors are provided on Schedule E-1C.
13 We propose that a GPIF reward of \$96,660 be included in the
14 projection period. The True-up amount for the April 1997 -
15 September 1997 period is an overrecovery of \$6,736,674.
16 This overrecovery is comprised of a final True-up
17 overrecovery amount of \$1,926,965 for the October 1996 -
18 March 1997 period and an estimated overrecovery in the
19 amount of \$4,809,709 for the April 1997 - September 1997
20 period.
- 21
- 22 Q. Please describe the information provided on Schedule E-1D.
- 23
- 24 A. Schedule E-1D presents the company's on-peak and off-peak
25 fuel charge factors for the October 1997 - March 1998

1 period.

2

3 Q. What is the purpose of Schedule E-1E?

4

5 A. The purpose of Schedule E-1E is to present the standard,
6 on-peak and off-peak fuel charge factors after adjusting
7 for variations in line losses.

8

9 Q. How will the total revenues associated with the FMPA and
10 Lakeland long-term off system sales be treated in the fuel
11 clause?

12

13 A. Tampa Electric appeared before the Commission on June 11,
14 1997 where this issue was heard in Docket No. 970171-EU;
15 Determination of appropriate cost allocation and regulatory
16 treatment of total revenues associated with wholesale sales
17 to Florida Municipal Power Agency and City of Lakeland by
18 Tampa Electric Company. The Company made a proposal to:

19 • Credit revenues equal to system incremental fuel to
20 the Fuel and Purchase Power Clause

21 • Credit revenues equal to incremental SO₂ allowance
22 costs to the Environmental Cost Recovery Clause

23 • credit transmission revenues and revenues equal to
24 variable operating and maintenance expense to
25 operating revenue above the line

- 1 • and share the remaining revenues from these sales
2 50/50 with 50% flowing through the fuel clause, and
3 50% credited to operating revenues above the line.

4

5 Tampa Electric guaranteed the rate payers 50% share of
6 these remaining revenues would be \$2 million net present
7 value to be credited to customers over two fuel adjustment
8 periods.

9

10 The earliest expected date for the Commission to rule on
11 the Company's proposal is August 5, 1997. Therefore, for
12 purposes of this fuel adjustment filing, Tampa Electric has
13 continued to flow fuel revenues from these sales through
14 the fuel clause, and credit the remaining revenues to above
15 the line operating revenues.

16

17 Q. Please recap the proposed Fuel and Purchased Power Cost
18 Recovery factors for the October 1997 - March 1998 period.

19

20 A.

Fuel Charge

<u>Rate Schedule</u>	<u>Factor (cents per kwh)</u>
Average Factor	2.304
RS, GS and TS	2.321
RST and GST	2.598 (on-peak)
	2.217 (off-peak)

25

1	SL-2, OL-1 and OL-3	2.274
2	GSD, GSLD, and SBF	2.307
3	GSDT, GSLDT, EV-X and SBFT	2.582 (on-peak)
4		2.204 (off-peak)
5	IS-1, IS-3, SBI-1, SBI-3	2.232
6	IST-1, IST-3, SBIT-1, SBIT-3	2.498 (on-peak)
7		2.132 (off-peak)
8		
9	Q.	How does Tampa Electric Company's proposed average fuel
10		charge factor of 2.304 cents per kwh compare to the average
11		fuel charge factor for the April 1997 - September 1997
12		period?
13		
14	A.	The proposed fuel charge factor is 0.111 cents per kwh (or
15		\$1.11 per 1000 kwh) lower than the average fuel charge
16		factor of 2.415 cents per kwh for the April 1997 -
17		September 1997 period.
18		
19	Q.	Are you also requesting Commission approval of the
20		projected Capacity Cost Recovery factors for the Company's
21		various rate schedules?
22		
23	A.	Yes.
24		
25	Q.	Have you prepared or caused to be prepared under your

1 direction or supervision an exhibit which supports this
2 request?

3
4 A. Yes. It consists of five pages identified as Exhibit No.
5 35 KAB-3, Capacity Cost Recovery.

6
7 Q. What payments are included in Tampa Electric's capacity
8 cost recovery factor?

9
10 A. Tampa Electric is requesting recovery, through the capacity
11 cost recovery factor, of capacity payments made pursuant to
12 cogeneration, small power production and purchased power
13 agreements to which we are a party.

14
15 Q. Please re-cap the proposed Capacity Cost Recovery Clause
16 factors for the October 1997 - March 1998 period.

17
18 A.

	Capacity Cost Recovery
<u>Rate Schedule</u>	<u>Factor (cents per kwh)</u>
19 RS	0.228
20 GS and TS	0.220
21 GSD, EV-X	0.168
22 GSLD and SBF	0.149
23 IS-1, IS-3, SBI-1, SBI-3	0.013
24 SL-2, OL-1 and OL-3	0.026

25

1
2 These factors can be seen in Exhibit No. 35 (KAB-3), page
3 3 of 5.
4

5 Stipulation Refund
6

7 Q. Does the current Revenue Credit Refund Factor of 0.168 cent
8 per kWh terminate after September 1997?
9

10 A. Yes. The company is currently refunding \$25 million, plus
11 interest, over the 12-month period from October 1996
12 through September 1997. This refund is in accordance with
13 the Stipulation between Tampa Electric, the Office of
14 Public Counsel and the Florida Industrial Users Group
15 signed March 25, 1996. This stipulation was approved in
16 Order No. PSC-96-0670-S-EI in Docket No. 950379-E issued
17 May 20, 1996. This revenue credit refund factor is shown
18 as a line item on the customer's bill. This revenue credit
19 factor will terminate after the last billing cycle for the
20 month of September 1997. As defined in the Stipulation,
21 any over or under collection balance ending September 1997
22 associated with the refund credit will be handled as a
23 true-up component in the normal course of Tampa Electric's
24 fuel cost recovery proceedings.
25

1 Temporary Base Rate Reduction

2 Q. Will Tampa Electric begin a temporary base rate decrease in
3 October 1997?

4
5 A. Yes. On September 25, 1996, Tampa Electric, the Office of
6 Public Counsel and the Florida Industrial Power Users Group
7 signed a separate stipulation. This stipulation was
8 subsequently approved in Order No. PSC-96-1300-S-EI in
9 Docket No. 960409-EI issued October 24, 1996. As part of
10 this Stipulation, Tampa Electric has agreed to a temporary
11 base rate reduction in the total amount of \$25 million over
12 fifteen months beginning about October 1, 1997. The base
13 rate reduction is to begin concurrently with the fuel
14 adjustment period beginning about October 1, 1997. This
15 temporary base rate reduction will be shown as a line item
16 on the customer's bill, replacing the refund currently on
17 the bill.

18
19 This temporary base rate decrease will be 0.130 cent per
20 kWh on average. The factors by rate class, adjusted for
21 line loss, are shown below. The derivation of these
22 factors is shown in Document No. 4 of Exhibit KAB-2.

23
24
25

1	<u>Rate Class</u>	<u>Credit Factor cents / kWh</u>
2	Average Factor	0.130
3	RS, RST, GS, GST, TS	0.131
4	GSD, GSDT, GSLD, GSLDT,	0.130
5	EV-X, SBF, SBFT	
6	IS-1&3, IST-1&3, SBIT-1&3	0.126
7	SL, OL	0.131

8

9 Q. What is the composite effect of the above changes on a
10 1,000 kwh residential Customer?

11

12 A. A residential bill for 1,000 kwh will decrease \$0.03
13 beginning October 1997. See table below.

14		<u>Apr. 97 thru</u>	<u>Oct. 97 thru</u>
15	<u>Type of Charge</u>	<u>Sept. 97</u>	<u>Mar. 98</u>
16	Customer	\$ 8.50	\$ 8.50
17	Energy	43.42	43.42
18	Conservation	1.63	1.63
19	Environmental	0.33	0.54
20	Fuel	24.32	23.21
21	Capacity	1.79	2.28
22	Deferred Revenue Plan		
23	Refund	(1.69)	(1.31)
24	FGR Tax	<u>2.01</u>	<u>2.01</u>
25	Total	\$ 80.31	\$ 80.28

1 Q. When should the new charges and refund go into effect?

2

3 A. They should go into effect commensurate with the first
4 billing cycle in October 1997.

5

6 Q. Does this conclude your testimony?

7

8 A. Yes it does.

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

266-20

1 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

2 SUPPLEMENTAL DIRECT TESTIMONY

3 OF

4 KAREN A. BRANICK

5

6 Q. Please state your name, address, occupation and employer.

7

8 A. My name is Karen A. Branick. My business address is 702
9 North Franklin Street, Tampa, Florida 33602. I am employed
10 by Tampa Electric Company in the position of Director -
11 Electric Regulatory Affairs.

12

13 Q. Are you the same Karen A. Branick who filed direct
14 testimony in this Docket?

15

16 A. Yes I am.

17

18 Q. What is the purpose of your Supplemental testimony?

19

20 A. The purpose of my testimony is to explain how Tampa
21 Electric has executed energy sales and purchases on the
22 Florida Energy Broker, and treated the margin revenues
23 associated with these transactions both prior to and
24 subsequent to the issuance of the "Open Access" rule
25 promulgated by FERC. I will also explain how Tampa

1 Electric's current treatment of crediting transmission
2 revenues from within its margin share to above the line
3 operating revenue meets FERC requirements under the new
4 Rule 888, and is consistent with past Florida Commission
5 treatment of transmission revenues. I will also show how
6 Tampa Electric's approach is consistent with continuing the
7 viability of the Florida Broker system and the benefits it
8 affords to retail customers.

9
10 **Q.** How does the Florida Energy Broker network function?

11
12 **A.** The Broker network and the associated FERC Schedule C
13 Interchange Agreements between utilities in Florida are
14 designed to offer the lowest price for power providing
15 savings to the purchaser and additional revenues to the
16 seller. The Broker works in the following manner: Sell and
17 Buy Quotes on the Broker are to include only the
18 incremental cost of making such sales. Specifically, this
19 means that utilities are permitted to quote incremental
20 fuel and any variable O&M costs in their quotes. The Sell
21 and Buy Quotes are averaged to determine the transaction
22 price for each matched transaction. On the Buyer's side of
23 the transaction, the difference between the Buy Quote and
24 the transaction price represents the buyer's savings from
25 the transaction. On the Seller's side of the transaction,

1 the difference between the transaction price and the Sell
2 Quote determines the margin on the sale. Since all
3 variable costs have been covered, this margin is considered
4 to be an overall benefit from the sale. This Commission
5 recognized the need to incent utilities to maximize the
6 benefits associated with Broker transactions and allowed a
7 sharing of this margin.
8

9 Q. How has Tampa Electric treated transmission revenues
10 associated with broker transactions prior to Rule 888?
11

12 A. Margins from broker sales in total were shared 60/20 with
13 80% flowing through the fuel clause and 20% flowing to
14 shareholders below the line. Exhibit No. ¹¹KAB-5 shows this
15 in detail. This margin can be considered an overall
16 benefit from the sale with no dollars "ear-marked" for
17 transmission.
18

19 Q. How has Tampa Electric treated transmission revenues
20 associated with Broker transactions since Rule 888?
21

22 A. Beginning on January 1, 1997, Tampa Electric has had to
23 modify the treatment of the margin from broker sales. A
24 match on the broker will not occur between Tampa Electric
25 and a purchaser unless the sales margin is at least

1 equivalent to Tampa Electric's transmission rate for the
2 transaction. From the margin, revenues equal to the
3 transmission rate are credited above the line to operating
4 revenues. Remaining margin revenues are shared 80/20 with
5 80% flowing through the fuel clause to retail customers and
6 20% to the shareholders below the line. See Exhibit
7 No. 11KAB-5.
8

9 Q. Is Tampa Electric's present treatment of crediting these
10 transmission revenues above the line a fair and reasonable
11 response to the implementation of FERC Order 888?
12

13 A. Yes. As Mr. Kordecki has pointed out in his direct
14 testimony, FERC has in effect, required us to treat these
15 imputed transmission revenues from broker sales in
16 precisely the same way as other third party transmission
17 revenues would be treated for FERC jurisdictional
18 transmission ratemaking purposes.
19

20 Q. What is involved in this approach?
21

22 A. Transmission is treated in rate base as a rate base asset
23 for both the wholesale and retail jurisdictions. Provided
24 there is prudent management of rate base and expenses by a
25 utility, a utility is entitled to the recovery of its

1 costs. In the case of rate based transmission assets, the
2 recovery of costs means the recovery of revenue
3 requirements, which include depreciation, operating
4 expenses, returns on investment and taxes. These revenue
5 requirements are recovered through base rates in both the
6 retail and wholesale jurisdictions. Thus, these costs are
7 not dealt with in the fuel or other cost recovery clauses
8 in either the wholesale or retail jurisdictions.
9 Therefore, revenue crediting of transmission revenues must
10 be accomplished within the base rate part of the total
11 rate.

12

13 Q. Is your proposal consistent with current Commission
14 practices and in the interest of retail customers?

15

16 A. Yes. This proposed treatment is entirely consistent with
17 the way this Commission has treated third party
18 transmission revenues for ratemaking purposes. In past
19 electric rate cases, the Commission has ordered utilities
20 to revenue credit transmission revenues for retail
21 ratemaking purposes. Most recently, for Tampa Electric this
22 was done in its last rate case, Docket No. 920524-EI.

23

24 Tampa Electric's proposal also allows retail customers to
25 benefit fully from transmission related revenues by

1 crediting this amount to above the line operating revenue.
2 This accounting treatment has the effect of both postponing
3 the need for a rate adjustment and decreasing the resulting
4 revenue requirement when retail rates are next adjusted on
5 the basis of a cost of service analysis. In the case of
6 Tampa Electric, this benefit to retail customers is even
7 more immediate due to the effect of the ROE sharing
8 mechanism in the October, 1996 stipulation on earnings
9 rates which, in effect, operates as an "instant ratemaking"
10 mechanism.

11

12 In addition, Tampa Electric's proposal gives retail rate
13 customers the benefit above the line of revenues that would
14 have been allocated to shareholders below the line under
15 the pre Order 888 approach.

16

17 **Q.** Please elaborate on this last point.

18

19 **A.** Let me illustrate this point by referring to Exhibit
20 No. ||KAB-5. In Exhibit No. ||KAB-5, I posit an economy energy
21 transaction where seller's incremental cost is \$20.00,
22 buyer's decremental cost is \$30.00 and the resulting
23 transaction price, on a split the savings basis, is \$25.00.
24 This is the example that was used at the May 30, 1997
25 workshop on the treatment of transmission revenues from

1 Broker transactions. Both before and after the changes
2 caused by Order 888, the net benefit to the seller
3 associated with this transaction is a gain of \$5.00.

4
5 Under the regulatory approach to this sale which Tampa
6 Electric would have applied prior to Order 888, \$4.00, or
7 80% of the \$5.00 gain, would have been flowed to rate
8 payers through the fuel clause and \$1.00 would have been
9 credited to shareholders below the line. Under Tampa
10 Electric's proposed post Order 888 approach, \$1.60 of the
11 \$5.00 gain, representing the imputed transmission revenues,
12 would be credited to above the line operating revenue
13 enuring to the benefit of retail customers as described
14 above and as shown in Exhibit No. KAB-5. 80% of the
15 remaining \$3.40 benefit, or \$2.72, would be credited to
16 retail customers through the fuel clause resulting in a
17 total benefit to retail customers of \$4.32 (\$1.60 + \$2.72)
18 as opposed to the \$4.00 benefit which retail customers
19 would have enjoyed under the pre Order 888 approach. The
20 shareholders, on the other hand, are allocated only \$0.68
21 below the line as opposed to the \$1.00 which would have
22 been allocated below the line under the pre Order 888
23 approach.

24
25 In effect, under Tampa Electric's proposal, the

1 | shareholders would transfer a portion of their below the
2 | line incentive to retail customers in the form of above the
3 | line operating revenue, or \$0.32 in this example.
4 | Therefore, not only are retail customers held harmless
5 | under Tampa Electric's proposal, but they are actually
6 | better off.

7 |
8 | **Q.** Has Rule 888 changed the way Tampa Electric treats costs
9 | associated with purchases made on the broker system?

10 |

11 | **A.** No. Tampa Electric continues to recover these costs, and
12 | retail customers continue to realize the savings of a
13 | Broker purchase through the Fuel and Purchase Power Cost
14 | Recovery Clause.

15 |

16 | **Q.** Does this conclude your testimony?

17 |

18 | **A.** Yes it does.

19 |

20 |

21 |

1 Q (By Mr. Willis) Would you please summarise
2 your testimony?

3 A Yes.

4 Good afternoon, Commissioners. I've
5 testified in this proceeding to the issue of the
6 appropriate treatment of transmission revenues for
7 broker transactions since the issuance of open access
8 rule, FERC 888 and 888-A. I'd like to summarize that
9 testimony for you now.

10 Prior to Rule 888 and 888-A, no dollars from
11 broker sales were earmarked for transmission and 100%
12 of the margin from these sales was shared 80/20 with
13 the customer: 80% flowing to the fuel clause and 20%
14 below the line to shareholders.

15 On January 1st, 1997, certain dollars
16 associated with broker sales are now recognized as
17 transmission revenues as per the rule, which in effect
18 required the utilities to begin treating themselves as
19 third-party users of their transmission systems, and
20 to account for them in a separate FERC subaccount.
21 These third-party transmission dollars are
22 contribution to fixed costs. And to be consistent
23 with third-party transmission revenues where the
24 Commission ordered these revenues to be retained in
25 base rates as a credit to revenue requirements, Tampa

1 Electric Company seeks the approval of this Commission
2 to credit these broker transmission revenues in the
3 same manner: as a credit to revenue requirements and
4 above the line operating revenue. The remaining
5 margin would continue to be shared 80/20 between
6 customer and company.

7 Commission approval of Tampa Electric's
8 proposed treatment will give the ratepayers the
9 benefit of all of the transmission revenues.

10 With regard to Staff's proposed exhibit
11 which compares utility treatments of transmission
12 revenues of Rule 888, we believe that the title of
13 Line J, stockholder gain, is not appropriate for Tampa
14 Electric. This is the case due to the general
15 stipulation on rates and earnings under which Tampa
16 Electric is operating, and which calls for customer
17 and company to share above the line operating
18 revenues. I just wanted to make that clarification.
19 Thank you.

20 MR. WILLIS: Tender the witness.

21 CHAIRMAN JOHNSON: Mr. Childs.

22 MR. CHILDS: No questions.

23 MR. MCGEE: No questions.

24 MR. STONE: No questions.

25 CHAIRMAN JOHNSON: Public Counsel.

CROSS EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. BURGESS:

Q Yes. You indicated -- you used the term "benefit fully" and I notice in your testimony of June 23rd, at the bottom of Page 5, you use the term "that this treatment allows the retail customers to benefit fully." What do you mean benefit fully? What is the notion of that? As opposed to the 80/20? Is it something they are getting a better deal on?

A Now that the transmission revenues -- now that transmission revenues are identified as separate revenues, 100% of those revenues are retained above the line. So at the next rate proceeding, when rates are reduced by that amount -- or revenue requirements are reduced by that amount, excuse me, that benefit is to the ratepayers.

Q Couldn't you just as well allow them to benefit fully by passing it through 100% as a specific segregated transmission amount through the fuel adjustment clause?

A I think one other possibility when I was writing this was that they would continue to be separated 80/20 with the rest of the margin. And in this respect 100% would go to them via reduction in revenue requirement.

1 Q Why would they need to if you separated them
2 out as transmission and simply credited as
3 transmission revenues and credited it through the fuel
4 adjustment?

5 A I'm sorry, why would they need to --

6 Q Why would you need to do a 80/20 split?

7 A My point was that if the margin were split
8 80/20, then 20% of the transmission revenues would
9 have gone below the line and the customer would not
10 have received 100% of the benefits of transmission
11 revenues.

12 Q And my question is simply can't you do the
13 same thing in the fuel adjustment clause? Just
14 consider it one of the costs that gets passed through
15 directly as opposed to the -- as opposed to a margin,
16 which is separated 80/20?

17 A And I would have to refer back to when
18 Mr. Howell was explaining the inequity problem with
19 passing back 100% through the retail fuel clause.

20 Q In this case isn't it -- let me ask you
21 this: You indicate that -- on the next page that this
22 is going to go back, and you've also mentioned this is
23 going to go back in instant ratemaking because of an
24 agreement. Are you talking about if earnings go above
25 a certain level there's an agreement to refund an

1 amount back?

2 A That's correct.

3 Q But it's got to go above a certain level
4 before there's a sharing with the customers; is that
5 correct?

6 A That's correct.

7 Q So if it doesn't go above that level, then
8 there is no sharing of this with the customers; is
9 that correct?

10 A There's no sharing of them -- under that
11 stipulation as an instant ratemaking share.

12 Q And even when there is, I thought there were
13 certain thresholds. The first threshold is the 60/40
14 split?

15 A That is correct.

16 Q So then the customers would get 60% of this
17 full benefit?

18 A There would be a sharing of the operating
19 revenues.

20 Q And even that amount is deferred until the
21 following year, isn't it, and considered part of the
22 earnings of the following year?

23 A Yes. And I would have to say I'm not an
24 expert on the stipulation.

25 Q Do you know whether there's also an

1 additional 60/40 split in the following year?

2 A The following year being which year?

3 Q Being the second year after there are these
4 full benefits that are shared by customers to the
5 above the line treatment in base rates?

6 A We share through 1999 and that's what I
7 know.

8 Q But if the customers are receiving 60% one
9 year and then that's deferred to the next year, which
10 again contains a 60% threshold, then you're down to
11 36% of the sharing for the benefit of the customers?

12 (Pause)

13 You've indicated that you aren't that
14 familiar with the stipulation --

15 A That's correct.

16 Q -- so I'll withdraw that question.

17 MR. BURGESS: That's all I have,
18 Commissioners.

19 MS. KAUFMAN: I have no questions.

20 CHAIRMAN JOHNSON: Staff.

21 MS. PAUGH: Staff has an exhibit we'd like
22 to distribute, please. While Tom is doing that, I can
23 ask the question.

24

25

1 CROSS EXAMINATION

2 BY MS. PAUGH:

3 Q Is TECO a net purchaser or net seller on the
4 broker system, Ms. Branick?

5 A A net seller.

6 MS. PAUGH: We would request that this
7 exhibit be marked for identification.8 CHAIRMAN JOHNSON: It will be marked as
9 Exhibit 12 and identified "Economy Sale by TECO."

10 (Exhibit 12 marked for identification.)

11 Q (By Ms. Paugh) This document is based on
12 your KAB-5. However, it revises your \$1.60
13 transmission charge to a \$3 transmission charge for
14 purposes of consistency with the other utilities'
15 testimony and for clarity of comparison by this panel.
16 Do you want to take a moment to review the document?

17 (Pause)

18 A It's correct.

19 Q Does the price of this transaction remain
20 the same as before FERC Order 888?

21 A You mean the same before as after?

22 Q Yes.

23 A Yes.

24 Q Is the transmission component an incremental
25 cost of this sale?

1 A No.

2 Q Are there any new costs as a result of FERC
3 Order 888?

4 A That's a question? Excuse me, could you ask
5 that again?

6 Q Are there any new costs as a result of FERC
7 Order 888?

8 A No.

9 Q Does Tampa Electric intend to bill the buyer
10 separately for the \$3 transmission charge?

11 A No.

12 Q Before FERC Order 888, Tampa Electric's
13 ratepayers would see an immediate net fuel credit of
14 \$4 when Tampa Electric made such a sale, is that
15 correct, based on this example of Exhibit 12?

16 A Yes.

17 Q And after FERC Order 888, the immediate net
18 fuel credit for ratepayers is reduced to \$1.60; is
19 that correct?

20 A Yes.

21 Q How would Tampa Electric propose that the
22 buyer recover the transmission cost of this
23 transaction?

24 A The buyer isn't charged a transmission
25 charge.

1 Q So the buyer has no cost for transmission?

2 A He pays the transaction price from above.

3 Q Is it your testimony that if the buyer flows
4 the transmission cost directly to the ratepayers
5 through the fuel clause and the seller credits the
6 transmission revenues to operating revenue -- I'll
7 withdraw that question.

8 I'd like to address wheeling for a moment.
9 Did wheeling charges affect the transaction price of a
10 broker sale prior to FERC Order 888?

11 A That's my understanding, yes.

12 Q Broker sales are nonfirm in that they are
13 recallable; is that correct?

14 A Yes.

15 Q Thus likewise the transmission revenues are
16 nonfirm or volatile; is that correct?

17 A To the extent that a transaction is not made
18 there would be no transmission revenues.

19 Q I would refer you now to Page 6, Lines 2
20 through 5 of your direct testimony. Will you please
21 read that section?

22 A "This accounting treatment has the effect of
23 both postponing a need for a rate adjustment and
24 decreasing the resulting revenue requirement when
25 retail rates are next adjusted on the basis of a cost

1 of service analysis."

2 Q Is it your testimony that one of the
3 benefits of crediting revenues above the line is a
4 decrease in revenue requirements when retail rates are
5 next set?

6 A Yes.

7 Q Now, suppose that TECO filed for a rate case
8 next year. In order to capture the revenue
9 requirement reduction due to these transmission
10 revenues, a projection of broker sales would have to
11 be made for the test year; is that correct?

12 A Yes.

13 Q And broker sales are difficult to project,
14 which is why the Commission moved them from base rates
15 into the fuel clause in order number -- I believe
16 beneficially noticed it's 12923 in Docket 830001; is
17 that correct?

18 A That's what that order says. Yes. (Pause)

19 Q Did wheeling rates affect gain on broker
20 sales?

21 A They would affect the buyer's gain.

22 Q Okay. What about the seller's gain in the
23 80/20 split?

24 A No. The buyer pays the wheeling.

25 Q Ms. Branick, do you have a copy of the

1 exhibit marked as No. 4 with you?

2 A That's the comparison of the utilities?

3 Q No. That's the Florida Power Corporation
4 generated document entitled "Nondirectly
5 Interconnected Utilities Example."

6 A Yes.

7 Q Do you agree where it says fuel adjustment
8 clause is credited 80% of gain with the calculation
9 that \$5 times .8 equals \$4?

10 A Yes.

11 MS. FAUGH: We have no further questions.

12 CHAIRMAN JOHNSON: Commissioners? Redirect?

13 REDIRECT EXAMINATION

14 BY MR. WILLIS:

15 Q Ms. Branick, is the reason for treating
16 transmission revenues above the line that the
17 transmission revenues are a contribution to fixed
18 costs?

19 A That's correct.

20 Q Could you explain that, please?

21 A At the next time that rates are determined
22 for retail customers, these revenues would be treated
23 as a reduction in the revenue requirement for those
24 rates.

25 Q Isn't it true that Order 888 created the

1 situation where transmission revenues had to be
2 identified?

3 A That is correct.

4 Q Okay. Now, with respect to a rate
5 proceeding, both before and after Order 888, wouldn't
6 it be true that the company would have to project
7 whatever transmission revenues it may receive in the
8 test period?

9 A It would, yes.

10 MR. WILLIS: Thank you. No further
11 questions.

12 CHAIRMAN JOHNSON: Exhibits.

13 MS. PAUGH: We would request Exhibit 12 be
14 moved into the record.

15 MR. WILLIS: Move 11.

16 CHAIRMAN JOHNSON: 11 and 12 will be
17 admitted without objection.

18 (Exhibits 11 and 12 received in evidence.)

19 CHAIRMAN JOHNSON: Thank you, ma'am.

20 (Witness Branick excused.)

21 MS. PAUGH: Staff also requests that
22 Exhibit 3 be moved into the record.

23 CHAIRMAN JOHNSON: Is there any objection to
24 Exhibit 3?

25 MR. STONE: I continue my objection to

1 Exhibit 3. There's information that this is compiled
2 that is attributed to Gulf. There were no questions
3 asked of Gulf's witnesses. There's no person that's
4 before the Commission to explain how this was compiled
5 and how this information was derived, and, therefore,
6 it is not appropriate to be admitted as an exhibit.
7 There was no sponsor.

8 MR. WILLIS: Tampa Electric also objects to
9 it. In addition to the grounds stated by Mr. Stone,
10 the -- with particular, the Line J, which describes
11 certain amounts as stockholder gain between rate cases
12 is incorrect, it's mislabeled, and distorts exactly
13 what those numbers are or purport to be. And for that
14 reason it -- we agree that it should not be admitted
15 into evidence.

16 CHAIRMAN JOHNSON: Staff.

17 MS. PAUGH: This exhibit was generated based
18 on the testimony of the parties. It's correct. It is
19 based on their testimony and exhibits.

20 CHAIRMAN JOHNSON: It's based upon testimony
21 that's been admitted and exhibits?

22 MS. PAUGH: Yes. The exhibits attached to
23 the testimony.

24 MR. WILLIS: That's the whole point. We did
25 not testify to what's on this exhibit. And with

1 particularity, Line J, which is labeled "Stockholder
2 Gain Between Rate Cases," when we know specifically
3 through the basis of the testimony of both Gulf's
4 witness and Tampa Electric is witness that that's
5 incorrect.

6 **CHAIRMAN JOHNSON:** Staff.

7 **MS. PAUGH:** Staff maintains that it's
8 correct.

9 **CHAIRMAN JOHNSON:** Staff, the parties are
10 raising some good points with respect to the
11 information. If there's no one that testified as to
12 like Line J, nor have we been able to verify the
13 information that's in here through a witness.

14 **MS. PAUGH:** Madam Chairman, if I could make
15 this a bit easier. We would agree to omit Line J from
16 the exhibit and submit it as a revised exhibit.

17 **CHAIRMAN JOHNSON:** Gulf, what other
18 information --

19 **MR. STONE:** If I may take take moment to
20 review it.

21 **CHAIRMAN JOHNSON:** If TECO could do the
22 same.

23 **MR. WILLIS:** That would be fine with that
24 change. (Pause)

25 **MR. STONE:** With the omission of Line J we

1 would have no further objection.

2 **CHAIRMAN JOHNSON:** Okay. Then Staff will be
3 submitting a revised Exhibit 3 that will be basically
4 the same but will not include J.

5 **MR. STONE:** Is it also my understanding they
6 would omit the column with regard to Florida Power
7 Corp after 7-9-96 that was previously omitted?

8 **MS. PAUGH:** That is correct, Madam Chairman.
9 We will send copies of the revised exhibits to all of
10 the parties as well.

11 **CHAIRMAN JOHNSON:** Okay. How do I do this
12 procedurally? I haven't seen the document either, but
13 could I go ahead and admitted it as revised, or it
14 will be admitted if none of the parties object.

15 **MR. WILLIS:** It's like a late-filed exhibit.

16 **MS. PAUGH:** Let's make it a late-filed
17 exhibit.

18 **CHAIRMAN JOHNSON:** Okay. And we'll just
19 identify it as Late-filed Exhibit 13, and we'll show 3
20 withdrawn. And it will be Revised Summary of Proposed
21 Regulatory Treatment of Broker Sales.

22 (Late-Filed Exhibit 13 identified.)

23 (Exhibit 3 withdrawn.)

24 **CHAIRMAN JOHNSON:** Any other matters?

25 **MS. PAUGH:** We need to identify the

1 remainder of the exhibits for issues that were
2 stipulated.

3 **CHAIRMAN JOHNSON:** Okay.

4 **MS. PAUGH:** Shall I take the lead?

5 **CHAIRMAN JOHNSON:** Yes, ma'am.

6 **MS. PAUGH:** JS-1 can be identified as
7 Exhibit 14. JS-2,15; JS-3, 16; KAW-1 --

8 **CHAIRMAN JOHNSON:** Those have already
9 been --

10 **MS. PAUGH:** Has already been identified as
11 Exhibit 1, KHW-2 has already been identified as
12 Exhibit 2. DBZ--1 will be Exhibit 17. DBZ-2, 18.
13 RS-1, 19. RS-2, 20. RS-3, 21. KMD-1, 22. KMD-2,
14 23. GMB-3, 24. KMD-3, 25. MV-1, 26. MV-2, 27.
15 MF0-1 --

16 **CHAIRMAN JOHNSON:** Hold on one second. We
17 have a MV-1 and MV-2, don't we?

18 **MR. STONE:** I believe they were 5 and 6 when
19 they were earlier.

20 **MS. PAUGH:** Oh, those have been entered.
21 I'm sorry, I did not make a note of it.

22 **MS. PAUGH:** Dropping back, MV- 2 would
23 become -- I'm sorry MF0-1 is 26; is that correct?

24 **MS. PAUGH:** Lawyers can't add or subtract.
25 MF0-2 is 27. MWH-1 is 28. MWH 2 is 29.

1 **CHAIRMAN JOHNSON:** No. That would be 8.
2 MWH-2 will be 8. It's already been admitted.

3 **MS. PAUGH:** I apologize. SDC-1, Exhibit 29.
4 SDC-2, 30. GDF-1, 31. GDF-2, 32, KAB-1,33; is that
5 correct?

6 **CHAIRMAN JOHNSON:** Yes. KAB-2, 34. KAB-5,
7 35 -- KAB-3, 35. KAB-4, 36.

8 **MR. WILLIS:** Let me just point out that that
9 4 was -- I think the title in the Prehearing Order is
10 incorrect. It should be "Deferred Revenue Plan
11 \$25 million Refund, "is the title for KAB-4.

12 **MS. PAUGH:** It should read Deferred --

13 **MR. WILLIS:** "Deferred Revenue Plan
14 25 million Refund."

15 **MS. PAUGH:** I've made the change.

16 **MR. WILLIS:** Okay.

17 **MS. PAUGH:** KAB-5, economy sales by TECO.

18 **CHAIRMAN JOHNSON:** It's 11. That's been
19 admitted.

20 **MS. PAUGH:** GJK-1.

21 **CHAIRMAN JOHNSON:** That was also admitted as
22 9.

23 **MS. PAUGH:** GAK-1 would be 37. GAK-2, 38.
24 GAK-3, 39. CRB-1, 40. That is all of the exhibits.

25 **CHAIRMAN JOHNSON:** Okay. They've all been

1 marked and identified. Show them all admitted without
2 objection.

3 (Exhibits 14 through 40 marked for
4 identification and received in evidence.)

5 - - - - -

6 (Transcript continues in sequence in
7 Volume 3.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25