


BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

-----  
In the Matter of : DOCKET NO. 990649-TP  
:   
INVESTIGATION INTO PRICING :   
OF UNBUNDLED NETWORK :   
ELEMENTS. :   
-----

\*\*\*\*\*  
\* \* \* \* \*  
\* ELECTRONIC VERSIONS OF THIS TRANSCRIPT \*  
\* ARE A CONVENIENCE COPY ONLY AND ARE NOT \*  
\* THE OFFICIAL TRANSCRIPT OF THE HEARING \*  
\* AND DO NOT INCLUDE PREFILED TESTIMONY. \*  
\* \* \* \* \*  
\*\*\*\*\*

VOLUME 12  
Pages 1743 through 1835



PROCEEDINGS: HEARING  
BEFORE: CHAIRMAN J. TERRY DEASON  
COMMISSIONER E. LEON JACOBS, JR.  
COMMISSIONER LILA A. JABER  
DATE: Wednesday, September 20, 2000  
TIME: Commenced at 9:15 a.m.  
PLACE: Betty Easley Conference Center  
Room 148  
4075 Esplanade Way  
Tallahassee, Florida  
REPORTED BY: TRICIA DeMARTE  
Official FPSC Reporter  
APPEARANCES:  
  
(As heretofore noted.)

## I N D E X

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## WITNESSES:

PAGE NO.

WILLIAM H. R. GREER

Continued Cross-Examination by Ms. Boone	1745
Cross-Examination by Mr. Marcus	1811
Cross-Examination by Mr. Sloan	1813
Cross-Examination by Mr. Bressman	1815
Redirect Examination by Mr. Edenfield	1820

## E X H I B I T S

NUMBER:

ID.

ADMTD.

117	Load coil deloading videotape	1832
-----	----------------------------------	------

	CERTIFICATE OF REPORTER	1835
--	-------------------------	------

## P R O C E E D I N G S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

(Transcript continues in sequence from  
Volume 11.)

MR. EDENFIELD: Just to be clear, may I ask  
Ms. Boone whether this is from his first or second  
testimony?

MS. BOONE: This is from his original  
first direct. I just need a blowup of this, and I'd like  
to ask you some questions about this. Page -- I need to  
write, and so I promise you'll be able to hear me.

MR. RUMSEY: We've got to get it on the --

MS. BOONE: Oh, okay. Okay. I'll try.

CHAIRMAN DEASON: You want to sing a song while  
you're up there?

MS. BOONE: Well, I'm scared. I may break out in  
karaoke. Let me know if that happens.

WILLIAM H. R. GREER

continues his testimony under oath from Volume 10:

## CONTINUED CROSS EXAMINATION

BY MS. BOONE:

Q Okay. I'd like to ask you some of the things  
about Mr. Riolo's time chart here as compared to what we  
saw on the videotape. Now, you would agree with me that  
this page of Mr. Riolo's testimony sets forth underground  
cable load coil removal in a manhole; right?

FLORIDA PUBLIC SERVICE COMMISSION

1 A Yes, I do.

2 Q And that's what we saw in the videotape; right?

3 A Yes, it is.

4 Q Okay. Now, I'd like to take you through the  
5 steps one about by one, if you would agree to do that with  
6 me. The first one is the time to travel to the  
7 underground splice location. Now, that was not shown on  
8 your video; right?

9 A No, it was not.

10 Q Okay. So I'm just going to write up here "tape  
11 time," and that's an N/A. Now, the next step is to set up  
12 the work area protection and underground work site. Now,  
13 you would agree with me that some of that had been done at  
14 the beginning of the tape and was being done as the tape  
15 started? Would you agree with me?

16 A Yes, I will agree.

17 Q Mr. Riolo estimates it would take about five  
18 minutes to do that work; is that correct?

19 A That is what he shows.

20 Q And would you agree with me, subject to check,  
21 that your tape starts at 8:16 and the same work tasks are  
22 completed by 8:20 on your tape? Would you agree with  
23 that, subject to check?

24 A Subject to check, yes.

25 Q Okay. So you took actually four minutes there,

1 so Mr. Riolo had five minutes. Would you agree that you  
2 two are very close in the amount of time, your tape and  
3 Mr. Riolo's estimate?

4 A I do not understand how you came up with the  
5 four minutes. Would you go through that again, please.

6 Q Certainly. The tape started at 8:16.

7 A Yes.

8 Q Okay. And these work times concluded at --  
9 these tasks associated with setting up work area  
10 protection concluded at 8:20.

11 A Subject to check, okay.

12 Q Okay. Thank you. Now, the next step is 3.  
13 Now, that's pump and ventilate the manhole. Now, would  
14 you agree with me, subject to check, that that work was  
15 done by your technicians on the tape? You don't have to  
16 check that, we just saw it, sorry.

17 Would you agree with me, subject to check, that  
18 that work started at about 8:20?

19 A Yes.

20 Q And it concluded at 10:03?

21 A That sounds reasonable.

22 Q Okay. So that's a total of 103 minutes. Okay.  
23 Would you agree with that, subject to check?

24 A Yes, I would.

25 Q That's quite different than what Mr. Riolo said,

1 15 minutes; right?

2 A Indeed.

3 Q Okay. Now, the next step is called buffer  
4 cable, rerack cable, and set up splice; right? That's  
5 Step Number 4?

6 A Yes.

7 Q And that task was done on the tape; right?

8 A The reracking was not necessary in this case.

9 Q Okay. But, okay, these group of tasks, whatever  
10 would be associated with that, in this particular manhole  
11 was done on the tape?

12 A Yes, it was.

13 Q Would you agree with me, subject to check, that  
14 that work began about 10:03 on the tape and concluded at  
15 about 10:10 for a total of seven minutes?

16 A Yes, I will agree, subject to check.

17 Q So if we compare this, you will see that  
18 Mr. Riolo in his testimony thought that -- he estimated in  
19 his expert opinion it would take about five minutes to do  
20 that work; right?

21 A Yes.

22 Q But your tape showed it took seven minutes.

23 A Yes.

24 Q Would you agree that those are pretty close?

25 A Yes, I will agree.

1 Q Okay. Now, on the tape between 8:10 and 8:57,  
2 the BellSouth technicians are plugging a leak in the  
3 manhole. Does that sound about right?

4 A Yes.

5 Q Okay. So that's not a task that Mr. Riolo has  
6 on his chart; correct?

7 A That is correct.

8 Q And that's the task that took the technicians  
9 47 minutes to complete, subject to check?

10 A No, it did not take that long.

11 Q Okay. But you agreed with me it was between --  
12 it started at 10:10 and it concluded at 10:57?

13 A Excuse me. I specifically watched that task,  
14 and that task took about ten minutes for him to do that,  
15 to plug the hole.

16 Q Okay. Well, we have the tape, so everyone can  
17 make their determination themselves, but that's fine. We  
18 think it took from 10:10 to 10:57. But what times do you  
19 have?

20 MR. EDENFIELD: Commissioner Deason, I object to  
21 Ms. Boone's constant editorializing. If she has  
22 questions, certainly she's entitled to ask them, but her  
23 testifying and making editorial comments I think is  
24 inappropriate, and I would object to that and ask her to  
25 stop.

1 CHAIRMAN DEASON: Ms. Boone, you've been asked  
2 not to editorialize.

3 MS. BOONE: I will try, Commissioner. Thank  
4 you.

5 CHAIRMAN DEASON: Thank you.

6 BY MS. BOONE:

7 Q What times do you have recorded for that task?

8 A I do not have the times recorded for the each  
9 individual time and task listed here.

10 Q Okay. I see in front of you a list of what  
11 looks to be times.

12 A Yes, they are. They were the times in which  
13 things were going to be changing during that presentation.  
14 I do not have listed here what indeed the events were that  
15 occurred with them.

16 Q Okay. Thank you. Now, if you look next at  
17 Step 5, which is opening the splice case, would you agree  
18 with me, subject to check, that the tape shows this work  
19 occurring between 10:57 and 11:04? So it's roughly four  
20 minutes long.

21 A Yes, I do recall that those tasks started at  
22 10:57.

23 CHAIRMAN DEASON: Did you stay 10:57 to 11:04?

24 MS. BOONE: I'm sorry, 10:57 to 11:01. And  
25 that's a total of four minutes.



1 BY MS. BOONE:

2 Q Now, if we look on this chart, you will note  
3 that Mr. Riolo in his expert opinion estimated it would  
4 take five minutes for that task; correct?

5 A That is correct.

6 Q So you would agree with me that he was pretty  
7 close? In fact, he gave you all a little bit more time  
8 for that task?

9 A Actually, he has been very close in all of  
10 these. As you look at these, you will see that his total  
11 time is close to what BellSouth has. So, yes, he has done  
12 a very good job here of enumerating the steps and giving  
13 some times.

14 Q Great. Step 6, identifying pairs to be  
15 deloaded. Would you agree with me, subject to check, that  
16 the BellSouth technicians on the tape began to do this at  
17 about 11:01?

18 A No, that I do not recall. And I'm not sure what  
19 you would have called when they began to try to identify  
20 the pairs on this tape.

21 Q Well, as I recall from the tape, they had the  
22 splice case open, the plastic was open, and we began -- we  
23 said that at 11:01, we think they began to look through  
24 and find the proper binder.

25 A Okay. I will accept that as they beginning to

1 look for the first pair.

2 Q Okay. Great. In this case, your technicians  
3 were actually deloading all 25 pairs of a binder group;  
4 correct?

5 A Yes, that is our understanding.

6 Q Okay. Would you agree with me that there's a  
7 blank on the tape between 11:04 and 11:36?

8 A Yes, I will agree to that.

9 Q And that was after the technicians had  
10 identified the proper binder group; correct?

11 A No. We do not have on the tape where he  
12 actually picked up and said, yes, I have the right binder  
13 group. What the tape shows is that he's beginning to dig  
14 through it, and then they cut from that point. They do  
15 not actually show him, because had they shown him  
16 identifying the right binder group, if they would have  
17 shown him with a tone detector, the same one that he used  
18 to pick out each little pair, he would have used it  
19 without the headset and been going through all of those  
20 groups in order to find the first one.

21 So the tape itself did not capture the moment at  
22 which he identified the group that he had to have.

23 Q So is it your testimony that the tape showed him  
24 putting tone on a variety of different binder groups?

25 A No. It is my testimony that, to my recall, it

1 does not show him doing that. He was digging for a  
2 number, but in order to be sure, he would have had to have  
3 a tone put on there.

4 Q And as Commissioner Jaber mentioned, the number  
5 was around the binder group of 25 pairs, right, that was  
6 the tag number?

7 A And as my comment said, the plastic connectors  
8 are definitely 25 pairs. I could not tell for sure  
9 whether or not the number was around a 25-pair or a  
10 100-pair group.

11 Q Okay. Fair enough. So did you talk to the  
12 technicians about what they were doing in that time period  
13 where there's a blank on the record?

14 A No, I have not.

15 Q Okay. Then how do you know that's what they  
16 were doing?

17 A I do not. I'm just simply stating that we do  
18 not have on tape the time in which they actually  
19 identified the connector that they needed.

20 Q Would you agree with me that --

21 COMMISSIONER JABER: Excuse me. Is what you're  
22 testifying in that regard that the tape doesn't reflect  
23 the technician searching for the appropriate group?

24 THE WITNESS: It shows him beginning to search  
25 through there, but it doesn't show the final decision

1 point.

2 COMMISSIONER JABER: But it's also your  
3 testimony that you don't know if that's what the absence  
4 in the tape was either.

5 THE WITNESS: No, I do not know.

6 COMMISSIONER JACOBS: When we talked earlier  
7 about his instructions from the engineer, would that point  
8 him to a binder group? Does he have to still search  
9 through all the binders to find the one -- I'm sorry, put  
10 tone on all the binders to figure out which one he needs  
11 to go to?

12 THE WITNESS: It is my understanding that the  
13 outside plant engineer really doesn't necessarily have --  
14 he does not instruct through his work order a number, one  
15 of those numbers to be identified.

16 COMMISSIONER JACOBS: Okay. So he still has to  
17 put tone on all of them?

18 THE WITNESS: Yes.

19 COMMISSIONER JACOBS: Okay.

20 BY MS. BOONE:

21 Q If we could just finish up with Step 6 here.  
22 This is the part where he's identifying -- would you agree  
23 with me that started at about 11:01 and concluded at  
24 11:04, they had identified the proper binder group?

25 A Subject to check, in that time frame he did

1 find -- he was sure that he was working with the right  
2 binder group.

3 Q Okay. So that's three minutes that it took on  
4 the tape to conduct the tasks associated with Step 6;  
5 correct?

6 A Would you rephrase that question again?

7 Q Right. The work identifying the binder group  
8 began at 11:01 and concluded by 11:04, they had identified  
9 the proper binder group to work on?

10 A No, I have to disagree with that because what is  
11 shown on the tape is when he began searching through the  
12 25-pair connector to find the first pair. So to show  
13 three minutes on this display here, I believe, does not do  
14 justice to the time that it took him to search through and  
15 find that initial 25 pairs.

16 CHAIRMAN DEASON: How many sets of 25-pair were  
17 in this cable? About 30 something, 32?

18 THE WITNESS: Twenty-seven times four.

19 CHAIRMAN DEASON: Twenty-seven times four.

20 THE WITNESS: A 2,700-pair cable, 4 bindery  
21 groups.

22 CHAIRMAN DEASON: So it's 27 times 4. That's  
23 108?

24 MS. BOONE: There's a calculator right there.

25 THE WITNESS: Yes, sir.

1           CHAIRMAN DEASON:  So what that -- but if -- does  
2 he just randomly go through and just starts checking,  
3 putting the -- checking the tone on each one until he  
4 finds one?

5           THE WITNESS:  These probes, as they get closer  
6 to the pair that has the tone on it, will get louder and  
7 louder, so he's just simply moving through and making sure  
8 he hears a tone, and then he keeps searching until he  
9 says, yes, this one is the loudest one.  And then he pulls  
10 it out to get that.

11           So the time it took him to find the first pair  
12 is, in fact, from the time that he laid back that black  
13 cover and began pulling it out and finding it.  So even  
14 though there's a blank in the tape at that point, it was  
15 more than the three minutes that's shown here from where  
16 he actually had a connector in his hand and started going  
17 down the pairs.

18 BY MS. BOONE:

19           Q     Okay.  But do you know how long exactly it took  
20 him?

21           A     No, I do not.

22           Q     Okay.  If an entire binder group is being  
23 deconditioned, being unloaded, as we saw here, you're  
24 saying it's still necessary to test each and every pair  
25 even once you identify that binder group?

1           A     Yes, indeed, because this is a pulp cable.  And,  
2 therefore, you would be betting on somebody else, you  
3 know, never making a mistake in this place and making  
4 another mistake someplace else.  We don't know who's been  
5 in and made a cut.  So in order to be sure you are getting  
6 the 25 pairs that the engineer calls for, you want to test  
7 each and every one of those 25 pairs.

8                   CHAIRMAN DEASON:  Each one of those will have a  
9 tone?

10                   THE WITNESS:  They will test one pair at a time.  
11 As a matter of fact, he does several things in this case.  
12 Not only does he pick up and make sure he's on the pair by  
13 the way of a tone, then he takes and he puts a connector  
14 to ground.  We call it grounding the pair.  And he asks  
15 the technician in the central office, do you see my  
16 ground?  And he does that to both the tip and the ring so  
17 he can be sure that in fact the two leads he has are the  
18 two leads that he needs to be an end-to-end circuit.

19                   There are things that are called splints  
20 predominately in pulp cable where a person could have  
21 picked up the tip of one pair and the ring of another, and  
22 they go ahead and splice them.  And at some point,  
23 somebody else finds it, and they repair it wherever.  So  
24 these things occur as you're in your plant.  And,  
25 therefore, it just says that to be sure you do the job

1 right, test each pair and be sure you have the tip and the  
2 ring.

3 BY MS. BOONE:

4 Q Okay. If it weren't PIC cable, you would be  
5 required to put tone on every one of the 25 pairs in the  
6 binder group?

7 A Yes. I am told that still you want to be sure  
8 you're on the cable pair that you're supposed to be on.  
9 There's just things that can happen in your outside plant,  
10 so to do the job right, test each pair, and you will know  
11 what you have when you get through.

12 Q Okay. You're BellSouth's task time expert on  
13 conditioning; correct?

14 A No.

15 Q You're not?

16 A No, I am not.

17 Q Can you give me an estimate based on your  
18 experience of how long you think it would take? Because  
19 essentially you're putting tone, ziz, ziz (verbal  
20 indicator), you're checking, it takes until you find 25;  
21 right?

22 A Yes, I am checking them until I find the right  
23 25, but then that's going to depend upon the size of the  
24 cable. In this case, it's 2,700. Had this been a simple  
25 100-pair cable, 50-pair cable, he would have found it much



1 quicker.

2 Q Okay. Well, the tape shows it's taking about  
3 three minutes. You think it actually took longer?

4 A Again, I object to the fact that the tape does  
5 not show it, but if you wish to show three minutes at that  
6 point --

7 Q Okay, yeah. Let's just move along here. If you  
8 look at Step 7, now, this is going to be a particular  
9 interest to Chairman Deason and Jaber who asked earlier  
10 about discontinuity of service. Now, on this, Mr. Riolo  
11 says bridge 25-pair binder group for service continuity,  
12 if necessary, and he includes a task time of five. Do you  
13 know what that's for?

14 A Yes. What he's assuming is that he's going to  
15 go through an operation and be able to connect onto the  
16 top of that connector another connector which makes  
17 continuity with the existing pairs.

18 Q And isn't this a way to ensure that there is  
19 never a loss of continuity during the load coil removal  
20 process?

21 A Yes. In theory that works out well, but you  
22 notice that the guy never wanted to break apart these  
23 connectors. These are plastic. They have metal in them.  
24 The simple connection is actually nothing more than the  
25 cable pair being pushed down into this metal connector.

1 It is not a rigid connection. It can be fragile. So you  
2 don't want to be messing around with these things. You  
3 want to handle them deliberately to be sure.

4 If you notice on the tape -- I did not point it  
5 out, but the guy carefully -- when he places it in a new  
6 connector, he trims it off. He wants to be sure that it's  
7 a clean connection.

8 Q Okay. But Mr. Riolo has assumed time, five  
9 minutes of time that -- for a task that was not conducted  
10 on the tape; correct?

11 A No, he has given a time for one type of task,  
12 and a similar task was done on the tape. This whole  
13 process here has to be considered as a block event, not a  
14 step by step for a couple of reasons: One is that we're  
15 dealing with pulp cable and, second, that he makes no  
16 allowance for being sure that those 25 pairs are there.

17 So the tasks on the tape that correlate to this  
18 are the fact that he went through and identified each  
19 pair, and then he made a connection one at a time to be  
20 sure that he got it. So the total tasks should include  
21 the three steps, at least three steps.

22 COMMISSIONER JABER: So the task on the tape  
23 that correlates to Number 7, just to try to move this  
24 along, how long would you say that took?

25 THE WITNESS: On the tape, it was done on a

1 pair-by-pair basis. Seven, 8, and 9, 10 are the tasks  
2 here that were necessary for the men there to identify  
3 each pair, remove it and move to a next connector.

4 CHAIRMAN DEASON: Well, excuse me. Now, I  
5 thought that in response to a question, you indicated that  
6 Step 7 was not done, because you indicated that there's  
7 residential service, and it's a risk that you take that  
8 you're going to be interrupting a telephone call.

9 THE WITNESS: What I'm saying is 7, 8, and 9 on  
10 his -- now, he's doing 7 for the intention of not  
11 interrupting it, but that's part of the splicing. In  
12 other words, he uses 7 in a way to begin -- no, he doesn't  
13 either. He does not. So, true, in this case, 7 is not  
14 done in any way at all.

15 BY MS. BOONE:

16 Q Okay. Moving along. Steps 8 and 9, you will  
17 see that in Mr. Riolo's chart that's actually severing the  
18 connection from the main cable and then rejoining and  
19 splicing it. Would you agree with me, subject to check,  
20 that those tasks began about 11:48 when the crew started  
21 removing the connections and snipping these parts to the  
22 loop, and then finished rejoining the parts at apparently  
23 12 even, noon? So together 8 and 9 took about 12 minutes?

24 A Subject to check, the tape did not show them  
25 actually moving all 25 pairs over.

1 Q And would you agree with me also that since you  
2 didn't do Number 7, removing the bridging would not be a  
3 necessary step in what we saw in the tape?

4 A Yes, I would agree with that.

5 Q Okay. Now, would you agree with me that Steps  
6 11, 12, 13, 14, and 15 all have to do with Mr. Riolo's  
7 idea that you should actually be unloading 50 at a time?  
8 This is the time for identifying the second pair. Would  
9 you agree with that?

10 A Yes, that time is for doing another 25 pair.

11 Q Okay. And those steps were not included and  
12 were not done on the tape?

13 A Yes, that is correct.

14 Q All right. Now, on Step 16, cleaning,  
15 resealing, and closing the splice case. Would you agree  
16 with me that the work for that started at about 12 noon  
17 and concluded about 11 minutes later at 12:11, subject to  
18 check?

19 A Yes.

20 Q Okay. And I'm going to write that up here. If  
21 you'll note as well, Mr. Riolo in his expert opinion had  
22 said it was going to take about ten minutes; right?

23 A Yes.

24 Q So he's pretty close on the mark there?

25 A Yes, he is.

1 Q Okay. Number 17 is rack cables, pressure test  
2 cables in manhole. Now, that occurs after you close the  
3 splice case and you're reracking and pressurizing the  
4 cable; is that correct?

5 A Yes, that's correct.

6 Q Would you agree, subject to check, that that  
7 started at about 12:11 on the tape and went to 12:20 for  
8 approximately nine minutes of crew time?

9 A Subject to check.

10 Q And that compares to Mr. Riolo's estimate of ten  
11 minutes?

12 A Yes.

13 Q Okay. And the last one here, closing down the  
14 manhole, stowing away the tools, breaking down the work  
15 area. Would you agree with me that that began on the tape  
16 at about 12:23 and ran until the end of the tape at  
17 12:42 for a total of 19 minutes?

18 A That was the total on the tape. It did not show  
19 the final, but, subject to check, that is very close.

20 Q Okay. And Mr. Riolo had said that was going to  
21 take ten minutes; right?

22 A Yes.

23 Q But you actually closed two manholes on the  
24 tape; right?

25 A That cannot be considered closing two manholes

1 as far as this time is concerned. Yes, there were two  
2 openings to these manholes, but the few minutes extra that  
3 it actually takes to put that other lid back on I would  
4 not classify as closing a second manhole. So, therefore,  
5 I would not divide that by two.

6 Q Fair enough. Would you agree with me that most  
7 manholes are only going to have one opening?

8 A I do not have that knowledge.

9 Q A simple 51 percent?

10 A I don't have that knowledge at all.

11 Q Okay. We're almost done here with this chart.  
12 I'd just like to run through a couple of things from here.  
13 There are a number of tasks that were both on the tape and  
14 on Mr. Riolo's chart, and those are tasks 2, 3, 4, 5, 6,  
15 8, 9, and 16 to 18. So would you agree with me that those  
16 are both, subject to check, on the tape and on Mr. Riolo's  
17 chart?

18 A Would you rephrase that question, please.

19 Q Sure. I've written down here the times from the  
20 tape, and these are the times from Mr. Riolo's testimony.  
21 Would you agree with me that both the tape and the  
22 testimony have times for Steps 2, 3, 4, 5, 6, 8, 9, and  
23 16, 17, and 18?

24 A No, I disagree. I still have to refrain from  
25 saying that Item 6 that the tape shows the full time that

1 that was necessary.

2 Q Okay. We already went over that. And for  
3 purposes of this discussion --

4 A Yes, we have.

5 Q -- that's what's on the tape, three minutes;  
6 correct?

7 A Yes, for this discussion.

8 Q Okay. Now, let's just write "similar  
9 activities." Mr. Riolo -- would you accept, subject to  
10 check, that the total amount of all those times is  
11 73 minutes? Would you accept that, subject to check? I  
12 have a calculator if you'd like --

13 A Yes, subject to check, I will accept that.

14 Q Okay. And the tape time also, subject to check,  
15 was 172 minutes. Does that sound about right for those  
16 activities?

17 A May I ask that you mark them again in the left  
18 column so we can be sure of which ones each time?

19 Q This one over here? Sure. So we're talking 4  
20 plus 103, plus 7, plus 4, plus 3, plus 12, plus 11, plus  
21 9, plus 19 for a total of 172.

22 A Subject to check, I accept that, yes.

23 Q Okay. Now, if you pull out the time for  
24 Number 3, right here, pumping and ventilating the manhole,  
25 that's going to make some pretty dramatic changes,

1 wouldn't you agree?

2           A     Yes, I have to agree that that is a huge factor  
3 of time. But then again, this is Florida, and although I  
4 cannot tell you how often that water is in there, you have  
5 to expect that pumping even the least bit of water takes  
6 longer than 15 minutes to be able to get out your pumps,  
7 put them down in there, power them up, get them out of the  
8 way.

9           Q     Okay. We're going to talk about that a little  
10 bit more in just a second, but I just want to get these  
11 numbers up here. So you would take 15 minutes off  
12 Mr. Riolo's time for a total of 58 minutes, correct,  
13 subject to check?

14           A     Yes.

15           Q     And you'd take 103 minutes off the BellSouth  
16 time, right, for a total of 69 minutes?

17           A     Yes.

18           Q     So, now, there are only 11 minutes' difference  
19 between what the BellSouth folks did on the same tasks as  
20 what Mr. Riolo came up with.

21           A     With these exceptions, yes.

22           Q     And you'd agree with me that if we had included  
23 Mr. Riolo's time identified in Steps 11, 12, 13, 14, and  
24 15 for doing additional binder groups, Mr. Riolo would  
25 have had more time than the BellSouth tape?



1 A Yes, it would have taken him more time.

2 Q So this is pretty accurate, his times? You've  
3 already agreed; right?

4 A I do not understand what you mean by pretty  
5 accurate.

6 Q Well, I believe you testified somewhere here in  
7 the middle that Mr. Riolo did a pretty accurate job of  
8 estimating task times.

9 A I said he did an excellent job of listing out  
10 the tasks, and his assumptions on times were reasonable,  
11 yes.

12 Q Great. Now, I'd like to talk a little bit  
13 about -- in particular, the manhole that we saw on the  
14 tape, if you would. Would that be called what is called  
15 in the telephony parlance a four-head manhole?

16 A My understanding is that there were four  
17 chambers to this one.

18 Q Okay. And is that typical in BellSouth?

19 A I do not know.

20 Q Did you do any studies, any research to  
21 determine if it was in fact typical what you showed on the  
22 tape?

23 A No, I did not.

24 Q Would you agree with me that there's more work  
25 involved on a four-head manhole than there is on a smaller

1 one?

2 A No, I would not. As a matter of fact, some  
3 people call this the Cadillac of manholes. You notice  
4 they had plenty of room to move around and do things to  
5 get past each other. A much smaller manhole where that  
6 may have had less water in it would have been more  
7 confining, would have been more -- even more difficult to  
8 do any of these tasks at all. So to say that that is a  
9 bad situation here doesn't fit the mold.

10 This is actually a pleasant environment. As a  
11 matter of fact, you notice that there weren't that many  
12 cables that were around each other. A much smaller  
13 manhole would have had the cables closer together, and the  
14 phrase that was used up here as far as racking and  
15 reracking would have come into play to be able to move the  
16 cases out to be able to get to the splice case and then to  
17 put them back in again. So the size of the manhole has  
18 advantages and disadvantages.

19 Q Fair enough. You did state that was a large  
20 manhole; right?

21 A Yes, I did.

22 Q So they're not all going to be that large?

23 A It depends. Now, this is a load manhole. This  
24 manhole was designed this big because this is 3,000 feet  
25 from the central office, and when they designed this

1 underground structure, they were anticipating what would  
2 happen at this location.

3           Ironically, back in this time frame, T1 was  
4 coming out at the same time. T1 was the interoffice  
5 facilities, of course, during the '70s using cable, and at  
6 the same point, because of these large manholes that were  
7 developed for load points, the technology was designed  
8 that a T1 repeater case would also be at this same point.

9           So these manholes at 3,000 feet from the central  
10 office from predominately a downtown central office that  
11 would have a lot of trunking facilities and a lot of these  
12 distribution cables would have been built as large  
13 manholes.

14           Q     Was there a T1 box in that manhole?

15           A     No. In this particular section, I did not see  
16 any T1 repeater cases. As a matter of fact, most of the  
17 T1 has been taken out of our interoffice facilities.  
18 There was one point in the tape that you wouldn't have  
19 known to be looking for, but there were three plastic  
20 pipes. They were only about -- each one was only about an  
21 inch and a half, 2 inches in diameter together. That  
22 would have been the fiberoptics interoffice ducts.

23           So the trunking route that was along this  
24 distribution route -- I mean, along these underground  
25 facilities has probably been changed out to fiberoptics.

1 Q Would you agree with me that that on the tape  
2 was a larger than average splice case?

3 A No, I cannot agree or disagree with you.

4 Q You just don't know how big splice cases are at  
5 all?

6 A No. It's that, again, it depends on where you  
7 are in our outside plant. Now, for a metropolitan office  
8 that is that far from the central office, a 2,700-pair  
9 cable might be reasonable --

10 Q Okay.

11 A -- but it would depend.

12 Q It might be reasonable. Excuse me, sorry. Did  
13 you finish your statement? I'm sorry.

14 A Yes, I have.

15 Q So I'm sorry, I didn't get the answer. Is that  
16 an average-sized splice case in the BellSouth outside  
17 plant in Florida?

18 A I do not have that knowledge.

19 Q What size splice case would be used 9,000 feet  
20 from the central office?

21 A That would have to depend, but again, I do not  
22 have that knowledge.

23 Q Would you agree with me it's more likely to be  
24 smaller?

25 A Again, I do not have that knowledge.

1 Q How about 15,000 feet from the central office,  
2 what size splice case would be used there?

3 A I do not have any knowledge of what's typical of  
4 what splice cases are.

5 Q All right. If we talk about the comparison  
6 between the work steps that Mr. Riolo's outlined in his  
7 testimony and what we saw on the tape, would you agree  
8 with me that the real differences came in two places: One  
9 was the time for pumping and ventilating, and the second  
10 was the time for plugging the leak?

11 A No. Again, I have to say that we do not have an  
12 accurate record with this tape, the amount of time that it  
13 took to find those pairs. Yes, I understand that there is  
14 about a 15-minute gap there, and what portion of it was  
15 used in finding the pairs, we have no record.

16 COMMISSIONER JABER: Do you know why that part  
17 was not videotaped?

18 THE WITNESS: No, I have no idea.

19 BY MS. BOONE:

20 Q Okay. Let's talk about that leak for just a  
21 second, if you will. Would you agree with me that at  
22 about 10:10 until about 10:57, technicians were doing  
23 work, plugging that leak that was coming in off the side?

24 A Would you restate the times again, please.

25 Q Sure. 10:10 to 10:57.

1           A     Again, no.  As I stated earlier, I cannot accept  
2 that time because I did look and watch that to see how  
3 much time was spent plugging that leak, and it was, as I  
4 remember it, about ten minutes.

5           MS. BOONE:  I wonder, Mr. Edenfield, if I could  
6 ask the witness to review that portion of the tape and  
7 report back to us as a data request after lunch?  The time  
8 that he believes it took exactly to plug the leak.

9           MR. EDENFIELD:  Let me reiterate, when I moved  
10 this into evidence, that BellSouth at no time has  
11 indicated that this is to be used as a time and motion  
12 study.  In fact, I specifically said it was not being  
13 entered into evidence as a time and motion study but only  
14 to demonstrate the task.

15           So to the extent -- first of all, you know, the  
16 request is not appropriate because we're not introducing  
17 this for that purpose.  Second of all, I'm not sure that I  
18 understand what counsel is exactly directing me to do  
19 here, not that she has that authority or --

20           CHAIRMAN DEASON:  She wants the witness to  
21 review the amount of time -- she claims it's 47 minutes;  
22 he claims it's more like 10 minutes to plug the leak.  I  
23 don't think it's an unreasonable request.

24           MR. EDENFIELD:  That's fine.  I'll do that.

25           CHAIRMAN DEASON:  Okay.

1 MS. BOONE: Thank you.

2 BY MS. BOONE:

3 Q I'd like to talk about repairing the leak in  
4 general. Would you agree that fixing the leak has nothing  
5 to do with removing the load coil?

6 A No, I do not agree.

7 Q Would you agree that the leak wasn't caused by  
8 the request to remove the load coil from the ALEC?

9 A No, I do not agree. The task calls for entering  
10 a manhole and being able to perform an operation there.  
11 Had this been at the request of a CLEC to unload a pair,  
12 this is what is necessary to do it. You have to dam the  
13 water before you can proceed with the operation at hand.

14 That's just like time that is here shown on  
15 Mr. Riolo's thing of racking the cable. If the splice had  
16 happened to be underneath another splice and we had to  
17 lift one out of the way, that's time that it takes to get  
18 to it. So these operations are necessary in order to  
19 unload the pairs. So I cannot agree that it had nothing  
20 to do with it.

21 CHAIRMAN DEASON: Let me ask you this. How much  
22 time, and you may not be familiar with the cost study, but  
23 how much time in determining the cost is allocated to  
24 plugging leaks?

25 THE WITNESS: To my knowledge, there is no time,

1 but I do not have that detailed knowledge of what's in the  
2 cost study.

3 CHAIRMAN DEASON: Okay.

4 BY MS. BOONE:

5 Q Would you agree with me that there is time  
6 included for all of the tasks that you say are necessary  
7 to condition a load coil -- condition a loop? Excuse me.

8 A Will you rephrase the question?

9 Q Well, I think Chairman Deason just asked you if  
10 there was a specific time for plugging the leak, and you  
11 said you didn't think there was; is that correct?

12 A To my knowledge, there is not. That's what I  
13 said.

14 Q But it's BellSouth's position that this work is  
15 included in the work that needs to be done to condition a  
16 loop; is that correct?

17 A No. It's BellSouth's position that there are  
18 things out there that are just a natural environment of  
19 telephony, and when you take all those into consideration,  
20 these are the tasks and the times that are necessary.

21 Q All right. My question was really getting at  
22 what caused the leak, not -- the order from the ALEC did  
23 not cause the leak. We can agree to that?

24 A Yes, we can agree to that.

25 Q Okay. Now, would you agree that having a leaky



1 duct is bad for plant maintenance?

2 A Yes, by virtue of the fact that they saw that as  
3 one of the first tasks that needed to be done, you repair  
4 your duct leaks. Yes.

5 Q Okay. And if somebody was down there doing  
6 something on a T1 line, if there were a T1 box down there,  
7 they do the same work; right?

8 A Yes. Had they been down there and they had to  
9 pump the manhole because there was water pouring in, they  
10 would have done the same task. This task was generated by  
11 the fact that they needed to be in the manhole.

12 Q Does BellSouth have a habit of keeping its  
13 manholes full of water?

14 A No. BellSouth let's nature take its natural  
15 course.

16 Q Okay. So there's no routine maintenance  
17 involved in making sure that these cables stay dry?

18 A Yes, there is. As a matter of fact, there is a  
19 whole section of -- in BellSouth that's responsible for  
20 those air pipes and that air pressure. And the  
21 construction guys will tell you, if they let the air  
22 pressure drop on that manifold, it rings an alarm. They  
23 will have some people out there at that manhole very, very  
24 quickly. So there's a very conscious effort to keep its  
25 cables dry. That's why this leak in the duct had not

1 caused any damage to our outside plant. It was an  
2 inconvenience to being able to get into the manhole and do  
3 the work. So this is not a maintenance on the cable  
4 itself. This is a task that needed to be done to do the  
5 other task.

6 Q Okay. But while BellSouth is down there, you're  
7 going to fix the leak; right?

8 A Yes. It's necessary to fix it to do the job.

9 Q Okay. Yeah, you said that earlier. It was  
10 necessary to fix the leak in order to open the splice  
11 case. Is that your testimony?

12 A Yes. You don't want to be standing there with  
13 the water slowing coming back up to your knees as you're  
14 trying to unload these pairs.

15 Q Okay. Well, you could keep the pump in there  
16 and keep pumping it out, though; right?

17 A I do not know if that's an option or not.

18 Q Okay. But would you agree it's possible?

19 A I do not know if that's an option.

20 COMMISSIONER JABER: Mr. Greer, let me ask the  
21 question this way. This leak had to be fixed, period;  
22 correct?

23 THE WITNESS: Until the -- I do not know whether  
24 or not construction would have -- there is no way of  
25 knowing that there is a leak until you enter a manhole.

1 When you're entering a manhole, you're entering it to do a  
2 task. And the task -- you don't enter it to do a routine  
3 task like this. You enter it to touch your plant.

4 COMMISSIONER JABER: But it is inefficient to  
5 enter a manhole, discover a leak, and not fix the leak  
6 right away. You would agree with that; correct?

7 THE WITNESS: Yes. I mean, the manhole leak had  
8 to fixed while they're down -- to be down there, yes.

9 COMMISSIONER JABER: All right. Fixing that  
10 leak or anything else that you discover when you're there  
11 in a manhole on the task of -- based on an ALEC order, it  
12 is not your testimony or your position today that those  
13 unexpected tasks should be paid for by the ALEC or  
14 recovered through the service you're performing for the  
15 ALEC, is it?

16 THE WITNESS: No, it is not. As a matter of  
17 fact, one of the tasks he performed was repairing a ground  
18 strap. And, no, you cannot say that that was a task that  
19 should be charged to the time required to unload the  
20 pairs.

21 BY MS. BOONE:

22 Q So whatever time we agree on was used for  
23 plugging the leak would be deleted from your total four  
24 and a half hours that you show on this tape for the task,  
25 and it would not be charged to Covad for the load coil

1 removal?

2           A       No. I have shown a difference in that one task  
3 here was necessary to be in the manhole. The other task  
4 was a failure of the plant itself. So there's a  
5 difference in failure of the plant and failure of the  
6 structure there.

7           COMMISSIONER JABER: Mr. Greer, if you thought  
8 you were showing me the difference, I didn't get it. If  
9 you are entering a manhole and you discover a leak while  
10 you're there, that's a leak in the manhole, and you're  
11 going to fix it while you're there; correct?

12           THE WITNESS: Yes, correct.

13           COMMISSIONER JABER: All right. That cost does  
14 not get recovered -- it is not your testimony that that  
15 cost should get recovered from the ALEC; correct?

16           THE WITNESS: No. What I'm saying is that the  
17 difference here is that if you had entered that manhole on  
18 a totally dry day and you did not know there was a leak,  
19 then that task would not have been done and may not have  
20 been detectible at all, but the task this time was needed  
21 to be there.

22           Now, there is this other assumption that has to  
23 be made as to whether or not did damming that whole --  
24 damming that leak keep you from having to pump the manhole  
25 the next time, that I cannot address. I do not know.

1                   COMMISSIONER JABER: So should ALECs receive  
2 credit for your killing two birds with one stone? You  
3 completed the task of the ALEC, and you got to fix the  
4 leak that was discovered in the manhole. I guess I don't  
5 understand your testimony.

6                   THE WITNESS: My testimony is that we've looked  
7 at the cost of going into manholes and unloading it, and  
8 it includes a variety of things, and though this occurs in  
9 this tape, something else could occur in another that has  
10 to do with just the actual work activities that are  
11 necessary to unload the pairs.

12 BY MS. BOONE:

13                 Q     Would you agree with me, there are two main ways  
14 to get water in a manhole, surface water through the  
15 opening of the manhole and then ground water through an  
16 opening around the cables?

17                 A     Yes, that is two ways. Yes.

18                 Q     And surface water -- now, there's this thing  
19 called a pan right at the top of the manhole opening;  
20 right?

21                 A     Yes, there is a pan.

22                 Q     I think we saw him putting it back on it. It  
23 just catches the rain water; right?

24                 A     It deflects major flows is my understanding.

25                 Q     And the other way would be ground water seeping

1 in and around the cables; right?

2 A Yes, ground water and water that just leaks to  
3 the side of the walls of the manhole.

4 Q And the tape showed that all the other conduit  
5 areas around those cables were plugged up; right?

6 A Yes, they were not leaking.

7 Q And that's standard procedure for BellSouth;  
8 right?

9 A Yes, they do plug those ducts.

10 Q Because that avoids leaks; right?

11 A Yes, it does.

12 Q Would you agree with me that the technician on  
13 the tape even commented that there was something wrong  
14 with the job that had been done before because it wasn't  
15 properly plugged?

16 A No, I do not recall that.

17 Q Okay. Now, I'd like to talk a little bit about  
18 the time your crew spent pumping and ventilating the  
19 manhole. Would you agree with me, there's a big time  
20 difference between what the tape shows and what  
21 Mr. Riolo's chart estimates it will take to pump and  
22 ventilate?

23 A Yes, I agree.

24 Q In fact, the difference is 88 minutes or about  
25 an hour and a half?

1           A     Yes, I agree, subject to check, of these times.  
2     Yes.

3           Q     First, does every manhole in Florida require  
4     pumping?

5           A     I do not have that knowledge.

6           Q     Even if we assume that every pumping job took  
7     the amount of time that we showed, would you agree with me  
8     that not every single manhole would require pumping?

9           A     I do not have any knowledge on the number --

10          Q     But, I mean, logically, you could agree with me  
11     that not every single one?

12          A     I do not know as to how many do and don't.

13          Q     Now, you understand that Mr. Riolo's chart shows  
14     an average of 15 minutes, and that's for all manholes;  
15     right?

16          A     Yes, I assume he's doing an average for all  
17     manholes.

18          Q     So he's saying in some of them I know there  
19     won't be pumping, but I'm still going to give you the  
20     15-minute credit, and others there may be more pumping,  
21     and they give you credit there; right? That's what an  
22     average does.

23          A     Yes, that's what an average does.

24          Q     Now, the time on the tape was obviously specific  
25     to the job that required pumping; right?

1 A Yes, a large portion of the time was --

2 Q And I think you mentioned that there was a lot  
3 of water in that manhole; right?

4 A Yes, that manhole was full.

5 Q And because of -- the manhole was particularly  
6 large; right?

7 A That would correlate, yes.

8 Q And so it was a big pumping job?

9 A Yes, it was.

10 Q Not an average pumping job?

11 A I do not know what average means.

12 Q So the real issue here on these times that we've  
13 seen between the tape and Mr. Riolo's testimony is whether  
14 routine maintenance activities, like plugging a leak,  
15 should be included in the cost of conditioning a loop for  
16 an ALEC? Would you agree with me that's one of the things  
17 we've isolated here?

18 A No. That would be based upon the assumption  
19 that this manhole did get full because of that one leak.

20 Q Okay. And I think we've talked about the other  
21 way could have been is through ground -- through water  
22 coming in off the street; right?

23 A That was another way we mentioned, yes.

24 Q And there was a cap in there to prevent that  
25 from happening?



1           A     There was a lid on one manhole that was to  
2 divert major flow, yes.

3           Q     Okay. But would you say there's about  
4 eight feet of water in there?

5           A     I do not know how deep the manhole was, nor how  
6 much water was up to the rim. I could not tell from the  
7 video, I could not.

8           Q     Okay. And would you agree with me that one of  
9 the issues is whether the cost of conditioning a loop in  
10 every underground situation must account for 88 minutes of  
11 pumping and ventilating like we saw here today?

12          A     Would you rephrase that question again?

13          Q     Do you believe that when this Commission sets  
14 the price for conditioning, it should conclude 88 minutes  
15 for pumping and ventilating for all manholes?

16          A     No. Again, BellSouth has not said that this was  
17 a typical situation. BellSouth is not even establishing  
18 this that -- it could be averaged -- yes, it could be  
19 averaged in but would just presenting this as tasks that  
20 happened. And if you consider this time that did take  
21 place to what is in BellSouth's cost study, then you will  
22 see that BellSouth by no means has put into it's cost  
23 study this exaggerated amount of time.

24                MS. BOONE: Chairman, I only have about five  
25 minutes more on this line of cross, I just wanted to let

1 you know.

2 CHAIRMAN DEASON: Okay.

3 BY MS. BOONE:

4 Q Okay. I'd like to talk about the difference  
5 between PIC cable and pulp cable. Now, you'd agree with  
6 pulp cable is what you talked about. It's a wood base.  
7 It has, like, some sort of wood product on the outside of  
8 the copper pairs?

9 A Yes, a pulp cable is insulated with a wood-based  
10 insulation.

11 Q And PIC cable -- that's PIC, sorry -- it has  
12 color-coded plastic covering; right?

13 A Yes, it is plastic covered.

14 Q Do you remember -- do you have your deposition  
15 up there, by any chance?

16 A No, I do not.

17 Q Okay. Let's get you a copy real quick. I'd  
18 like you to turn to Page 126 of your deposition, and I  
19 just want to get you to refresh your recollection about  
20 when Ms. Keating was asking you about some of Mr. Riolo's  
21 assumptions. Okay?

22 A Yes.

23 Q She asked you which of Mr. Riolo's assumptions  
24 you disagreed with; right?

25 A Yes. Excuse me, may I ask the page again?

1 Q Pardon me?

2 A May I ask what page it was again?

3 Q Oh, sure. I'm sorry. 126.

4 A I'm there, yes.

5 Q All right. Now, she asked you which of  
6 Mr. Riolo's assumptions you disagreed with; right?

7 A Let me read her question, if I may.

8 Q Sure. I think it's at the very top of 126.

9 A Yes.

10 Q And do you see your response about pulp cable?

11 A Yes, I do.

12 Q Can you explain what your concern is about  
13 Mr. Riolo's assumption and pulp cable? You don't have to  
14 read it. I just was refreshing your --

15 A Well, my point was that a pulp cable is not as  
16 easy to identify the pairs, the same issue I've brought  
17 out now, that there is this missing time, but it was one  
18 of the points that it takes time to locate each and every  
19 pair. Mr. Riolo does not allow for that process. He is  
20 making the assumption that you can simply based upon the  
21 color-coded identify the pair and know that you are there.

22 Q So this tape showed working with pulp cable;  
23 correct?

24 A Yes, it did.

25 Q And would you agree with me that you would

1 expect the times for working with PIC cable to be less?

2 A No, not necessarily.

3 Q Okay. I think -- I thought you just explained  
4 that it was harder to identify pulp cable. Can you tell  
5 me why you don't think it's going to be easier to do it  
6 and quicker on PIC?

7 A As I stated earlier, you still have to identify  
8 the pairs to go through it. Now, PIC is less fragile, and  
9 you can handle it easier, but you haven't -- and  
10 identifying it does have color-coded, but you still have  
11 to spend the time to go through pair by pair, so depending  
12 upon how much less, whatever less means.

13 Q The videotape shows unloading 25 pairs; correct?

14 A Yes, that is our understanding. This was a job  
15 to unload 25 pairs.

16 Q How much additional time would it take to do  
17 50 pairs in the exact same splice that we just saw?

18 A It would have been the same amount of time that  
19 we're discussing about how far long it would have taken  
20 him to find the other count and go about performing the  
21 same operation.

22 Q Okay. And you realize that Mr. Riolo's chart  
23 does include times for a second binder group. Mr. Riolo  
24 right here at 11, 12, 13, 14, 15, all of those times, 10,  
25 15, 20 minutes he includes for the second binder group;

1 right?

2 A Yes, he includes time for a second binder group.

3 Q Now, let's look at the list here. Would you  
4 agree that most of the tasks listed here are not affected  
5 at all by the number of pairs that you unload?

6 A Yes, I agree. That is true.

7 Q Okay. Things like travel time, setting up,  
8 pumping has nothing to do with it?

9 A Yes, that is true.

10 Q Even all the way up here to opening the splice  
11 case really doesn't matter how many you're doing?

12 A Yes, that's true.

13 Q And then when you go to closing it, resealing  
14 it, you're putting the cables back, you're closing down  
15 the manhole, again, totally unaffected by doing 10, 25, or  
16 50?

17 A I agree, yes.

18 MS. BOONE: That's all I have on the videotape.  
19 I have some other questions on other matters.

20 CHAIRMAN DEASON: We're going to recess for  
21 lunch at this time. We will reconvene at 2:00.

22 MR. EDENFIELD: Commissioner Deason, could I get  
23 Ms. Boone to repeat one more time the question? Plus I'm  
24 going to need the Commission's video person to operate the  
25 tape so that we can review it. I'm not sure if that

1 person is --

2 CHAIRMAN DEASON: I don't know how much she will  
3 charge you, but that's between you and her.

4 MR. EDENFIELD: I'm racking up quite a tab.

5 CHAIRMAN DEASON: What is the question again?

6 MS. BOONE: The times on the tape that Mr. Greer  
7 believes were spent plugging the leak, start time and  
8 finish time.

9 CHAIRMAN DEASON: Okay.

10 MS. BOONE: Thank you, Mr. Edenfield. Thank  
11 you, Mr. Greer.

12 MR. EDENFIELD: Thank you.

13 (Lunch recess was taken at 1:00 p.m.)

14 CHAIRMAN DEASON: Call the hearing back to  
15 order.

16 MR. EDENFIELD: Commissioner Deason, during the  
17 break, we actually did take a look at the video, and I  
18 think if Ms. Boone would like to pursue that question, we  
19 have an answer for her.

20 CHAIRMAN DEASON: Very good. Ms. Boone.

21 MS. BOONE: Yes.

22 BY MS. BOONE:

23 Q Could you please tell me the times for plugging  
24 the leak.

25 A Yes. We still contend that there was about

1 ten minutes, maybe another minute or so.

2 Q And from what times to what times?

3 A From approximately 10:32 to 10:42.

4 Q Thank you. Fair enough.

5 MS. BOONE: May I continue, Chairman?

6 CHAIRMAN DEASON: Yes, you may.

7 BY MS. BOONE:

8 Q Mr. Greer, I'd like to talk to you a little bit  
9 about BellSouth's contention that load coil removal should  
10 be costed removing ten load coils at a time. Do you  
11 believe that when the opportunity exists, BellSouth should  
12 unload as many load coils as possible?

13 A Yes. In order to be efficient, BellSouth did  
14 not deny that unloading this whole operation this morning  
15 that it's most efficient to unload a whole complement if  
16 it's available. As the questions were pointed out earlier  
17 this morning, were there working circuits in it, those are  
18 things to be taken into consideration.

19 What are those circuits? As I pointed out, we  
20 would hope that the engineer recognized that these were  
21 POTS circuits and that he could handle them in a different  
22 manner than if there were circuits in there that were  
23 critical. The engineer has that capability. He can look  
24 into LFACS, and he can see circuit IDs that are across his  
25 count. So he knows whether or not he is potentially

1 ordering to have these cable pairs touch that are carrying  
2 critical circuits.

3           So that may be a consideration that he takes in  
4 to determine if he wants to unload the whole count, to  
5 touch it at all. Because some of these circuits, design  
6 circuits we call them, that have actually had equipment  
7 put on them and adjusted for these very load coils, for  
8 example, an analog data circuit that might be used for the  
9 lottery or might serve an ATM machine, some of those  
10 circuits have specifically had the load coils taken into  
11 account for the design of them. So before he can just  
12 remove the load coils, he has to make contact with the  
13 circuit provisioning group to have these circuits  
14 redesigned.

15           A project group might handle them. They would  
16 go to the BRC. The BRC would contact the customer, the  
17 end user, and get a release of the circuit and move them  
18 out. So there are many things to be taken into  
19 consideration before you simply say, unload all the pairs.

20           But BellSouth agrees that efficiency dictates  
21 that you do what is right for the particular situation.  
22 And it is the outside plant engineer who works up the  
23 order and knows the most about what should be done in that  
24 situation.

25           Q     Excluding special design circuits, some of which



1 you've just named, would you agree with me that you can  
2 remove all load coils from all copper loops below  
3 18,000 feet without any damage to the voice service at  
4 all?

5       A       No, I do not agree. In fact, one of the very  
6 reasons that we started loading all these loops back in  
7 the late -- the '70s and so forth, a predominate service  
8 that we were offering were CENTREX lines. And CENTREX  
9 lines is a replacement -- is our version of having a PBX  
10 in the central office.

11               So you might have an office that -- or people  
12 who would be calling one another, and so if you had people  
13 that were both on the same identical loop calling each  
14 other all the time, their calling pattern would dictate  
15 this same repetitive this much loss to this much loss type  
16 loop. And they could be dissatisfied with it.

17               The nature of good voice grade service through  
18 the whole network is based on a probability of how many  
19 times you call somebody and what that end-to-end  
20 connection is like. I can have a loop to my house that  
21 may not be the best. It may have quite a bit of loss  
22 compared to the norm, that some people say, and because I  
23 only make a certain pattern of calls, then I don't notice  
24 it. I'm always calling a business. But if I'm always  
25 calling my neighbor who has the same type of loop, then I

1 perceive that I have a worse grade of service.

2           So calling patterns in a CENTREX line was one of  
3 those very reasons that we loaded all of these loops.  
4 CENTREX were, at first, intended to only go out to a  
5 certain -- we offered them in the tariff based upon how  
6 far you are away from the central office. And in order to  
7 get more of them, we said, okay, we need to decrease the  
8 loss in them and include those a little bit farther away  
9 from the CO. So we could get more CENTREX customers by  
10 loading them.

11           Also, PBX trunks, first off, understand that a  
12 POTS telephone is a dynamic device. It was a genius  
13 creation by Bell labs that with the POTS telephone it  
14 would compensate so that somebody -- let's say you are at  
15 your office, you're in downtown, you have a short loop,  
16 all day long you're on the phone, and you only experience  
17 a short loop type of grade of service. If the phone  
18 wasn't dynamic, when you went home and you were on one of  
19 these long loops, you would have the perception that I got  
20 good service at the office, lousy at home.

21           Well, the forefathers in their infinite wisdom  
22 said, you know, we need to reduce this disparity. We need  
23 to minimize it. So the phone was designed to average out  
24 these types of loops, and so the people would generally  
25 have a single perception of the type of grade of service

1 that was given. That's a requirement for a POTS phone.

2 But on the other hand, PBX trunks, they are  
3 not -- PBX is not required to be a dynamic device. So  
4 when you have people on stations behind a PBX, you need to  
5 minimize the loss from the PBX to the central office. So  
6 those type of trunks for years and years we have said need  
7 to be a certain amount of loss. The number for years have  
8 been 40. That allowed everybody to have a good type of  
9 end-to-end connection.

10 Now, what's happening in the industry today that  
11 is interesting is that more and more key systems are  
12 becoming common. They may not be actually PBXs. They may  
13 not even order up PBX trunks. They are using 1FBs for it.  
14 And if a telephone set was on it, then there would be one  
15 perception of service, but because these key systems are  
16 not required by any standard to compensate for the loss,  
17 then you have people today who will perceive more loss in  
18 it.

19 So in order to answer the question, transmission  
20 is a wonderful study. I love it. And although our  
21 forefathers when they said, unload everything, they were  
22 basing it upon POTS service. They did not necessarily say  
23 that it would be excellent voice grade services for all  
24 types of connections.

25 Q Okay. I thought I had asked you to exclude

1 special design services, but that's fine because I wanted  
2 to get into these things that you talked about. Now, the  
3 CENTREX line -- well, let's talk first about PBX trunks.  
4 Your testimony is that you can't unload PBX trunks that  
5 are designed with load coils; is that correct?

6 A No, I'm not saying that you can't unload them.  
7 I am saying that there are situations where the load coils  
8 have enhanced the voice grade quality of that service.  
9 And, therefore, that's a consideration to be taken into  
10 account before you just arbitrarily say, I can unload  
11 them.

12 Q Okay. So sometimes you can; sometimes you  
13 can't. Would you agree with that?

14 A Yes.

15 Q Okay. And digital PBX trunks are not  
16 provisioned with load coils. Would you agree with that  
17 statement?

18 A Yes, I agree. In fact, a digital PBX trunk is  
19 using a T1 line to have connectivity from my central  
20 office, and that T1 line may be provisioned over many  
21 types of facilities. It could be over a T1 that  
22 provisioned with HDSL or a conventional T1, and that would  
23 have to be provisioned over a nonloaded loop. And then,  
24 again, these T1 lines may be over a fiberoptic mux of some  
25 sort.

1 Q Okay. But you don't put load coils on PBX  
2 digital loops; right?

3 A No, you do not.

4 Q Okay. And so we're just talking about PBX  
5 analog loops here. Now, what percentage of BellSouth's  
6 loops in Florida are analog PBX loops?

7 A I do not have any knowledge of that.

8 Q You also said that you need to sometimes load  
9 loops for CENTREX lines; is that correct?

10 A Yes.

11 Q And not all CENTREX lines, just analog CENTREX  
12 lines; correct?

13 A Yes, that's true, analog CENTREX lines.

14 Q And not all of the analog CENTREX lines, just  
15 certain ones that you have designed in the load coil on;  
16 correct?

17 A No. Now, we did not design in the load coil  
18 specifically for CENTREX lines. We loaded much of our  
19 cable in anticipation of it, and then when CENTREX service  
20 is offered, they end up on loaded pairs. So just to clear  
21 up that, it isn't an intention that you go load pairs to  
22 provide a CENTREX line. It's that you've loaded pairs in  
23 the design of your outside plant in anticipation of  
24 CENTREX lines being ordered and that they can be  
25 provisioned over those.

1 Q Okay. And what percentage of analog CENTREX  
2 lines are there in Florida?

3 A I do not have that information.

4 Q You also mentioned that certain circuits like  
5 lottery circuits and ATM machines might need load coils on  
6 them; is that correct?

7 A Yes. There is still a tendency by some to  
8 believe in analog data circuits. They are going away more  
9 and more, but analog data circuits by some people's  
10 interpretation have quicker response time. So for ATM  
11 machines, it isn't unusual to have an analog data circuit  
12 out there. And these analog data circuits are the ones  
13 that I've mentioned that they can work, they can work very  
14 well over loaded facilities, and they have been designed.  
15 They have equipment on there to make a good data circuit  
16 along with the load coils.

17 And if you remove the load coils, then you've  
18 changed the settings of your equipment, and it has to be  
19 reengineered, redesigned, dispatched, moved, work has to  
20 be done.

21 Q Okay. And what percentage of lines in Florida  
22 are these lottery lines?

23 A I don't have that information.

24 Q What percentage of the lines in Florida are ATM  
25 machine lines?

1 A I don't have that information.

2 Q Is there any way for us to know or ascertain  
3 from anyone testifying here for BellSouth how often these  
4 special circumstances are going to come up?

5 A No, to my knowledge, there isn't anyone.

6 Q Do you think Mr. Latham might know, product  
7 manager? Does he do those kinds of products?

8 A To my knowledge, Mr. Latham has no involvement  
9 with those products at all.

10 Q Let me ask you one thing. You mentioned that  
11 back in the '70s you started proactively loading the  
12 plant; is that correct?

13 A Yes, that is correct.

14 Q And can you give me a time frame, late '70s?

15 A Actually, I would say about the mid '70s.

16 Q Okay. Mid '70s. So 1975 until about when?

17 A Well, as I stated earlier, this is a phenomena  
18 when you are terminating cable on the main frame. In the  
19 early '80s when digital carrier came out, we began and  
20 eventually ceased to terminate any cable in the main frame  
21 at all. So since there was no more cable being terminated  
22 on the main frame going out this initial 3, 6, 9,000 feet  
23 where the load coils are, then in that time frame there  
24 was no more cable installed with loading.

25 Q Okay. So that would be about 1975 to about

1 1982, would you say? 1980 did you -- what did you say?

2 A Sometime in the early '80s.

3 Q Okay. And BellSouth wasn't -- that was just for  
4 new plant being placed, right, this loading, this  
5 proactive loading that you engaged in?

6 A As I stated, that was for plant that was being  
7 terminated on the MDF.

8 Q Okay. New plant that was being put out there  
9 and terminated on the MDF?

10 A Yes.

11 Q So BellSouth didn't go into the ground into  
12 existing plant and proactively load?

13 A No, not to my knowledge.

14 Q So we're talking about just plant placed from  
15 roughly 1970 to 1982?

16 A Excuse me, they did what?

17 Q That you did this proactive loading on, 1975 to  
18 1982.

19 A Yes.

20 Q Would you agree with me that BellSouth has been  
21 conditioning lines, that means removing bridge tap and  
22 placing or removing load coils for more than ten years?

23 A Yes. Conditioning loops, removing load coils is  
24 necessary whenever you want more bandwidth on your  
25 circuit, a better frequency response may be a good way of



1 describing it. A load coil gives you a tradeoff between  
2 frequency response and volume. You may think of it like a  
3 stereo system. You can buy a stereo system that can go up  
4 to 20 kilohertz, and it may have a 50-watt output. Or you  
5 can buy a stereo system that only goes up to 10 kilohertz,  
6 and it may have 100-watt output. So that's kind of the  
7 similar thing that we have here. It is a bandwidth versus  
8 a level of signal or a volume of signal.

9           So when we needed more bandwidth, you have to  
10 remove the load coils, because load coils limit your  
11 bandwidth to what is determined to be acceptable for voice  
12 band services, which is only about four kilohertz. That's  
13 enough for you to be able to hear somebody and hear all of  
14 their speech and understand it.

15           So the Bell labs, when they came up with the  
16 novel idea of loading pairs to compensate for the  
17 finer-gauged cable that was being used, had to determine  
18 what was good voice grade transmission and how often did  
19 they have to put these load coils on it. So services have  
20 existed for years that needed wider bandwidth.

21           For example, program circuits. The weekend  
22 football games, the church revivals, even the things  
23 happening down at the local, those programs circuits back  
24 in the '70s, they were more common than before wireless  
25 means came into place. Those loops had to be unloaded.

1           Also, in the '70s, digital data in the form of  
2 DDS came out, and for those circuits, you had to go  
3 looking for specifically nonloaded plant. And then again  
4 in the T1 was -- came first to us on an interoffice  
5 facility. So you didn't even ever load those in the first  
6 place. You typically would place new cable that you put  
7 T1s on, but in the early '80s, T1 became the first high  
8 bandwidth that we put into the distribution, and we began  
9 unloading pairs for those services also.

10           COMMISSIONER JABER: When BellSouth rolls out  
11 its HDSL service, do you just put new fiber in, or do you  
12 have to go through any sort of loop conditioning when you  
13 roll out your own service?

14           THE WITNESS: May I ask you to repeat, did  
15 you -- which DSL did you state?

16           COMMISSIONER JABER: Does it matter?

17           THE WITNESS: Service is an interesting word.  
18 We have used HDSL as a technology to provide, for example,  
19 the T1 service, the 1.544 megabits for -- well, HDSL came  
20 out in the early '90s, so for that, you unloaded pairs to  
21 use HDSL to provide the T1 service.

22           If you're talking about the ADSL service that  
23 we're presently rolling out, we're doing it on a  
24 line-sharing basis where we apply it to lines that we had  
25 determined that are nonloaded. As far as whether or not

1 we are actually unloading pairs, I'm not familiar with  
2 what the policy is at that time.

3 COMMISSIONER JABER: Okay. And this is  
4 hypothetical. I'm not even sure that you have a situation  
5 like this, but if an ALEC contacted you and they want to  
6 provide ADSL service then via what you do with  
7 line-sharing, then that's possible? There would be no  
8 loop conditioning with that type of request?

9 THE WITNESS: I'm not familiar with all that's  
10 being developed now in the line-sharing effort that's  
11 going on. I know that we are working with ALECs in order  
12 to give them the option to do the same thing we do where  
13 they put their data over a nonloaded POTS line that  
14 BellSouth presently has to its switch.

15 COMMISSIONER JABER: When a load coil is  
16 removed, it's removed once and for all, so that if  
17 BellSouth rolls out its service and has to do some sort of  
18 loop conditioning on its own and an ALEC comes along and  
19 is going to compete for the same service in same area,  
20 there wouldn't be another charge to the ALEC, would there?

21 THE WITNESS: Once that pair is unloaded and is  
22 in the record as being available as nonloaded, no, there  
23 would be no further use charge.

24 BY MS. BOONE:

25 Q Are you familiar with the additive that

1 BellSouth is attempting to impose on CLECs on every DSL  
2 loop for conditioning?

3 A I am aware of it, yes.

4 Q You know it's \$57 on each loop?

5 A I do not know what the actual money cost is.

6 Q Yes. You were talking about the fact that  
7 conditioning is routine. So you would agree with me, it's  
8 a routine thing that BellSouth does -- has done?

9 A Yes, routine in that it is done, not routine as  
10 in something that we are going about doing every day.

11 Q And BellSouth has methods and procedures in  
12 place about how to do this, conditioning loops?

13 A Whereas where we saw in the video this morning,  
14 it's simply an engineer making a decision to issue a work  
15 order to a construction site to perform a certain  
16 operation.

17 Q How did you become familiar with how many load  
18 coils BellSouth removes at one time so that you could  
19 support their proposal of ten at one time?

20 A The actual number came from SMEs who are more  
21 familiar with outside plant engineering, but my own  
22 experience -- and I have 20 years with the phone company,  
23 19 of it in network, and you don't spend that many years  
24 in transmission engineering working with special surface  
25 circuits and with POTS circuits and analog circuits and

1 also with the digital data circuits not to know that we  
2 are not always able to unload a single pair.

3           You can look through databases and you can look  
4 in LFACS, and you can see small accounts that have been  
5 unloaded in specific areas. One of the things that has  
6 been my job responsibility in the last year as we've  
7 rolled out ADSL is, how do you more accurately make  
8 sure -- determine from the central office whether the pair  
9 is nonloaded or not or loaded, whichever way you want to  
10 look at it. And in so doing, I discovered that one of our  
11 switches has to be able to make a measurement on the line  
12 quickly in order to provide good voice grade service. And  
13 the switch records in it which way it's decided that the  
14 loop is loaded or nonloaded, but I have looked through  
15 this data to try to determine how accurate is the switch,  
16 and you can see repeatedly across cable counts that  
17 suddenly the switch said, oh, there's a couple of  
18 nonloaded lines scattered across that loaded loop.

19           So there are many indications; as one who is  
20 familiar with the network and is in touch with the network  
21 that single pairs are unloaded. So as the cost study was  
22 developed, my understanding is that when a number was  
23 determined, it was from experience that says, we don't  
24 always do 25 pairs, we often do one.

25           CHAIRMAN DEASON: Experience over what period of

1 time?

2 THE WITNESS: My first job in transmission was  
3 actually designing interoffice facilities --

4 CHAIRMAN DEASON: No, I'm talking about  
5 experience over what period of time do you say that  
6 BellSouth has determined that ten is a good average?

7 THE WITNESS: Well, the fact that outside  
8 planting engineering today, as well as the SMEs who are  
9 familiar with outside plant in their career, in other  
10 words, the past 15, 20 years.

11 CHAIRMAN DEASON: Fifteen, twenty years. Is it  
12 your opinion that the demand for having these circuits  
13 unloaded is increasing?

14 THE WITNESS: Yes, I know that there is a belief  
15 that it will be the service. I believe there are still a  
16 lot of technical answers to be resolved, and therefore, I,  
17 as a techno person, am not sure that this is going to be  
18 the answer for data. A provider of DSL service in  
19 South Carolina, I went up and was looking at some loops,  
20 and he commented that he didn't see this.

21 So, yes, I will agree most wholeheartedly that  
22 the needs for high-speed data are coming. I am not yet  
23 convinced that ADSL or SDSL will be the right answer.

24 CHAIRMAN DEASON: But I guess my question is:  
25 If ten is a good average based upon 15 to 20 years of

1 engineering experience, given the rapid deployment of data  
2 services and needs at this time, would you anticipate that  
3 that is going to be cost effective and efficient to be  
4 unloading more than a ten average on a going-forward  
5 basis?

6 THE WITNESS: Yes, I will; that when an engineer  
7 can see the way to unload is unload 25 pairs, he needs to  
8 move in that direction.

9 CHAIRMAN DEASON: Okay.

10 BY MS. BOONE:

11 Q Mr. Greer, you've never actually conditioned a  
12 loop, have you?

13 A No. As a matter of fact, I have not either  
14 supervised nor done any physical task in my career in  
15 BellSouth. I was one of those people who, as they  
16 express, came off the street into a staff position.  
17 Ironically, in my first four or five years designing  
18 interoffice facilities, it was quite a challenge to be  
19 able to understand cable and what a cable pair did in its  
20 characteristic for T1 and the idiosyncrasies that were  
21 necessary to provision it, but since then in going into  
22 special services, I've been in touch with many  
23 organizations in BellSouth.

24 I've been on the phone many, many hours in  
25 technical support roles with the technician outside, with

1 technicians in the center. I've supported the design  
2 groups that actually design the circuits, the circuit  
3 provisioning group. So although I am not a hands-on  
4 person, I have a very large familiarity with those who do  
5 tasks in BellSouth.

6 Q Okay. But the answer is no?

7 A The answer is no.

8 Q Okay. Do you remember during your deposition,  
9 Mr. Greer, I asked you about the differences between  
10 SL1 loops and ADSL loops or any type of DSL loops?

11 A Yes, I remember a question of that nature.

12 Q Okay. Do you remember you told me that there  
13 were three major differences, design layout record, order  
14 coordination, and -- I can't remember the third one -- oh,  
15 the test points. Do you remember that statement?

16 A Yes, I remember stating that some of the  
17 differences were the test points and the DLR report  
18 document.

19 Q Okay. You'll agree with me that what's produced  
20 in the DLR is the same information as what is in loop  
21 qualification inquiry, wouldn't you?

22 A For design circuits, yes. The DLR is basically  
23 a stripped down version of what we call the word doc. The  
24 word document is what we internally get that shows all the  
25 equipment, the loop, and the makeup of the loop. And the



1 DLR is a stripped down version, so in that the loop makeup  
2 is given on the word document, it is also applied -- is  
3 given through the DLR.

4 Q So yes is the answer?

5 A Yes.

6 Q Okay. And we talked about test points, and I  
7 asked you if you knew if any of the data ALECs had  
8 requested BellSouth to place test points on DSL loops. Do  
9 you remember your answer to that?

10 A No, I do not remember the question nor my  
11 answer.

12 Q Okay. What is the answer? Do you know if we  
13 have asked you to put test points on these loops?

14 A No, I do not know if they have asked for it, but  
15 these test points are our survival. Firsthand knowledge,  
16 without those, we cannot decide when we have agreed that  
17 the loop is good. Presently, part of my job function is  
18 to decide better how to test from this point to resolve  
19 disagreements in the quality of that loop.

20 The ALECs have their test points, and they make  
21 their measurements with their test head; we have ours. We  
22 will work together to make sure they agree. These test  
23 points, without them, the task of being able to get ahold  
24 of a person in a central office to go over to the main  
25 frame to pick up a test set, to make the measurements, to

1 get the report back to you to be able to do it in any real  
2 time whatsoever, it just couldn't work.

3           These test points are necessary so that when the  
4 ALEC says, it doesn't work, you know, it's broke, we have  
5 to have them to be able to go in and take a look at the  
6 cable pair and decide that, yes, obviously that's a bad  
7 pair now, and we need to get about repairing it, or, no,  
8 we don't see any faults on the line from this point. What  
9 is your -- you know, what type of failure are  
10 experiencing? Do we need to dispatch out?

11           So they may not have asked specifically for test  
12 points, but we know that without those test points, toning  
13 of these circuits would be a nightmare.

14           Q     Okay. I appreciate your explanation, Mr. Greer,  
15 but let's just try to keep moving along here. You just  
16 stated, if there is no trouble found, you have to work  
17 with the ALEC. Isn't it true that if no trouble is found,  
18 BellSouth charges the ALEC for any dispatch?

19           A     I do not have firsthand knowledge of that.

20           Q     And if there is trouble found, there's a problem  
21 with the BellSouth line; right?

22           A     Yes.

23           Q     And if there is trouble found, this is on the  
24 repair side, and so this test point helps BellSouth do  
25 what it should do; right?

1           A     The same applies to turning up the circuit. I  
2 mean, we have our parameters by which we have stated these  
3 loops should be, and they are necessary to be able to make  
4 measurements on the installation of it to agree with what  
5 the AC voltage is on the line, if there is DC voltage on  
6 the line. When we dispatch somebody out there, we can  
7 measure the resistance. We'll measure the length of it to  
8 know capacitively how long it is. So these are necessary  
9 not only from the installation standpoint but also from  
10 the maintenance standpoint.

11           Q     Okay. And you would agree with me, the length  
12 is in LFACS; right?

13           A     I would agree that there is a record in LFACS  
14 that states what the limit should be.

15           Q     And you can calculate resistance based on the  
16 gauge of the wire and the length of the loop; right?

17           A     Yes, I can, but in order to be sure you know  
18 what you have, you want to make a measurement so that that  
19 becomes your benchmark as you move forward after having  
20 provisioned the circuit.

21           Q     But if I, as the ALEC, wanted to make sure for  
22 myself and didn't want to ask BellSouth to do that, that  
23 would be okay, wouldn't it?

24           A     Yes, he can, but much of the argument that's  
25 going on today and much of the contention about the

1 measurement we make is based upon that dispatch issue.  
2 Dispatches are expensive, we all know that. And the point  
3 is, is that we do send somebody out upon installation to  
4 make these measurements, and we even make him available  
5 for a short period of time for the CLEC to make tests with  
6 him also.

7 Q The last thing you mentioned that was different  
8 between an SL1 and a DSL loop is order coordination, and  
9 that enables you to take a live cut and coordinate a bunch  
10 of people in BellSouth to make sure that that cutover  
11 happens at the right time. Am I correct in summarizing it  
12 that way?

13 A I do not remember saying that SL1s had  
14 coordinated cutovers.

15 Q Sorry. The difference between SL1s, SL1s do not  
16 have coordinated cutovers; right?

17 A Right.

18 Q And DSL, that is an option; correct?

19 A I'm not familiar with exactly what that means.

20 Q Coordinated cutover?

21 A Yes.

22 Q Order coordination, does that sound more like  
23 it? I'd like you to turn to Page 97 of your deposition,  
24 please. We talked a little bit about this on that page,  
25 and I asked you -- we are talking on this page about the

1 order coordination process. Are you -- look at 96 as well  
2 and just read down a little bit, if you would --

3 A Yes.

4 Q -- to refresh your memory.

5 Would you look on Line 19 of Page 57, your  
6 response, "The biggest benefit of the design circuit is  
7 getting it done when you want it done."

8 A Yes.

9 Q And you're not aware of any DSL providers asking  
10 for that order coordination, are you?

11 A No, I'm not.

12 MS. BOONE: That's all I have. Thank you.

13 MR. MARCUS: I'm Jeremy Marcus for Rhythms. I  
14 have a very small number of questions.

15 CROSS EXAMINATION

16 BY MR. MARCUS:

17 Q Mr. Greer, you mentioned that the splicing in  
18 the videotape demonstration had pulp insulation, I  
19 believe?

20 A Yes, I did.

21 Q And you also mentioned, I believe, that pulp  
22 insulation is fairly fragile; is that correct?

23 A Yes, I did.

24 Q So, therefore, wouldn't each time that you open  
25 up the splice case, you increase the potential for damage

1 to that insulation?

2           A     Yes. Any type of handling of your plant runs  
3 that risk. Now, the question is, how much is done on each  
4 individual task? And the point is that as you go handling  
5 the pairs, each time you handle a pair, you run a risk of  
6 creating a defective -- you touch it, it can break.  
7 Therefore -- there's one risk at opening the case, but  
8 there's another risk that I'm touching this pair, this  
9 pair, I touched 25, and when I get done, what's the  
10 probability that out of those 25, I've created a defect?

11           Q     But if you're going into a cable the size, for  
12 example, of the one we saw in your demonstration, which  
13 was, I believe, 2,700-pair, you would want to minimize the  
14 number of times you have to open the splice case to avoid  
15 potentially damaging the insulation on those 2,700-pair;  
16 is that correct?

17           A     Again, as you saw this morning, the cover  
18 protects it, so that the fact that you open it up is not  
19 the damaging instant itself. It's the fact that you  
20 picked it up and you started handling them. And right  
21 now, there are pairs in there that are working. They are  
22 providing excellent service. They are doing everything  
23 that the end user needs to be done. And if I don't touch  
24 this pair, then I lower the probability that I will cause  
25 a problem on his pair. And, therefore, if I only unload

1 the one that I have to, I only touch that one, the other  
2 24, if I haven't had any other trouble reports on them,  
3 they go untouched, and I lower the probability of creating  
4 a defect.

5 Q But you're also increasing the probability that  
6 if additional loops in that case were to require  
7 conditioning, then you would have to go back in and open  
8 that case up again and again and again because you did not  
9 condition as many loops as you could the first time you  
10 opened that case?

11 A Yes, and there again, that is another  
12 probability.

13 MR. MARCUS: Thank you. That's all I have.

14 MS. McNULTY: WorldCom has no questions.

15 MR. SLOAN: I just have one question.

16 CROSS EXAMINATION

17 BY MR. SLOAN:

18 Q Mr. Greer, I'm Mike Sloan representing  
19 Broadslate, Cleartel, and Florida Digital Network.

20 You've stated today and at your deposition that  
21 going forward, it would be a good idea for BellSouth  
22 technicians to unload as many pairs as possible; is that  
23 correct?

24 A Yes, when it's economically feasible. Yes.

25 Q And my question is: What criteria do you

1 provide technicians to make that determination?

2           A     Well, as I said earlier, it's not down to the  
3 technician level that makes that decision at all. It's  
4 the outside plant engineer who made the decision as to --  
5 he's got the big picture. He knows what's going on. He's  
6 got planters who know who's moving where, knows the  
7 characteristics of those neighborhoods. You know, are  
8 they the elderly that may not be buying it? Is it the  
9 up-and-coming? Is it an apartment complex going in there?  
10 He's got the big picture of knowing what's happening with  
11 his plant. It should be left to him to make the decision  
12 as to what he asked for on a work order to unload pairs.

13           Q     So there is no policy governing the plant  
14 engineers? The plant engineers are not instructed to  
15 remove as many coils as possible?

16           A     To my knowledge, there is no BellSouth policy  
17 that instructs them to unload as many pairs as possible.

18           MR. SLOAN: Thank you.

19           MR. FONS: Sprint has no questions.

20           CHAIRMAN DEASON: Staff.

21           MS. KEATING: Staff has no questions.

22           CHAIRMAN DEASON: Commissioners.

23           MR. BRESSMAN: Mr. Chairman, actually BlueStar  
24 had a few questions.

25           CHAIRMAN DEASON: Oh, okay. I'm sorry.



## CROSS EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MR. BRESSMAN:

Q Mr. Greer, I'm Michael Bressman with Bluestar.  
BellSouth inventories its loops; correct?

A Yes, it does.

Q So does BellSouth list which loops are POTS  
loops in its inventories?

A Yes, there is a portion of LFACS by which you  
can determine that.

Q And which are special services?

A Yes.

Q And which are DSL?

A May I ask you to say, whose DSL?

Q Your DSL.

A Yes, they can be identified.

Q And would you know whether certain loops were  
being used by ALECs for DSL?

A The ALEC circuits have a unique circuit identity  
that we have identified some of those as being copper  
only, yes.

Q So the answer is, yes, you would know if a CLEC  
circuit was DSL?

A Yes.

Q And I believe you've testified that an SL1 loop  
can be used for DSL service?

1           A     Yes.  The same physical copper loop that  
2 may be -- that we may choose to provision an SL1 may be  
3 the same identical copper loop that is used to provide an  
4 xDSL loop.

5           Q     And DSL providers are free to use it for DSL  
6 service?

7           A     Yes, if they wish.

8           Q     Because it's the same loop?

9           A     They can order up an SL1 and use it on whatever  
10 they wish.

11          Q     Now, is one of the downsides of putting DSL  
12 service on a SL1 loop that it can be rolled -- the loop  
13 could be rolled over to fiber at sometime in the future?

14          A     By the way in which we have defined the SL1,  
15 meaning that it is a simple POTS-like service, and  
16 therefore, when one is ordered, the probability of us  
17 having a facility out there is very high, because it can  
18 be served on digital loop carrier; therefore, it has a  
19 circuit ID that implies that it's intention is for the  
20 purpose of providing POTS service.

21          Q     So the answer is, yes, a loop could be rolled to  
22 fiber in the future?

23          A     Yes, it can.

24          Q     And does that mean that a BellSouth voice  
25 customer's loop could be rolled to fiber in the future?

1 A Restate that, please.

2 Q If a BellSouth customer were having its service,  
3 it's SL1 service provided on a cooper loop, could that  
4 service be rolled to a fiber loop in the future?

5 A Now, I'll restate the question as I heard it.  
6 If a BellSouth --

7 Q A BellSouth voice customer is getting service  
8 today on an SL1 loop and that SL1 loop happens to be a  
9 copper loop, could that loop be rolled in the future to a  
10 fiber loop?

11 A I'm not sure I understand what you mean by a  
12 BellSouth customer getting the POTS service on a SL1 loop.  
13 SL1 is what we offer to the CLECs as a loop that can be  
14 ordered. BellSouth customers do not have their POTS  
15 service provision over a -- what we call an SL1 loop.  
16 Now, if you mean can today's POTS customer be simply  
17 rolled over from a copper loop to a digital carrier, yes,  
18 it happens.

19 Q So taking out the SL1 designation, which, I  
20 guess, is a UNE designation, a BellSouth POTS customer who  
21 is currently be served on a BellSouth copper loop could be  
22 rolled to a BellSouth fiber loop?

23 A Yes, it can.

24 Q Okay. And there's nothing in BellSouth's system  
25 to prevent that?

1 A No, and there's reason not to.

2 Q So when BellSouth places DSL on top of an  
3 existing BellSouth voice customer's loop, line sharing,  
4 that customer's loop can be rolled to any fiber loop in  
5 the future?

6 A I do not know the policy for what we have  
7 offered in our DSL and our ADSL as far as an assurance of  
8 continued service if it becomes necessary to replace that  
9 cable with fiberoptics.

10 Q Would you know if there's anything in  
11 BellSouth's system to prevent a BellSouth customer who's  
12 also getting data service on the same loop from being  
13 rolled?

14 A Again, keeping it from being rolled would be  
15 dependent upon having a policy that says if you're  
16 presently on a copper loop in BellSouth and you have  
17 BellSouth ADSL service. I do not know the policy as to if  
18 it becomes necessary to cut those facilities over to  
19 digital loop carrier, what the policy is.

20 Q Surely BellSouth wouldn't provide service to one  
21 of its customers via line sharing one day, and then cut  
22 off their service the next day, their DSL service?

23 A No, it wouldn't be our intention, but our tariff  
24 offering to ADSL did not offer any guarantees as far as  
25 data speed, and I'm not sure about continuous service.

1           Q     I'm not talking about data speed.  When you sell  
2 DSL service to a BellSouth customer, a line-shared  
3 service, are you saying that that customer has no  
4 guarantee they might lose their DSL service?

5           A     To my knowledge -- and I don't keep up with the  
6 policy on it.  I'm on the technical side, and I try to  
7 find out why they don't work, but along that same line, we  
8 had to make -- there was a case where -- a situation where  
9 if the service is provisioned and that loop is marginal,  
10 and this goes back to why you want to know what the loop  
11 is, because BellSouth does not measure the loops for its  
12 own DSL, but the fact is that characteristics change on a  
13 cable pair.

14                     He can make it have more resistance and DSL can  
15 fail.  And DSL is a unique technology that has put us in a  
16 situation we haven't been in in many years.  All of our  
17 services in all of our other platforms have means to  
18 compensate for the cable pair, ISDN, DDS, four circuits.  
19 If the cable pair isn't exactly what we thought it was, if  
20 it changes, there are means to mitigate that.  That is not  
21 so in DSL technology.

22                     If the DSL technology turns up today and the  
23 characteristics of that cable pair, for whatever reason,  
24 weather, aging, temperature, goes beyond a point at which  
25 the technology that's deployed on it can operate, there is

1 nothing that can be done for it. That is one of the  
2 reasons that we try to set criteria for these loops to  
3 ensure that what turns up today, won't end up in that  
4 situation tomorrow.

5 Q Let me try it again. What I'm asking is: If  
6 you have a BellSouth voice customer who is getting  
7 BellSouth DSL service over the same line, is it  
8 BellSouth's policy that that customer could lose their DSL  
9 service the next day? Yes or no?

10 A No, I do not know that policy.

11 MR. BRESSMAN: Okay. Thank you.

12 CHAIRMAN DEASON: Redirect.

13 MR. EDENFIELD: Just a few, Commissioner Deason.

14 REDIRECT EXAMINATION

15 BY MR. EDENFIELD:

16 Q Let's talk about the videotape for just a  
17 minute, Mr. Greer, if you can remember back to some of the  
18 questions from earlier today.

19 A Yes, I do.

20 Q Was BellSouth representing that videotape to be  
21 indicative of some type of time studies?

22 A No, not at all. It really -- if you compare it  
23 to our cost study, it's reflective of the fact that it  
24 would have to be at one extreme in order to be averaged  
25 out and come into what our cost study shows.

1 Q What was the purpose of us demonstrating that  
2 videotape this morning?

3 A Primarily, we had the concern that this whole  
4 process of unloading pairs was a very simple, easy,  
5 noninterrupting type activity. And we just wanted to be  
6 sure that people understood that it takes a very conscious  
7 effort, and you want to be sure how you go about doing it.

8 Q Would you consider this to be a typical load  
9 coil removal job, from a time perspective?

10 A I do not have firsthand knowledge of a large  
11 number of them, but again, there were -- times have been  
12 pointed out that show that this did not appear to be  
13 typical.

14 Q Okay. Consistent with our cost studies, how  
15 many load coils is BellSouth considering need to be  
16 removed on a line when it needs to be conditioned?

17 A Well, from a cost study standpoint, we're saying  
18 that to consider all that we take into account when that  
19 engineer makes that decision that ten is a good number.

20 Q I'm sorry, not the number of pairs, but the  
21 number of actual load coil removals per conditioning. I  
22 may be asking the question poorly.

23 A Typically, we're talking about a loop less than  
24 18 kilofeet, because the technology really isn't there yet  
25 to go much beyond that. There may even be loops less than

1 18 kilofeet that it may not work over, but in 18 kilofeet,  
2 your design guide -- your outside plant design guideline  
3 says you can have two load coils or you may have three  
4 load coils. So assuming some probabilities that  
5 90 percent of the loops will have the required minimum of  
6 two load coils and that 10 percent of the loops will have  
7 the third load coil, it comes out that in the cost study a  
8 2.1 load coil factor is there.

9 Q How many load coils were removed in the video  
10 demonstration?

11 A This simply represents -- and we're not sure,  
12 but we believe this was the first load point. As I stated  
13 earlier that this manhole was huge because it's the first  
14 load point, so there should have been at least another job  
15 like this that had to be done before that loop was  
16 unloaded.

17 Q So the time that was demonstrated in the movie  
18 that everybody seems to have such a problem with, would  
19 that have had to have been doubled plus 10 percent there  
20 again to account for the amount of time that would have  
21 been considered for BellSouth's cost study?

22 A The numbers that I have given for -- that are in  
23 the BellSouth cost study is four and a half hours, and  
24 that's the amount of time, total amount of work time, that  
25 is allowed for unloading a single load point.



1                   COMMISSIONER JABER: Mr. Greer, I didn't  
2 understand your response to the question, how many load  
3 coils were removed in the videotape.

4                   THE WITNESS: Yes. I'm not sure the question --  
5 I was not clear on the question.

6                   MR. EDENFIELD: Thank you.

7                   COMMISSIONER JABER: That was your question;  
8 right?

9                   MR. EDENFIELD: Mr. Lackey (phonetic) always  
10 says redirect is the worst part of it.

11                   THE WITNESS: There are two different issues  
12 with unloading loops. One is, how many pairs are you  
13 going to unload at a given load point? And then the other  
14 portion of the question is, how many load points do you  
15 assume there to be? So the load point was this manhole,  
16 and we did 25 pairs. I was saying that there was at least  
17 a second load point 6,000 feet down the road in which  
18 those 25 pairs need to be unloaded again, or at that  
19 point.

20                   CHAIRMAN DEASON: So is the four and a half  
21 hours per load point or per pair?

22                   THE WITNESS: No, it's four and a half hours per  
23 load point.

24 BY MR. EDENFIELD:

25                   Q     Okay. Earlier today, Commissioner Deason -- I'm

1 not sure you were on the same page with him -- was asking  
2 about the number of people that were involved in this  
3 particular video. How many people were actually involved  
4 in this video?

5 A It is my understanding that there were three  
6 technicians.

7 Q Okay. And I think Commissioner Deason was  
8 trying to get the point of the two -- there were two  
9 facility technicians that were down in the manhole?

10 A Yes, that's correct.

11 Q And there was a third person back at the central  
12 office presumably on the other end of the tone testing?

13 A Yes, that's correct.

14 Q And I think what Commissioner Deason was trying  
15 to get at was, is the person who's back at the central  
16 office doing the tone testing, are they basically locked  
17 up doing just that for four and a half hours, or was this  
18 something that they come on and do just when they are  
19 needed?

20 A The intention is that he goes back to the  
21 central office just to help out the toning of the pairs.  
22 So from the time that the -- he has to travel back to the  
23 CO, but he is only needed in the central office for the  
24 time from which they started trying to find that pair,  
25 that whole complement that we've had a lot of discussion

1 about, until the final pair was identified, and then he is  
2 free to leave the CO and come back to the job site.

3 Q That's in a typical arrangement where you just  
4 have two people; correct?

5 A The typical, to my understanding, is that you  
6 just have two.

7 Q The third person that was involved in this  
8 video, did that person sit around for four and a half  
9 hours doing nothing all day, or did that person get  
10 involved only for the toning?

11 A From the video, you could tell he was active  
12 doing other tasks that needed to be done.

13 Q We will fix this on the errata sheet, but it's  
14 something Ms. Boone asked you earlier today. In your  
15 deposition, you had indicated that our cost study had nine  
16 manhours per load coil removal?

17 A Yes.

18 Q Was that an error?

19 A Yes, that was an error.

20 Q What is the appropriate number of manhours for a  
21 load coil removal?

22 A The cost study, as I've stated, is four and a  
23 half hours, manhours, per load point.

24 Q And the first thing this morning  
25 Commissioner Jaber asked you, at least it appeared to me

1 she was asking, was this a real job, or was this something  
2 that was just kind of used for demonstrative purposes? I  
3 mean, was this a live actual job?

4 A It is my understanding that it was a quick, find  
5 a job that can be filmed. There was no time to even think  
6 about picking a specific job. It's just they needed a job  
7 that could be filmed. So this is a live job.

8 COMMISSIONER JABER: No. For the record, my  
9 question was, I wanted to know if you were videotaping  
10 that event for the hearing.

11 MR. EDENFIELD: Oh, I'm sorry. I was under the  
12 impression we were trying to find out were their real  
13 people on the ends of those lines, or was it something we  
14 had just --

15 BY MR. EDENFIELD:

16 Q How do we ensure when a load coil is removed  
17 that we are not putting people out of service?

18 A The best way to be able to do it is to go to the  
19 cross box. It's one more task that when you're through  
20 unloading all the pairs, all the pairs and all the load  
21 points, then you need to test again in the end.

22 Q And the final point I want to discuss with you  
23 is this going forward, the number of pairs to be unloaded  
24 going forward. Is BellSouth adding plant to its network  
25 basically every day?

1 A Yes, it adds plant to its network every day.

2 Q And as I understand it, the plant we're adding  
3 today does not have load coils on it. Is that a fair  
4 assumption?

5 A Yes, very much so.

6 Q The new plant that we're putting in the ground,  
7 is that compatible with DSL technologies?

8 A Yes, indeed, because as I stated earlier in my  
9 testimony, the advance forward-looking network was  
10 determined in the '80s to be fiber out to the remote  
11 sites. The forward-looking network won't even have an 18  
12 kilofoot loop. It will have only at most a 12 kilofoot  
13 loop, because the concept of CSA, carrier serving area,  
14 whose original intention was to describe how you would  
15 develop your plant beyond a remote RT or DLC, but the  
16 ideal forward-looking network would say that the central  
17 office itself functions as a remote site and, therefore,  
18 the longest loop from the main frame would conform to this  
19 12 kilofeet.

20 As a matter of fact, from a technical  
21 standpoint, the wonder of CSA is that the people who  
22 studied it recognized that in that length of cable, all  
23 services appear to be compatible. Now, we're beginning to  
24 approach and find a few that do not operate nicely with  
25 each other within 12 kilofeet, but that forward-looking

1 network, there will be no question about 18 kilofoot  
2 loops. It will strictly be from the central office  
3 standpoint a 9 to 12 kilofoot loop.

4 Q Okay. So the different digital subscriber line  
5 technologies will run over the plant we're putting in the  
6 ground today and tomorrow without having to remove any  
7 load coils?

8 A Yes.

9 Q Given that, is there any reason to increase the  
10 number of pairs that we are conditioning from 10 to 25 as  
11 we go forward?

12 A If you look at the deployment of a  
13 forward-looking network, the copper feeder goes away. You  
14 would put your fiber or T site near that cross box, and  
15 this feeder where the load coils are isn't there anymore.  
16 So only in that first nine kilofeet would there be an  
17 issue at all.

18 And today, BellSouth has -- I do not know  
19 exactly, but within nine kilofeet there are not supposed  
20 to be any load coils on a nine kilofoot loop. So if you  
21 look in the great scheme of a forward-looking network  
22 where your feeder is all replaced with fiber, then all  
23 your cross boxes that have your distribution behind it,  
24 there's no loading at all, and there's no feeder pairs  
25 that need to be unloaded. And your loops would strictly

1 be the -- what we call the F2 side of the distribution of  
2 a cross box, and there is very little in a metropolitan  
3 area of your F2 facilities to have any load coils.

4 CHAIRMAN DEASON: Explain something to me then.  
5 If what we're doing is trying to determine cost of a  
6 going-forward network and given the way you've just  
7 described that going-forward network, why are we even  
8 concerned with the cost of performing this conditioning or  
9 unloading?

10 THE WITNESS: Today, there is still a large  
11 number of customers who reside between the 9 and 18  
12 kilofeet. And the forward-looking network says to deploy  
13 DLC in that area, but that's where we're growing with the  
14 forward-looking network. We began in the '80s deploying  
15 digital loop carrier as relief and as growth beyond the 18  
16 kilofeet, and it has been slowly moving back closer and  
17 closer to the CO; that, in fact, in Florida, you do have  
18 those cross boxes at 10 and 12 kilofeet that are fed both  
19 by digital loop carrier and copper pairs.

20 CHAIRMAN DEASON: I understand that, and I don't  
21 question that. The question that I have is that if the  
22 whole purpose of this exercise that we've been doing for  
23 yesterday, today, and for the next two days is to  
24 determine the cost of a going-forward network and a  
25 going-forward network does not have load coils, why are we

1 even concerned with the cost of taking a load coil out of  
2 the network?

3 THE WITNESS: I'm not a cost person.

4 CHAIRMAN DEASON: Okay. Fair enough.

5 COMMISSIONER JACOBS: Would it be fair to say  
6 that on a going-forward basis, there is some likelihood  
7 that you -- you're going to encounter a -- I'm trying to  
8 place this back now to the conversation we had yesterday  
9 with Ms. Caldwell.

10 If I recall, there is a presumption that not  
11 only are you going to do ten, but when you do those ten,  
12 some of those aren't going to be used. Okay. And so  
13 there's an effort to recover the cost of, I guess,  
14 unloading that ten even though you may not be using all of  
15 them.

16 But what I'm hearing you say is, on a  
17 going-forward basis, you probably wouldn't have the coils,  
18 so in the likelihood of you having to incur some costs for  
19 having done ten goes down. Do you understand my question?

20 There was a concern in cost recovery that you  
21 would go out, you would unload these ten, and then there  
22 will be some likelihood that you would never ever  
23 provision four of them. Okay. I shouldn't say never  
24 ever, but the recovery of those would be of some sort that  
25 you would not recover those from a customer that was



1 sitting there at the time you did the unloading, and so  
2 that was in an effort to recover the cost of those through  
3 those people who now come to you to provision them. So  
4 for those lines, you would recover from six people, from  
5 six customers that would come to you.

6 Now, what I'm hearing you say is that in a  
7 going-forward basis, the likelihood of there being ten  
8 that you would need to remove load coils from would go  
9 down, because the likelihood is going to be that you are  
10 going to have more and more instances of there being no  
11 coils in the field. Is that a correct statement?

12 THE WITNESS: Yes. I believe the example I just  
13 gave addressed that. Now, if you're asking the issue  
14 about the additive, I'll defer that to Jerry Latham.

15 COMMISSIONER JACOBS: Okay.

16 THE WITNESS: But the example that I just gave  
17 where a cross box will have -- at ten kilofeet will have  
18 both fiber fed facilities and copper fed facilities. You  
19 can see that on a going-forward basis when -- my fiber fed  
20 are going to be my F1 facilities, then I have less need to  
21 be concerned about the loaded pairs that feed that cross  
22 box.

23 COMMISSIONER JACOBS: Thank you.

24 MR. EDENFIELD: I have nothing further.

25 MS. BOONE: Mr. Edenfield, could I just ask:

1 Was that errata on the testimony or in the depo?

2 MR. EDENFIELD: The errata that I referenced was  
3 for the deposition, which is supposed to be attached to  
4 the deposition, but since we didn't get it until late  
5 Monday night, Mr. Greer has not had a chance to get that  
6 typed up yet.

7 MS. BOONE: Okay. Because I noticed that there  
8 is a similar representation on Page 20 of his testimony.

9 MR. EDENFIELD: I mean, you can certainly ask  
10 Mr. Greer about that, but I'm telling you, wherever he  
11 referenced that the cost study said nine manhours, it  
12 should have been 4.5 manhours, and it was a mistake. I  
13 think that's what he just said. So if there is more than  
14 one place, it needs to be corrected.

15 MS. BOONE: Okay. I was just trying to point  
16 that out. Thanks.

17 CHAIRMAN DEASON: Okay. Exhibits.

18 MR. EDENFIELD: The videotape was the only  
19 exhibit we had. We would move that into evidence.

20 CHAIRMAN DEASON: Exhibit 117. Any objection?  
21 Hearing no objection, Exhibit 117 is admitted.

22 (Exhibit 117 admitted into the record.)

23 CHAIRMAN DEASON: We had one other exhibit  
24 identified, Exhibit 118.

25 MS. BOONE: Yeah, that's mine. That's the

1 Page 92 of Mr. Riolo's testimony. I'd like to move that  
2 into the testimony, please.

3 CHAIRMAN DEASON: Well, are you going to be  
4 moving this as part of that testimony?

5 MS. BOONE: Yes. I just wanted to go ahead and  
6 separately identify it just for the record.

7 CHAIRMAN DEASON: Well --

8 MS. BOONE: It doesn't matter, whatever you  
9 prefer.

10 CHAIRMAN DEASON: Let me ask you this. Are you  
11 moving it as it exists in the testimony, or are you moving  
12 it with all of the writing that you put on your display?

13 MS. BOONE: No, I'm not moving it with the  
14 writing, just as it exists in the testimony.

15 CHAIRMAN DEASON: Okay. I don't think there's a  
16 need to put this in the record if it's going to go in --

17 MS. BOONE: Okay, fine. Thanks.

18 CHAIRMAN DEASON: Very well.

19 MR. EDENFIELD: That is all we have for  
20 Mr. Greer.

21 CHAIRMAN DEASON: Thank you, Mr. Greer.

22 MR. EDENFIELD: Can Mr. Greer be excused?

23 CHAIRMAN DEASON: Yes, he may.

24 (Witness excused.)

25 CHAIRMAN DEASON: We'll take a ten-minute recess

1 at this time.

2 (Brief recess.)

3 (Transcript continues in sequence in Volume 13.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF FLORIDA)

2 : CERTIFICATE OF REPORTER

3 COUNTY OF LEON )

4  
5 I, TRICIA DeMARTE, Official FPSC Commission Reporter,  
6 do hereby certify that the Hearing in Docket No. 990649-TP  
7 was heard by the Florida Public Service Commission at the  
8 time and place herein stated.

9 It is further certified that I stenographically  
10 reported the said proceedings; that the same has been  
11 transcribed under my direct supervision; and that this  
12 transcript, consisting of 93 pages, Volume 12 constitutes  
13 a true transcription of my notes of said proceedings.

14 I FURTHER CERTIFY that I am not a relative, employee,  
15 attorney or counsel of any of the parties, nor am I a  
16 relative or employee of any of the parties' attorney or  
17 counsel connected with the action, nor am I financially  
18 interested in the action.

19 DATED this 22nd day of September, 2000.

20

21



TRICIA DeMARTE

22

FPSC Official Commission Reporter  
(850) 413-6736

23

24

25