

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION


1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

In the Matter of : DOCKET NO. 990649-TP
:
INVESTIGATION INTO PRICING :
OF UNBUNDLED NETWORK :
ELEMENTS. :

* * * * *
* ELECTRONIC VERSIONS OF THIS TRANSCRIPT *
* ARE A CONVENIENCE COPY ONLY AND ARE NOT *
* THE OFFICIAL TRANSCRIPT OF THE HEARING *
* AND DO NOT INCLUDE PREFILED TESTIMONY. *
* * * * *

VOLUME 14

Pages 2047 through 2268



PROCEEDINGS: HEARING
BEFORE: CHAIRMAN J. TERRY DEASON
COMMISSIONER E. LEON JACOBS, JR.
COMMISSIONER LILA A. JABER
DATE: Thursday, September 21, 2000
TIME: Commenced at 8:15 a.m.
PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida
REPORTED BY: KORETTA E. STANFORD, RPR
Official Commission Reporter
Division of Records & Reporting
APPEARANCES: (AS HERETOFORE NOTED.)

I N D E X

WITNESSES

3	NAME	PAGE NO.
4	KEITH MILNER	
5	Cross Examination by Mr. Lamoureux	2050
	Redirect Examination by Ms. White	2086
6		
	JOSEPH GILLAN	
7		
8	Stipulated Prefiled Rebuttal Testimony Inserted	2092
9		
	JOHN DONOVAN and BRIAN PITKIN	
10	Direct Examination by Mr. Lamoureux	2112
	Rebuttal Testimony Inserted	2117
11	Supplemental Rebuttal Testimony Inserted	2163
12	Cross Examination by Mr. Ross	2194
13	Redirect Examination by Mr. Lamoureux	2258

14

15

16

17

18

19

20

21

22

23

24

25

I N D E X (Continued)

EXHIBITS

3	NUMBER		ID	ADMTD.
4	120	Exhibit to witness Milner's Rebuttal testimony		2089
5	121	February 14, 2000, ADSL planning directives (Confidential)		2089
7	122	Exhibits to witness Gillan's testimony	2091	2091
9	118	Page 92 of witness Riolo's testimony with notes		2091
10	123	Confidential pages 25, 28, 43, and 44 to Pitkin/Donovan Rebuttal testimony	2113	2267
12	124	Nonproprietary exhibits to witnesses Pitkin and Donovan's testimony	2116	2267
14	125	Proprietary exhibits to witnesses Pitkin and Donovan's testimony	2116	2267
16	126	Inflation factor assumptions (years 1 and 2)	2244	2267
17	127	West Palm Beach Diagram	2258	2267
19	CERTIFICATE OF REPORTER			2268
21				
22				
23				
24				
25				

P R O C E E D I N G S

(Transcript continues in sequence from Volume 13.)

CHAIRMAN DEASON: Call the hearing to order.

I have in front of me a list of five items, which are requested to be added to the Official Recognition List. Do all the parties have this? I think, it's filed by BlueStar.

MS. BOONE: We've just handed them out, Chairman.

CHAIRMAN DEASON: Okay. Well, I'll just give everybody a chance to review that. Just remind me, we'll address it a little bit later today. I also have an exhibit. We'll address that a little bit later, too.

I believe, when we recessed for the evening, Mr. Milner was on the stand and, Mr. Lamoureux, you were inquiring.

MR. LAMOUREUX: Yes.

CHAIRMAN DEASON: Please proceed.

MR. LAMOUREUX: I will continue my inquiry.

KEITH MILNER

continues his testimony under oath from Volume 13.

CROSS EXAMINATION

BY MR. LAMOUREUX:

Q Good morning, Mr. Milner.

A Good morning, sir.

FLORIDA PUBLIC SERVICE COMMISSION

1 Q Milner, I'll get it right this time, I promise.

2 A Thank you.

3 Q Several times yesterday afternoon, we talked
4 about the issue of network security and, in particular,
5 reading through your testimony, you have two issues that
6 appears to me that you mean when you say network security;
7 one is possible service disruption caused by ALEC
8 technicians, and the other is the issue of accurate
9 recordkeeping and billing; is that right?

10 A Yes, that's right.

11 Q Okay. And as near as I can tell, there are no
12 other network security issues that you've raised with
13 respect to direct access; is that right?

14 A Yes, you're right.

15 Q With respect to the first one, the possible
16 service disruption caused by ALEC technicians, I think,
17 you agreed with me yesterday that there's no evidence that
18 ALEC technicians are any less competent or less capable
19 than BellSouth technicians, right?

20 A No.

21 Q And you have no evidence that ALEC technicians
22 have any greater probability of propensity to cause
23 service disruptions than BellSouth technicians, do you?

24 A No, I don't know the training practices of
25 ALECs. I can't comment on that.

1 Q With respect to my company, in particular, AT&T,
2 do you expect that the training practices might be fairly
3 similar?

4 A In many ways, they probably are.

5 Q Probably still some training guides in the
6 BellSouth system that still have the logo of AT&T on them
7 somewhere?

8 A It's possible.

9 Q Okay. You're not aware of any actual documents
10 or evidence, documentary evidence, that allowing direct
11 access to other parties increases the probability of
12 network service issues, are you?

13 A I'm not sure what you mean by documentary
14 evidence. We have, unfortunately, encountered a number of
15 cases in the southeast where ALECs have caused problems by
16 their direct access unauthorized by BellSouth to our
17 facility. So, I'm not sure if that's what you mean by
18 documentary evidence, but I can name you a number of cases
19 where ALECs have decided for themselves to have direct
20 access to our facilities.

21 In some cases it's called service outages of
22 other customers. In other cases, still, it's caused due
23 dates to be missed, because facilities that we thought
24 were available turned out not to be available.

25 Q What I mean, in particular, is you have no

1 studies or reports or anything of that nature that would
2 show that by allowing direct access that would somehow
3 increase probability of service disruptions?

4 A No scientific, but there's quite a lot of
5 incidents that we've come across where that has been the
6 case.

7 Q And, in fact, BellSouth technicians cause
8 service disruptions when they directly access components
9 in BellSouth network, correct?

10 A Well, as I mentioned yesterday, humans are
11 imperfect by nature and cause problems. Our proposal, we
12 think, mitigates that, makes it more clear who's working
13 on what part of the network and minimizes those
14 unfortunate incidents.

15 Q Now, would you agree with me that everytime you
16 introduce another point of connection in a network, that
17 introduces another potential point of failure in the
18 network?

19 A Yes. The benefit of having a potential
20 additional point in failure needs to be balanced with what
21 the result of using that device is, and that's something
22 we've looked at and concluded that that's an acceptable
23 risk, given the fact that it does enhance the reliability
24 of the network through the type of access that we have
25 proposed.

1 Q I'm not sure if we've mentioned it or not, but
2 did you testify on the issue of network terminating wire
3 in the MediaOne arbitration in Georgia?

4 A Yes, I did.

5 Q Are you familiar with the decision that resulted
6 from that arbitration in Georgia?

7 A Yes, sir.

8 Q Okay. I'd like to hand out a copy of that
9 order.

10 MR. LAMOUREUX: I can either ask to have this
11 marked as an exhibit or just add it to the Official
12 Recognition List. It really doesn't matter to me.

13 CHAIRMAN DEASON: It's not presently on the
14 list?

15 MR. LAMOUREUX: I don't think so. But frankly,
16 I haven't checked everything.

17 CHAIRMAN DEASON: Is there any objection to
18 adding this order to the Recognition List? BellSouth, no
19 objection?

20 MS. WHITE: No objection.

21 CHAIRMAN DEASON: I'll just add this to the
22 list.

23 BY MR. LAMOUREUX:

24 Q In particular, I want to begin by looking at
25 page 6 of this order. Do you have a copy of the order

1 there, Mr. Milner?

2 A Yes, I do, thank you.

3 Q The issue of network security was also raised in
4 that arbitration; was it not?

5 A Yes, it was.

6 Q And if you'll turn with me to page 6 in the
7 first paragraph, would you agree with me, in its order,
8 the Georgia Commission agreed that a procedure could be
9 put in place by the Commission to require notice to a
10 carrier regarding any change made by any LEC or CLEC to
11 the carrier's customer service?

12 A Yes.

13 Q And it directed BellSouth and MediaOne to
14 negotiate reasonable procedures for notification of
15 changes of service?

16 A That's correct, which we have done.

17 Q And BellSouth and MediaOne have done that?

18 A Yes.

19 Q Have they submitted that as part of an
20 interconnection agreement to the Georgia Commission?

21 A I believe so. I'm not sure of the final status
22 of that. My involvement in that process ended some time
23 ago, but I'm just not clear as to whether that's been
24 submitted or not.

25 Q But MediaOne and BellSouth have completed their

1 discussions and finalized a process for notification; is
2 that correct?

3 A Yes.

4 Q Okay.

5 A Yes.

6 Q In its order, in this proceeding, the Georgia
7 Commission adopted MediaOne's proposal that CLECs gain
8 access to network terminating wire by means of a minimum
9 point of entry; is that correct?

10 A That's pretty close. I think that the
11 Commission adopted parts of both of our proposals. It
12 adopted the use of an access terminal as a reasonable
13 means of an ALEC getting access to those facilities.

14 It adopted MediaOne's proposal that MediaOne,
15 itself, could make cross connections to and from that
16 access terminal, rather than having BellSouth's
17 technicians present at the time. So, it was really a
18 blend of both our positions, I believe.

19 Q Let's flesh that out a little bit. If you look
20 with me on page 5, the second full paragraph -- well, let
21 me back up.

22 Would you agree with me that in the proceeding,
23 MediaOne proposed access by means of a minimum point of
24 entry?

25 A Yes.

1 Q Okay. If you look with me on page 5 of this
2 order, that second full paragraph, doesn't it say that the
3 Commission finds that interconnection at the MPOE is
4 technically feasible and that the MPOE is an appropriate
5 point of interconnection in MDUs?

6 A It says that. First of all, BellSouth had not
7 asserted that interconnection and a minimum point of entry
8 or MPOE is not technically feasible. We have a number of
9 situations where that is done.

10 Minimum point of entry usually refers to a
11 demarcation point in the basement of a multi-storied
12 building or perhaps at the edge of a property in a garden
13 style or campus-style property. So, really we were not
14 arguing that point.

15 MediaOne had argued that the appropriate
16 demarcation point in multi-tenant environments was always
17 at this MPOE. We argued that part 68 of the FCC's rules
18 allowed either that or demarcation points at the
19 individual apartments or office suites.

20 Q And was it MediaOne's proposal that each LEC
21 provide its own cross-connect facility in the wiring
22 closet to connect from the building back to its network
23 and that each LEC would connect its customers within the
24 MDU by means of an access cross connect?

25 A That's correct. And that access cross connect

1 is what I'm referring to as the access terminal.

2 Q And, in fact, when MediaOne proposed an access
3 cross connect that the Georgia Commission adopted,
4 MediaOne was not proposing an access cross connect in
5 between the garden terminal and the ALEC terminal, did it?

6 A Well, yes, I believe, it did. My understanding
7 from Mr. Beveridge's testimony was that we would install
8 just that device. In fact, I recall his pictures that
9 showed what he called the BellSouth's CSX and the ALEC's
10 CSX in proximity to that device.

11 Q Well, I'm confused, Mr. Milner. If MediaOne was
12 proposing somehow this intermediary access terminal, why
13 is it that in this order the Georgia Commission describes
14 BellSouth proposal as proposing an access terminal in
15 between the BellSouth garden terminal and the ALEC
16 terminal?

17 A Because that's what we were proposing.

18 Q So, it's your testimony that MediaOne and
19 BellSouth were proposing the exact same means of access?

20 A No, sir. We're talking about the devices that
21 would be used. And, I think, the Commission agreed that
22 the use of the access terminal or access CSX, in their
23 vocabulary, was appropriate. The dispute between
24 BellSouth and MediaOne was who would make cross
25 connections at that access terminal.

1 Q In fact, Mr. Milner, wasn't MediaOne's proposal
2 of an access terminal referring to access at the BellSouth
3 garden terminal and wiring closet?

4 A No, it was in proximity to that. Again, the
5 diagrams that Mr. Beveridge used clearly showed a separate
6 access or separate terminal that he labeled the BellSouth
7 CSX or cross-connect terminal.

8 Q Mr. Milner, didn't the Commission reject
9 BellSouth's proposed means of access in this arbitration
10 proceeding?

11 A In Georgia?

12 Q Yes.

13 A In part, yes.

14 Q And wasn't BellSouth's proposal to install an
15 access terminal in between the garden terminal or wiring
16 closet and --

17 A That was part of our proposal. And also, the
18 other part of our proposal was about who would make the
19 cross connections in that device.

20 Q Do you agree with me that the Georgia Commission
21 ordered that to the extent there is not currently a single
22 point of interconnection that can be feasibly accessed by
23 MediaOne, BellSouth must construct a single point of
24 interconnection that will be fully accessible and suitable
25 for use by multiple carriers?

1 A Yes, sir, and that's what we're willing to do.
2 The sentence you just read, I think, explains exactly what
3 I'm talking about here. It said we should construct such
4 a device. If MediaOne meant the BellSouth device, it's
5 already there. So, I don't think that's what the Georgia
6 Commission was referring to.

7 It said that we should construct a single point
8 of interconnection, if there was not one there. There is
9 a BellSouth terminal there. So, that's not what they were
10 referring to.

11 Q The Commission did not say multiple CLECs, it
12 said multiple carriers, correct?

13 A Yes. And they also declined to name BellSouth
14 as being one of those multiple carriers.

15 Q Wouldn't you agree with me that the Georgia
16 Commission described the proposal of gaining access to the
17 access terminal in terms of each LEC and not each CLEC?

18 A That's the language they used, yes.

19 Q Do you agree with me that the FCC has a, sort
20 of, best in class presumption, that if CLECs are able to
21 gain access in a particular manner in one state, that
22 creates a presumption, technical feasibility, in other
23 states for that means of access?

24 A Well, two parts. I agree with you that it --
25 the fact that a Commission somewhere has adopted a form of

1 access, as technically feasible, sets up a rebuttable
2 presumption in another state, I don't think that
3 necessarily denotes a given arrangement as being best in
4 class.

5 It just says that it's been found technically
6 feasible. The burden is on the incumbent to prove that
7 that's not technically feasible in another state, but I
8 don't think that means that that's necessarily the best
9 way to do things.

10 Q Okay. Without the best in class designation,
11 then, you agree that if you look around the country and
12 you find that another state has allowed a particular means
13 of interconnection that creates a presumption in another
14 state, that that means it's technically feasible?

15 A That's my understanding, yes.

16 Q Okay. Has BellSouth looked around to see if any
17 other CLECs allow -- I'm sorry, any other ILECs allow
18 direct access for means of gaining access to NTW and INC
19 to serve multiple dwelling units?

20 A I have not. I am aware of the practices of some
21 of the other companies. I'm not aware of all their
22 practices.

23 Q Well, I guess, before BellSouth decided that it
24 would propose to require ALECs to go through this
25 intermediary access terminal or access panel, did

1 BellSouth look to see if any other ILECs allow direct
2 access?

3 A No. In fact, at the time that we first proposed
4 this arrangement, back in 1996, no other incumbent that we
5 were aware of was doing subloop unbundling. So, we were
6 pretty much on the leading edge of this type of access.

7 Q Are you aware that AT&T is able to gain access
8 to multiple dwelling units in SBC territory by means of
9 direct access to terminals and panels in multi-dwelling
10 units?

11 A Yes. And I'm also aware that in SBC, for the
12 most part, those properties have already established this
13 minimum point of entry; that is, the demarcation point is
14 at the edge of the property, not at the individual units.
15 So, it's simply not an issue for SBC.

16 The wire that we're talking about is simply not
17 their property. Instead, it's the property -- it's the
18 assets of the property owner. So, I'm not surprised that
19 SBC would be indifferent to how an ALEC uses the property
20 owner's wire.

21 Q But at least in that situation, whether the
22 owner of the wire is the property owner or the ILEC, at
23 least an owner of the wire in SBC territory, has allowed
24 direct access at that minimum point of entry; is that
25 correct?

1 A Well, that's correct. And the same holds true
2 here. What we're talking about in the SBC example is that
3 what we're calling network terminating wire and
4 intrabuilding network cable is not SBC's property, it's
5 been provided by the building owner, so it's inside wire.
6 Here in Florida, we don't make any claims over inside
7 wire; that is, the customer's wire on the far side of the
8 demarcation point, so those situations are similar.

9 Q Back in the original round of arbitrations,
10 seems like about a million years ago but, I guess, about
11 four years ago, BellSouth initially refused CLECs to gain
12 direct access to NIDs based on similar network security
13 concerns, didn't they?

14 A No. BellSouth's position was that an ALEC could
15 not remove the BellSouth loop from the network interface
16 device or NID in order to terminate the ALEC's loop to
17 that same NID, because to do so would create an electrical
18 hazard by having the BellSouth loop in an ungrounded
19 fashion -- state, which could cause electrocution, fire
20 hazard, things of that nature. So, it's quite a bit
21 different situation there.

22 We were not opposed and are not opposed to
23 allowing use of the NID in two or three ways. The ALEC
24 can cross connect its NID to BellSouth's NID. If there's
25 spare terminals in the NID, the BellSouth NID, that is,

1 the ALEC can terminate its loop. Our concern was leaving
2 the BellSouth loop just dangling and, thereby, creating a
3 safety and a fire hazard.

4 Q At least some Commissions allowed CLECs to gain
5 access to the BellSouth NID and disconnect the loop
6 without having to go to a NID-to-NID connection in those
7 arbitrations, didn't they?

8 A Yes, they did. And they also said in their
9 order that the ALEC would indemnify the parties for any
10 bad things that happened, that they would assume any
11 consequence for having left the BellSouth loop in an
12 ungrounded state.

13 Q And they required ALECs to file or follow
14 technical and safety codes and requirements in order to go
15 through that process, correct?

16 A That's true. But in actuality, there have been,
17 you know, almost no cases where ALECs have decided to use
18 BellSouth's NID. Instead, they've placed their own loops
19 up to a house or to a business, and they've placed their
20 own NID. So, it's a lot of discussion and a lot of paper
21 and a lot of orders that, for all practical matter,
22 there's been almost no use of the BellSouth NID by ALECs.

23 Q Are you aware of any ALECs that have gained
24 direct access to the NIDs in the same process?

25 A There are some, yes, but very, very few.

1 Q Aware of any incidents of ALECs electrocuting
2 their technicians or customers or any other network or
3 service problems by doing that?

4 A Thankfully, no.

5 Q Are you aware that in the BellSouth region
6 there's one or more complexes of multi-dwelling units in
7 which MediaOne actually controls all the wiring for those
8 multi-dwelling units and at which BellSouth has direct
9 access to gain access to the network terminating wire or
10 INC in those facilities?

11 A I'm not aware of those, no.

12 Q Are you aware of any arrangement that MediaOne
13 and BellSouth have discussed in putting together their
14 interconnection agreement for Georgia in which BellSouth
15 would gain direct access to that network terminating wire
16 and INC in facilities where MediaOne controls the wiring?

17 A That may be. I was not part of those
18 discussions. I don't know.

19 Q Would you agree with me that in order to succeed
20 on a technical infeasibility argument relating to network
21 securities, specifically, BellSouth has required under the
22 FCC's original local competition order to show specific
23 significant and demonstrable network reliability issues?

24 A Yes, I agree, that's their language.

25 Q Okay. Other than the assertion in your

1 testimony about the prospect of confusing facility records
2 and facility assignments and who owns what, there's no
3 other evidence of network reliability issues in your
4 testimony; is there?

5 A Not in my testimony. But as I mentioned
6 earlier, BellSouth has a number of examples where ALECs
7 have, without our knowledge, used our property in this
8 direct access manner and have caused problems. I'll not,
9 you know, name those ALECs. I'd be glad to provide that
10 information to the Commission, if they'd like.

11 But there are a number of incidents where they
12 have taken our customers out of service, where they have
13 caused missed due dates, things of that nature. So, I'd
14 call that demonstrable evidence that there have been bad
15 things that have happened because of direct access.

16 CHAIRMAN DEASON: Excuse me. When BellSouth
17 discovered those situations, what action did BellSouth
18 take?

19 THE WITNESS: Well, we wrote to them, informed
20 them they were using our property without our consent,
21 without our knowledge, that they should negotiate an
22 interconnection agreement with us, if they wanted to
23 continue to use that, but that they had to make some other
24 arrangements.

25 Some ALECs have complied with that, others have

1 not. We probably will wind up going to court with at
2 least one to get it to refrain from using our property
3 without our consent and without paying it.

4 CHAIRMAN DEASON: This was another state other
5 than Florida?

6 THE WITNESS: This was another state, yes, sir,
7 but it's happened in several states now.

8 CHAIRMAN DEASON: I assume that those other
9 ALECs are -- some happen to have some type of a
10 certificate to operate within those states?

11 THE WITNESS: Yes, they're all certificated as
12 ALECs. Now, we had a situation here in Florida with a
13 company who, at the time, was not certificated as an ALEC
14 who, likewise, used our facilities without our knowledge,
15 took a number of our customers out of service.

16 And when we sent our technicians to the
17 buildings in Miami to restore that service, determined,
18 you know, what the name of the company was, that company
19 has since become certificated. And we're working through
20 this with them to see if we can't get them to agree to a
21 proper means of their using our facilities.

22 BY MR. LAMOUREUX:

23 Q Until you testified yesterday and today, you had
24 never raised any evidence of that as a support for any
25 network reliability issue to deny MediaOne or AT&T direct

1 access to your terminals, did you?

2 A Well, I didn't name specific ALECs. I don't
3 think that's proper for me to do in a testimony that's
4 public record, but these are exactly the kinds of issues
5 that I talked about in my testimony. These are exactly
6 the types of problems I said would happen, and they are
7 happening.

8 Q And those problems are happening in the absence
9 of procedures, documents, setting forth a procedure by
10 which an ALEC, if it gained direct access, just how it
11 would do that, how it would notify BellSouth, that sort of
12 thing, correct?

13 A No, sir. In fact, in one case, the ALEC and
14 BellSouth arbitrated this very issue. BellSouth
15 prevailed, and they still continue with this practice.

16 Q Were there procedures -- go ahead.

17 A So, we have well-documented procedures. If you
18 want access to our facilities, we're happy to sell them to
19 you, but here's an ALEC that knows procedures and chooses
20 not to follow them.

21 CHAIRMAN DEASON: Let me ask the question, in a
22 situation where there is an intermediary access point, and
23 the ALEC has access to that, what prevents them -- if they
24 are inclined or predisposed to make unauthorized
25 connections, what prevents them from making an

1 unauthorized connection within the intermediary access
2 point?

3 THE WITNESS: Well, I mean, ultimately nothing.
4 If they're intent on bad behavior, they're going to find a
5 way to do that. But if they do so, it's a lot easier for
6 us to detect the manner in which they've circumvented the
7 access terminal.

8 For example, even though the access terminal's
9 there, if they've got bad intent, then they'll just
10 connect their facilities directly to the BellSouth
11 terminal or to the BellSouth cable so they're there
12 without even using that access terminal. I think that's
13 entirely wrong on their part.

14 CHAIRMAN DEASON: Well, now, how do they do that
15 if you have security over your access terminal?

16 THE WITNESS: Well, they --

17 CHAIRMAN DEASON: I assume, it's locked.

18 THE WITNESS: Well, no. In a lot of cases the
19 room that it's in is locked, but there is not a lock and
20 cover over the terminal itself. If they're outdoor
21 terminals, then they are generally locked. But inside a
22 basement, for example, there's usually not a locked cover
23 over it. Even if there were a cover, they could remove
24 that cover and still, you know, do bad things, if they had
25 such intent. So, nothing is foolproof.

1 CHAIRMAN DEASON: Locks only keep out honest
2 people.

3 THE WITNESS: Pardon me?

4 CHAIRMAN DEASON: The locks only keep out honest
5 people.

6 THE WITNESS: I agree with you. So, yes, there
7 are ways to circumvent any physical, you know, deterrents
8 that we might come up with, but the use of the access
9 terminal makes it very clear who is using what plant, if
10 they're doing so in a lawful manner.

11 COMMISSIONER JACOBS: I've seen a Georgia order
12 that the Commission required MediaOne to assume liability
13 for any action that it may have taken that would cause
14 harm to your network.

15 THE WITNESS: Yes, sir.

16 COMMISSIONER JACOBS: Is that an adequate
17 safeguard?

18 THE WITNESS: It is in the case that the Georgia
19 Commission was looking at. The drawing's still not up
20 there, but if you recall yesterday, we discussed the
21 so-called garden apartment complex. That was the case
22 that the Georgia Commission, and which this Commission
23 earlier looked at, was the case only where this wire that
24 we call network terminating wire was going to be used.

25 So, yes, the Georgia Commission's order, we were

1 able to comport with. We worked through some issues with
2 MediaOne on how they would report to us and how we would
3 wire that terminal to make sure that we still maintain a
4 pretty good degree of security.

5 That situation is quite a bit different from
6 this other case we talked about yesterday in a high-rise
7 building. At that garden terminal, there may be only 25
8 or 50 pairs of wire. So, even if bad things happen, it's
9 relatively narrow in scope.

10 Go into a high-rise building, there may be
11 several thousand pairs of wire. And the possibility for
12 mischief is, obviously, quite a bit more pronounced as
13 well as the fact that in the garden apartment complex, the
14 inventory records; that is, what's working and what's
15 spare, is maintained in paper records at the terminal.

16 Whereas, in these high-rise apartments, there
17 are no paper records. They're all mechanized in a
18 computer system somewhere. So, at the garden terminal,
19 you can kind of figure out what's spare and what's not by
20 looking at these paper records.

21 If you walk into the basement of the high-rise,
22 there's nothing there to tell you what's in service, who's
23 using what. It's all in a computer system. And even our
24 own technicians don't have access to the records, if
25 they're out there.

1 If they get out there and they find out that one
2 of these pairs is broken or used or defective or whatever,
3 they don't just rummage through there and find another
4 one, they call the assignment center, the assignment
5 center goes into the computer base, finds one and tells
6 them which one to use.

7 COMMISSIONER JACOBS: That facility -- that
8 option wouldn't be available, I assume, to ALECs to be
9 able to call and get that reference point as well?

10 THE WITNESS: No. The interaction between
11 computer systems would be just enormous to be able to do
12 that. The problem is this: These assignment systems
13 interact with our computers, which interact with a number
14 of different computers within BellSouth.

15 ALECs have their own computer systems and then
16 you have to figure out how to integrate those computer
17 systems with all of those parts, you know, of BellSouth's.
18 If there are 3 or 400 ALECs, then each of them have made
19 different choices as to what sort of hardware they want to
20 use and software and what command language and formats,
21 and all that, you know, sort of thing that would have to
22 interoperate with BellSouth's system. I just don't see
23 that as being possible.

24 COMMISSIONER JACOBS: And that information is
25 proprietary, the inventory information on the building, is

1 that proprietary?

2 THE WITNESS: Well, it's proprietary in the
3 sense that it's got customer names in it. In other words,
4 if you knew all of that, you'd know all of BellSouth's
5 customers by name and service address. BellSouth makes
6 available some of that information we talked about
7 yesterday, makes available to ALECs for loop makeup
8 activity. It's a system we call LFACS, L-F-A-C-S. So,
9 that keeps records of what's in service, what's not in
10 service, what's broken or defective.

11 So, if you just go into one of these multi-story
12 buildings and just start choosing pairs at random, you do
13 that at the peril of the computer system not knowing about
14 that and choosing one of those pairs that's already been
15 taken and assigning a service order to it.

16 And that's what happened to us in another state
17 was that an ALEC took some of those pairs, our service
18 order process didn't know that, could not have known that,
19 assigned those pairs. So, when our technician got out
20 there, we couldn't work the service order. The customer
21 was pretty unhappy that we missed the due date.

22 COMMISSIONER JACOBS: Thank you.

23 BY MR. LAMOUREUX:

24 Q Mr. Milner, what you said is that in a high-rise
25 situation, because the pairs aren't marked with little

1 colored pieces of paper, what happens is a technician gets
2 out there, can't find the right pair, doesn't know, calls,
3 makes a phone call, and the computer system generates, for
4 him, that information. In a high-level sense, generally,
5 that's right?

6 A Yes.

7 Q Any reason ALEC technicians couldn't make a
8 similar phone call to those same people and get that same
9 information?

10 A Yeah, there are a number of good reasons. First
11 of all, those phone calls back to our assignment center
12 from BellSouth's technicians only take -- that only
13 happens when there's a problem with the order. The
14 overwhelming majority of orders are processed without
15 those phone calls.

16 ALECs, on the other hand, would have to call our
17 assignment center each and every time. So, they don't
18 know what's available, what's spare, what's defective,
19 what's working. So, number one, there'd just be a
20 tremendous volume of calls into the assignment center,
21 because the ALECs would have to call each time.

22 That requires staffing at BellSouth's end, you
23 know, all of those types of things. There's also the
24 problem of trying to keep synchronized the ALECs own
25 back-office systems with BellSouth's. And this is what

1 Commissioner Jacobs and I were talking about just a moment
2 ago. That would be just an absolutely monumental task of
3 trying to integrated several hundred different computer
4 systems, all of different vintage, made up of different
5 components, running different software. That would be
6 immensely difficult.

7 CHAIRMAN DEASON: Let me ask the question, why
8 is it not feasible for the ALEC service technician to
9 inquire before he or she makes the trip to the high-rise,
10 to find out what pairs are available and they go and they
11 use those pairs, and then only if there's some problem
12 with those particular pairs do they have to call your
13 service center to make alternative arrangements?

14 THE WITNESS: Well, that's a good question. In
15 essence, that is our proposal. We're offering to prewire
16 those pairs to make them available to the ALECs. So, if
17 the ALEC says in the high-rise situation I want 50 pairs
18 up to the 14th floor, you know, we'll provide those, and
19 we'll tell them, you know, which ones they are and tag
20 them on the access terminal for their use. So, that's
21 really what we're proposing is order them, we'll provide
22 them to you, use them when you want to.

23 CHAIRMAN DEASON: My question is why can't they
24 just get that information from you all and they go out,
25 physically, and do that without having to have an

1 intermediary access point, without you having to actually
2 identify ahead of time those spares and run them over to
3 some other intermediary point? Why can't they just know
4 which spare -- which lines or pairs are supposedly
5 available and just go out and make those connections off
6 your access point?

7 THE WITNESS: Well, we can do that. And again,
8 that -- you know, making the information available, we can
9 work through that. That does not, in my opinion, solve
10 the reliability problem of not having the access terminal.

11 So, I'm not -- you know, we could do what you're
12 suggesting; that is, give them a complement of pairs and
13 tell them ahead of time which ones they could and should
14 use. But I don't think that that ought to be done without
15 this intermediary device, but that does address one part
16 of the problem.

17 BY MR. LAMOUREUX:

18 Q Mr. Milner, your proposal is that for each time
19 an ALEC orders INC pairs, the BellSouth technician is
20 going to go -- assuming that an ALEC doesn't prewire the
21 whole panel at the beginning, each time the BellSouth
22 technician is going to have to go out and wire up the
23 pairs to that intermediary access terminal, correct?

24 A That's right, based on the ALEC's business
25 decision as to whether to wire a few or wire a lot,

1 BellSouth is going to dispatch more or less, but that's
2 the ALEC's decision, not BellSouth's.

3 Q So, in terms of volume of calls, whether it's
4 the ALEC or the BellSouth technician calling, the volume
5 of calls is going to have to be exactly the same, because
6 either the BellSouth technician is going to have to call
7 to find out which pairs are available, which are spare or
8 the ALEC technician is going to call and find out which
9 pairs are available and which are spare. There's no
10 difference in terms of volume of calls, is there?

11 A Well, the volume of calls we're talking about,
12 in BellSouth's case, are exception calls where the
13 assigned pair was not available for some reason. What we
14 were talking about a moment ago was the notion that an
15 ALEC would just go out to the site and then would call the
16 assignment center and say, "I've got a service work order.
17 Which pairs can I use?" And that's why I said that that
18 would happen each and every time, because the ALEC does
19 not, under that notion, have that knowledge before
20 arriving at the building.

21 So, 100% of the ALEC's trip to the building
22 would require a call to BellSouth's assignment center.
23 BellSouth's technicians would only have to call the
24 assignment center when the assigned pairs were not
25 available.

1 Q Well, if the pairs aren't marked in the
2 building, neither the ALEC technician or the BellSouth
3 technician, by looking at those pairs, knows anything
4 about the pairs, right?

5 A The technician does not, but BellSouth's
6 back-office systems that create the order from which the
7 technicians work does know that. It's sort of -- the
8 analog would be sort of like the film we watched yesterday
9 about load coil removal.

10 The technicians are doing the work, they get a
11 work order that says remove this number of load coils,
12 they didn't make the decision about why or how many or
13 anything like that, they executed the order. That's what
14 BellSouth's technicians would do.

15 The order itself has resulted intelligence in
16 those databases and keeping that database accurate is in
17 the public interest, because if it's not accurate, then,
18 customers orders are going to be delayed, their services
19 are going to be -- they're going to lose service because
20 of disruptions. So, bad things are going to happen, if
21 those inventories are not properly maintained.

22 Q But when a technician has to go wire up access
23 for a CLEC in a high-rise building, whether it's the ALEC
24 technician or the BellSouth technician, the same
25 information is going to have to be conveyed to that

1 technician from those BellSouth systems about which pairs
2 to use to do that wiring, correct?

3 A No, not under BellSouth's proposal. Under
4 BellSouth's proposal those systems would determine what
5 facilities are spare, and in response to an ALEC's order,
6 would provide those over to that terminal. Then, the
7 information would be provided to the ALEC as to the fact
8 that the work would be done. The ALEC can use those
9 wires, at any time that it chooses to, whether on that day
10 or any subsequent day.

11 Q But the systems have to tell the technicians
12 which pairs to wire up to the access terminal, correct?

13 A Well, that's right, yes.

14 Q And that same information could be conveyed
15 directly to the ALEC technician in a direct access
16 situation, couldn't it?

17 A No, because there's not a mechanized means for
18 passing that information. That's what I talked about
19 before about computer system integration. There is no
20 integration of BellSouth's LFACS with an ALEC's whatever
21 you call your back-office systems.

22 That would have to be developed. In fact, it
23 would have to be developed several hundred times, if you
24 went to that level of integration, because all ALECs don't
25 use the same computer systems. They don't use the same

1 hardware, they don't run the same software, their command
2 structures are different, the codes that they use to mean
3 different things are different. They're not industry
4 standards for how you run these back-office systems. So,
5 it would be monumentally difficult.

6 Q When ALECs buy loops, there is a synchronization
7 between the BellSouth facility assignment system and the
8 CLEC facility assignment system to tell those systems who
9 owns that loop; is there not?

10 A No. There's no direct synchronization between
11 LFACS and any ALEC back-office system. The ALEC itself
12 builds its own assignment system, its own inventory
13 system, on its own. It uses the information that
14 BellSouth provides it, but there's no direct interaction
15 between an ALEC's back-office systems and LFACS.

16 Instead, there are these so-called interfaces,
17 L-E-N-S, LENS, TAG, T-A-G, electronic data interchange.
18 There are a number of different interfaces for how those
19 messages will be sent back and forth across these
20 interfaces, but that's not what I'm talking about. That's
21 entirely different from integrating two different
22 back-office systems together, which is what, if I
23 understand your proposal, what you're suggesting.

24 Q I'm sorry, I misused the word synchronization.
25 When ALECs buy loops in BellSouth's facility

1 assignment system and in a CLEC facility assignment
2 system, notations are made in those assignment systems to
3 tell them the ALEC now has the loop, not BellSouth,
4 correct?

5 A That's right. BellSouth maintains its data
6 base, the ALEC maintains its database.

7 Q And didn't you testify in North Carolina that
8 BellSouth recently did an audit of its own database and
9 determined that it was 95% accurate?

10 A Well, no, I didn't say that. The topic was very
11 narrow, and the topic was about some cables that run
12 between an ALEC's collocation arrangement and BellSouth's
13 main distributing frame referred to as connecting
14 facilities.

15 Those would just be between AT&T and BellSouth
16 as to whether AT&T's records were correct or BellSouth's
17 records were correct. And we found that our records were,
18 in fact, about 95% correct.

19 On the other hand, we found that AT&T's records
20 were about 85% flawed. So, that was the case we were
21 talking about, not the situation we're describing here.

22 Q And what they were correct in is in terms of
23 loops having been assigned or reassigned or disconnected
24 between BellSouth and AT&T?

25 A No, sir. We weren't talking about loops, we

1 were talking about connecting facilities, these little
2 cables that run from your collocation arrangement to our
3 main distributing frames.

4 Q Okay. At page 2 of your rebuttal --

5 A Okay.

6 Q On page 2, you say that ALECs are the cost
7 causers of access terminals. Wouldn't you agree, however,
8 that it is BellSouth that is insisting that ALECs gain
9 access to network terminating wire and INC by means of
10 access terminals?

11 A Yes. And BellSouth is requesting that in order
12 to maintain the existing level of reliability and security
13 in the network.

14 Q ALECs are not requesting these access terminals,
15 right?

16 A No. ALECs are requesting that they have direct
17 access, which would cost them less money, but pose severe
18 risk to the network.

19 Q Do you agree that if the Commission decides that
20 BellSouth is the cost causer of the access terminals, the
21 cost of those terminals should be removed from the rates
22 for network terminating wire and INC?

23 A Well, I'm not sure if you're asking me for what
24 our legal obligation would be or not, but if the
25 Commission found that BellSouth was the cost causer and

1 the benefit of those accrued only to BellSouth, then
2 perhaps so.

3 Now, the FCC's rules, as I recall, do allow an
4 incumbent, like BellSouth, to recover its reasonable cost
5 for security devices from ALECs. For example, in the case
6 of collocation, BellSouth security is not enhanced by
7 having ALECs technicians in our buildings. We are able to
8 recover costs of security devices to give ALECs
9 technicians pretty much unfettered access to our central
10 offices for those ALECs that have collocation there.

11 So, I think, the analog is that just as the card
12 reader protects the central office, the access terminal is
13 meant to protect BellSouth's access in these garden
14 apartments. I think, the cost causer is the ALEC, not
15 BellSouth.

16 COMMISSIONER JABER: Mr. Milner?

17 THE WITNESS: Yes, ma'am.

18 COMMISSIONER JABER: Yesterday you agreed with
19 me that it's BellSouth's decision to, because of the
20 network reliability concerns that BellSouth has to
21 construct the access terminal and allow ALECs access that
22 way.

23 THE WITNESS: Yes, ma'am.

24 COMMISSIONER JABER: So, you agree it's
25 BellSouth's internal decision because of concerns they

1 have with network reliability.

2 THE WITNESS: Well, it was our decision or our
3 conclusion that this was the right form of access, yes.

4 COMMISSIONER JABER: Okay. If somehow, the
5 ALECs could propose to you a solution to your concerns
6 over network reliability, and this Commission approved it
7 or condoned whatever the solution is to your concerns with
8 security, there would be no other concern that BellSouth
9 would have in allowing the ALECs direct access to the
10 garden terminal.

11 THE WITNESS: That's right. So long as we
12 address both the reliability and security and the
13 inventory issues that we've talked about, maintaining the
14 computer databases properly. If all of those were
15 addressed, then that would be fine. If we reached a
16 mutually-agreeable solution, that's -- you know, that's
17 what we're after, nothing more.

18 BY MR. LAMOUREUX:

19 Q Mr. Milner, I assume the reason you put in your
20 testimony the assertion that the ALECs are the cost causer
21 of the access terminal is to get at the idea that you
22 believe it's appropriate that ALECs should pay for the
23 cost of the access terminal, because they're the cost
24 causers in your mind, correct?

25 A Yes. And, as I said, I believe, in my summary,

1 BellSouth doesn't need to protect its network from its
2 technicians.

3 Q That's all I'm trying to get at is you agree
4 with the converse, that if the Commission determines that
5 it is BellSouth that is the cost causer, would you agree
6 with me, then, that the ALECs should not have to pay for
7 the costs of those access terminals?

8 A I think, you already asked me that, and I agreed
9 with you.

10 Q Okay. I just want to clarify one thing on the
11 record that I did yesterday. When I talked about the
12 possibility of this rate or that rate going away, I was
13 pointing to the chart. I just said this rate and that
14 rate into the record, which may not be clear.

15 If the Commission determines that BellSouth is
16 the cost causer of the access terminal and, therefore, the
17 ALEC should not incur the cost of the access terminals, if
18 you assume my numbers are right on this chart, would you
19 agree with me that in the INC situation the \$333 and the
20 \$109 cost to install and set up the access terminal would
21 go away?

22 A Yes.

23 Q And would you agree with me that the \$65 NRC for
24 the network terminating wire and the \$113 NRC for the INC
25 would probably be reduced as well?

1 A If the Commission came to that finding, yes,
2 there would be less work involved.

3 MR. LAMOUREUX: That's all I have. Thank you,
4 Mr. Milner.

5 THE WITNESS: Thank you, sir.

6 MR. SLOAN: No questions.

7 MR. FONS: No questions, Mr. Chairman.

8 CHAIRMAN DEASON: Staff?

9 MR. KNIGHT: Staff has no questions.

10 CHAIRMAN DEASON: Commissioners? Redirect?

11 MS. WHITE: Yes, just a few questions.

12 REDIRECT EXAMINATION

13 BY MS. WHITE:

14 Q Mr. Milner, what is the demarcation point rule
15 in Florida.

16 A The demarcation rule in Florida has said that
17 the demarcation must be at the end user's apartment or
18 office suite. It is not at this minimum point of entry.
19 In fact, that's not allowed by the Commission's current
20 rules. So, it's at the individual apartment or suite, not
21 at the edge of the property and not at the basement.

22 Q And what consequence does that have on the issue
23 you're discussing?

24 A Well, it has quite a lot of impact, because in
25 effect, what we're doing is changing, to some degree, the

1 responsibility for who's going to do what and from whom
2 end user customers will seek help when their service
3 doesn't work.

4 COMMISSIONER JACOBS: Does that vary, according
5 to whether or not you -- who owns the inside wire?

6 In other words, while it may be allowable that
7 the minimum point of entry is at the individual units, if
8 the decision is made that the ILEC owns the inside wire,
9 does that shift the location of the minimum point of
10 entry?

11 THE WITNESS: Not by itself. In other states --
12 not in Florida, but in other states where BellSouth
13 follows the FCC rules, which say it can be at either
14 place, there have been a few cases where the property
15 owner has said, "I would like you to move the demarcation
16 point to the basement or to the edge of the property, and
17 we've worked through that with the property owner to sell
18 them that wire or that cable.

19 So, in that case, yes, the demarcation point
20 moved as did the ownership of the wire. What we don't
21 believe is workable is to move the demarcation point
22 without somehow accounting for who is going to do the work
23 of that -- those cables that now appear to the customer's
24 inside wire. In other words, if we move the demarcation
25 point, that's where we say our responsibility ends. So,

1 if that other wire breaks, then it's the property owner or
2 the end user's responsibility to get it fixed.

3 COMMISSIONER JACOBS: Okay, thank you.

4 BY MS. WHITE:

5 Q Following up on Commissioner Jaber's question
6 about a proposal that satisfies the reliability security
7 and inventory concerns of BellSouth, to your knowledge,
8 has any ALEC made such a proposal?

9 A No. The only proposal the ALECs have made is
10 this direct access that, basically, says let us tie our
11 facilities directly to yours.

12 Q Okay. And can you name for me the states in
13 which BellSouth has had problems with ALECs arbitrarily
14 taking BellSouth's NTW?

15 A I'll tell you the ones that I'm, personally,
16 aware of. I don't claim to know all of them, but we've
17 had significant problems in Tennessee and Georgia. And I
18 mentioned we've had problems here in Florida and Miami
19 with a company that at the time was not certificated, but
20 I understand is now.

21 MS. WHITE: Thank you. That's all I have.

22 CHAIRMAN DEASON: Exhibits?

23 MS. WHITE: BellSouth would move Exhibit 120.

24 CHAIRMAN DEASON: Without objection, show
25 Exhibit 120 admitted.

1 (Exhibit 120 admitted into the record.)

2 MR. MELSON: Move 121.

3 CHAIRMAN DEASON: Without objection, show 121 is
4 admitted.

5 (Exhibit 121 admitted into the record.)

6 CHAIRMAN DEASON: Thank you, Mr. Milner.

7 THE WITNESS: Thank you.

8 MS. BOONE: Mr. Deason, would this be a good
9 time to take up 118?

10 CHAIRMAN DEASON: We're going to take a short
11 recess, and we'll do that when we reconvene. I would also
12 ask everyone to take a look at the additions to the
13 Recognition List and make sure there are no objections
14 there.

15 MS. WHITE: Chairman Deason, could Mr. Milner be
16 excused, please?

17 CHAIRMAN DEASON: Yes.

18 MS. WHITE: Thank you.

19 (Witness excused.)

20 CHAIRMAN DEASON: That will be the first order
21 of business when we get back on the record. We'll take 10
22 minutes at this time.

23 (Recess taken.)

24 CHAIRMAN DEASON: Call the hearing back to
25 order.

1 Has everyone had an opportunity to look at the
2 five additional items requested to be added to the
3 Recognition List?

4 MS. BOONE: Chairman Deason, if we could just
5 hold this off until later. Mr. Ross and I were discussing
6 something about some of these items.

7 CHAIRMAN DEASON: Okay.

8 MS. BOONE: Thank you.

9 CHAIRMAN DEASON: Then, we'll hold off on that.
10 Then, let's address Exhibit 118. Is there a motion to
11 have it admitted?

12 MS. BOONE: Yes.

13 CHAIRMAN DEASON: Okay. BellSouth, any
14 objection?

15 MR. ROSS: Mr. Chairman, I have to admit I was
16 not present when Exhibit 118 was discussed. May I just
17 walk out in the hall and see if Ms. White is standing out
18 there?

19 CHAIRMAN DEASON: Surely.

20 MR. ROSS: Thank you.

21 CHAIRMAN DEASON: Mr. McGlothlin, why don't we
22 go ahead and address your issue -- your witness, Mr.
23 Gillan.

24 MR. MCGLOTHLIN: The next witness on the list is
25 FCCA witness, Joseph Gillan, whose testimony has been the

1 subject of stipulation. The parties agree the testimony
2 can be entered at this point.

3 CHAIRMAN DEASON: Without objection; hearing no
4 objection, show that testimony shall be inserted.

5 CHAIRMAN DEASON: Are there exhibits to be
6 identified?

7 MR. MCGLOTHLIN: Mr. Gillan sponsors two
8 exhibits. They've been identified to this point as JPG-1
9 and JPG-2.

10 CHAIRMAN DEASON: We will identify those as
11 composite Exhibit 122.

12 (Exhibit 122 marked for identification.)

13 CHAIRMAN DEASON: Do you move those at this
14 time?

15 MR. MCGLOTHLIN: I do.

16 CHAIRMAN DEASON: Without objection, show then
17 composite Exhibit 122 is admitted.

18 (Exhibit 122 admitted into the record.)

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **REBUTTAL TESTIMONY**

3 **OF**

4 **JOSEPH P. GILLAN**

5 **ON BEHALF OF**

6 **FLORIDA COMPETITIVE CARRIERS ASSOCIATION**

7 **DOCKET NO. 990649-TP**

8 **Introduction and Witness Qualification**

9 **Q. Please state your name, business address and occupation.**

10 A. My name is Joseph Gillan. My business address is P.O. Box 541038, Orlando,
11 Florida 32854. I am an economist with a consulting practice specializing in
12 telecommunications.

13 **Q. Please briefly outline your educational background and related experience.**

14 A. I am a graduate of the University of Wyoming where I received B.A. and M.A.
15 degrees in economics. From 1980 to 1985, I was on the staff of the Illinois Commerce
16 Commission where I had responsibility for the policy analysis of issues created by the
17 emergence of competition in regulated markets, in particular the telecommunications
18 industry. While at the Commission, I served on the staff subcommittee for the
19 NARUC Communications Committee and was appointed to the Research Advisory
20 Council overseeing NARUC's research arm, the National Regulatory Research
21 Institute.

22 In 1985, I left the Commission to join U.S. Switch, a venture firm organized to

1 develop interexchange access networks in partnership with independent local
2 telephone companies. At the end of 1986, I resigned my position of Vice President-
3 Marketing/Strategic Planning to begin a consulting practice. Over the past decade, I
4 have provided testimony before more than 25 state commissions, four state
5 legislatures, the Commerce Committee of the United States Senate, and the
6 Federal/State Joint Board on Separations Reform. I currently serve on the Advisory
7 Council to New Mexico State University's Center for Regulation.

8 **Q. On whose behalf are you testifying?**

9 A. I am testifying on behalf of the Florida Competitive Carriers Association (FCCA), a
10 state association of carriers and national organizations committed to promoting a
11 competitive environment for local, long distance and related telecommunications
12 services in Florida.

13 **Q. What is the purpose of your rebuttal testimony?**

14 A. The purpose of my rebuttal testimony is to generally respond to the testimony of
15 Alphonso Varner dated May 1, 2000. In his testimony, Mr. Varner endorses the goal
16 of achieving efficient competition in the local market for the benefit of consumers.
17 In direct contrast to this philosophy, however, Mr. Varner then claims that the cost
18 methodology adopted by the FCC -- which, as the Commission is aware, is a forward-
19 looking economic methodology -- produces UNE prices that are "too low" and would
20 lead to undesirable distortions and inefficiencies in the marketplace (page 5, lines 8-
21 12; page 7, line 3-9). Further, Mr. Varner rejects cost-based pricing *entirely* as it

1 relates to UNE combinations, claiming that these charges should reflect "full market
2 value" (page 17, lines 15-16). As I explain in my rebuttal below, however, Mr.
3 Varner's recommendations cannot be squared with either economic theory or this
4 Commission's own orders and should be rejected.

5 **Q. How is your rebuttal testimony organized?**

6 A. My testimony is organized into two basic sections. First, I briefly review the
7 fundamental principles that underlie economic costing. In this section, I explain why
8 the most critical criterion of an economic cost model is that it be *forward-looking*.
9 This conclusion is not new, of course -- it lies at the heart of the Florida Commission's
10 policies, the FCC's pricing rules, and was clearly endorsed by Eighth Circuit in its
11 review of those rules. This discussion will demonstrate that Mr. Varner's perspective
12 on UNE-pricing would turn economic theory on its head and reinforce the single
13 greatest distortion in the market -- the incumbent's effective monopoly -- in
14 perpetuity.

15 Second, my testimony focuses on the most serious consequence of inefficient UNE-
16 prices, the effect on local competition of *inflated* UNE prices. The rates that the
17 Commission establishes in this proceeding will determine the level, breadth and focus
18 of competition for retail services. It is here, when the Commission establishes
19 *wholesale* UNE rates that entrants must pay to access the existing network, that the
20 Commission ultimately decides the *retail* prices that consumers pay. While Mr.
21 Varner dwells throughout his testimony on the impact that allegedly "understated"

1 UNE rates would have on the ILECs, even he acknowledges that excessive UNE rates
2 have the effect of foreclosing competition. Unlike Mr. Varner's theoretical
3 discussion, however, my testimony documents the fact that UNE-based competition
4 in Florida's local market is virtually non-existent. As the Commission considers the
5 various cost-study adjustments proposed by individual FCCA members, it should
6 never lose sight of the ultimate purpose of this proceeding -- to create the conditions
7 necessary for local competition.

8 **Q. You indicated that your testimony will address the recent decision by the Eighth**
9 **Circuit that addressed the FCC's pricing rules. Do you have a general comment**
10 **regarding this decision?**

11 **A. Yes. To begin, I would like to emphasize that this decision is relatively recent (filed**
12 **July 18, 2000) and, as a result, there has not been time for a full evaluation of all of**
13 **its aspects. Indeed, my understanding is that the decision itself is not yet legally**
14 **effective (and may never become effective if stayed and reversed). Furthermore, I am**
15 **not a lawyer, and therefore I am not able to comment on the legal significance of the**
16 **decision. Nevertheless, the decision is a part of the landscape and, as a consequence,**
17 **I have tried to explain its reasoning from the perspective of an economist.**
18 **As I explain below, I believe that the Eighth Circuit's decision, as an economics**
19 **matter, should have little impact on establishing correct UNE rate levels.**
20 **Unfortunately, however, I also believe that the ILECs will adopt interpretations of this**
21 **decision that they claim condone a radical departure from economic pricing. While**

1 this controversy swirls, however, it important that the Commission remain focused on
2 establishing economic, cost-based UNE prices that can support local competition.

3 ***Fundamentals of Economic Costing***

4 **Q. Why are you offering a “primer” on economic costing in this proceeding?**

5 A. As the Commission reviews the various criticisms of the ILEC models, it is useful that
6 it have an overall understanding of the economic principles that should apply. Such
7 a review is particularly important now, given the confusion introduced by the Eighth
8 Circuit’s recent decision concerning the FCC’s cost rules. As I explain below,
9 however, I do not believe that this decision fundamentally changes the principal focus
10 of this proceeding.

11 **Q. What are the three basic dimensions of cost modeling?**

12 A. The three basic dimensions of any cost model are: (1) its perspective, (2) its time-
13 horizon, and (3) the increment of change being reviewed. I use the term “perspective”
14 to refer to the model’s central focus — that is, is the cost model estimating *forward-*
15 *looking* costs, or is it looking at costs that have been incurred in the *past* (embedded
16 costs)?

17 The second basic dimension of a cost model is the study’s time-horizon — is the study
18 looking only at short-run changes in cost (i.e., is it considering only costs that can be
19 easily varied by a company), or does the study adopt a time-horizon that is sufficiently
20 long so that all costs are treated as variable (and thus should be included in the study).
21 The final fundamental dimension of any cost model concerns the increment (or cost
22 object) of analysis. That is, is the study looking at costs associated with a small

1 change in output, the addition/deletion of an entire service, or the costs associated
2 with an entirely new line of business.

3 **Q. Of these three dimensions, which is the most critical?**

4 A. While each of these dimensions is important, the one that is *most* important is that the
5 cost-analysis be forward-looking. The reason that a cost-study must be forward-
6 looking can be traced to the central role that price plays in a market economy.

7 The most critical economic function of price is to signal the value of resources that
8 *will be* used to produce a product or service. The reason that this objective is
9 *described in the future tense* is that the only decisions that can affect resource choices
10 are those that occur in the future -- after all, it is impossible to affect decisions that
11 have *already* been made.

12 Because the central goal of economics is to promote the efficient use of resources, its
13 focus is on decisions that will be made in the *future*, and the consequences of those
14 decisions on costs that will be incurred in the *future*.

15 **Q. How does this focus on future decisions translate into cost modeling?**

16 A. Because a forward-looking economic cost model must look to the future, it is
17 *unavoidably built from assumptions* about future investment. Since the future cannot
18 be known with exactness, forward-looking cost studies are inherently presumptive --
19 knowledgeable people must make informed choices about what technologies and
20 investments *would be* used to meet demand.

21 Certainly, the most rational basis for making these choices is to select technologies
22 and investments that are the most efficient at the time the cost analysis is prepared.

1 The point here is that the threshold requirement that a cost-study be forward-looking
2 leads inevitably to the “assumption” that a forward-looking cost study reflect efficient
3 behavior.

4 **Q. Please explain the significance of a study’s “time-horizon” on a cost model.**

5 A. The next most important attribute of a cost model (once the forward-looking
6 requirement is imposed) concerns the number of “production components” or “inputs”
7 that will be treated as variable by the analysis. Examples of production inputs in the
8 telecommunications industry are things like physical infrastructure (for instance,
9 conduit, poles, land and buildings), transmission and switching facilities, and the
10 corporate/operations infrastructure that supports the investment.

11 The time-horizon chosen for a cost study determines which of these basic inputs are
12 permitted to change and which are held constant. Generally speaking, the longer the
13 time horizon, the more inputs are seen as variable, and thus appropriate for inclusion
14 in a forward-looking cost analysis. This general relationship between time and cost
15 is illustrated by Figure 1 of Exhibit ____ (JPG - 1).

16 The time-horizon assumption carries an important corollary as well. Not only does
17 the selected time-horizon determine which inputs will be considered *variable*, it also
18 effectively determines which inputs should be evaluated as forward-looking and
19 *modeled* to reflect efficient behavior. The forward-looking assumption and selected
20 time-horizon are inherently linked in that the only costs that are relevant to an
21 economic cost model are the forward-looking costs of those inputs that are allowed

1 to change. If a particular input will never be added to, replaced or modified in the
2 future, then there can be no future cost associated with it.

3 This point is sufficiently important that it bears repeating: Any network feature that
4 is held constant in forward-looking analysis is properly viewed as a *constraint* on that
5 analysis and should not be included as a *cost* by the analysis. If a cost model assumes
6 that a particular input is not variable — that is, it is frozen to reflect an inherited
7 condition and ignores how it would be supplied in the future — then the *cost* of that
8 particular input is no longer relevant to the analysis at all.

9 The bottom line is that there are two, mutually exclusive, categories in an economic
10 cost model — inputs that are *fixed* (and which may influence the cost of other inputs,
11 but are not themselves included), and those that are *variable* (and are thus modeled
12 in their forward-looking, efficient use).

13 **Q. Please explain the third basic dimension of a cost model, i.e., the “increment-of-
14 change” that will be analyzed.**

15 **A.** The final basic feature of any cost model is defining precisely *what* will be modeled --
16 i.e., does the model look only at a *change* in demand for a particular service/network
17 element, or the cost of providing the *entire* service/network element. Obviously, the
18 larger the increment of analysis, the larger the number of inputs that are relevant. For
19 instance, a cost study focusing on the additional cost of increased traffic may not even
20 consider costs associated with billing, while a study that looked at the additional cost
21 of an entire service might include not only billing, but marketing and customer

1 support as well.

2 **Q. Applying this framework, has the Florida Commission generally supported**
3 **developing cost estimates using forward looking economic standards?**

4 A. Yes, I believe is a fair characterization. Overall, the Florida Commission has made
5 clear that network element prices are to reflect forward-looking (not historical,
6 sometimes labeled "actual") costs, and it has embraced the necessary implication of
7 that policy, that only efficient network designs are relevant to the exercise. While the
8 Commission correctly adopted a forward-looking approach to costing, I explain later
9 in my testimony that market experience gained since the initial implementation of that
10 concept demonstrates that caution and the lack of adequate data has led the
11 Commission to set UNE prices that are too high, with only negligible competition
12 being the result.

13 **Q. Is Mr. Varner's discussion consistent with these fundamental economic**
14 **principles?**

15 A. No. Mr. Varner asserts that the FCC's forward-looking cost methodology would
16 prevent an ILEC from achieving full cost recovery. In context, it is apparent that Mr.
17 Varner is equating "actual cost" with embedded cost, or the cost that the ILEC may
18 have incurred in the past. As I explained above, however, economic theory recognizes
19 that forward-looking costs are the most accurate measurement of the relevant "actual"
20 costs that should be used to calculate UNE prices.

21 Further, Mr. Varner's objections go far beyond what cost methodology is appropriate.

22 In addition to "cost," Mr. Varner claims that UNE prices should also account for

1 “...market, regulatory and competitive conditions” and “... be functional in the
2 marketplace and consistent with prices for similar service” (page 18, lines 2 to 8).
3 Each of these phrases, however, distill to the same goal — inflate UNE prices so as
4 to maintain BellSouth’s market dominance. Mr. Varner’s perspective as to what
5 constitutes a “functional UNE price” should be all the warning the Commission needs
6 to understand it must carefully scrutinize BellSouth’s cost studies to assure that they
7 comply with the core economic principles described earlier.

8 **Q. Does the Eighth Circuit’s decision materially alter the basic framework of**
9 **economic costing that you describe above?**

10 **A. Although I am not a lawyer, it is interesting (and useful, I believe) to overlay the**
11 **Eighth Circuit’s opinion to the issues discussed above. To begin, the Eighth Circuit**
12 **validated the most important conclusion reached by both the FCC and Florida**
13 **Commission—the requirement that UNE prices should reflect forward-looking costs:**

14 Forward-looking costs have been recognized as promoting a
15 competitive environment which is one of the stated purposes of the
16 Act. The Seventh Circuit, for example, explained, “[I]t is current and
17 anticipated cost, rather than historical cost that is relevant to business
18 decisions to enter markets ... historical costs associated with the plant
19 already in place are essentially irrelevant to this decision since those
20 costs are ‘sunk’ and unavoidable and are unaffected by the new
21 production decision.” Here, the FCC’s use of a forward-looking cost

1 methodology was reasonable. Iowa Utilities Board v. Federal
2 Communications Commission, Case No. 96-3321, opinion dated July
3 18, 2000, at page 10, omitting citation to Seventh Circuit Decision.

4 Where the Eighth Circuit disagreed with the FCC, however, was with the FCC's
5 requirement that a TELRIC model estimate (subject to the constraint that wire center
6 locations not change) the forward-looking cost of any entirely new (i.e.,
7 "hypothetical") network. As a result, the Eighth Circuit vacated the specific rule that
8 required a comprehensive redesign of the ILEC's network (i.e., Rule CFR §
9 51.505(b)(1)).

10 **Q. As you understand it, what is the effect of the Eighth Circuit's decision on the**
11 **cost methodology that should be used?**

12 **A. As I indicated at the opening of my testimony, the Eighth Circuit decision is both new**
13 **and controversial. It is unclear whether the decision will be stayed, or even reversed.**
14 **Nevertheless, it is useful to understand why the Court remanded the "hypothetical**
15 **network" requirement to appreciate what effect it might have on how cost studies will**
16 **be conducted. As I understand the decision, the Court effectively rejected the view**
17 **that the cost of the entire network should be considered in a forward-looking analysis**
18 **because the only portion of the network relevant to the analysis is that increment being**
19 **used by the entrant. According to the Court:**

20 The new entrant competitor, in effect, piggybacks on the ILEC's
21 existing facilities and equipment. It is the cost to the ILEC of

1 providing that ride on those facilities that the statute permits the ILEC
2 to recoup. This does not defeat the purpose of using a forward-looking
3 methodology as the intervenors assert. Costs can be forward-looking
4 in that they can be calculated to reflect what it will cost the ILEC in
5 the future to furnish to the competitor *those portions or capacities of*
6 *the ILEC's facilities and equipment that the competitor will use*
7 including any system or component upgrading that the ILEC chooses
8 to put in place for its own more efficient use. In our view it is *the cost*
9 *to the ILEC of carrying the extra burden* of the competitor's traffic
10 that Congress entitled the ILEC to recover, and to that extent, the
11 FCC's use of an incremental approach does no violence to the statute.
12 Iowa Utilities Board v. Federal Communications Commission, Case
13 No. 96-3321, opinion dated July 18, 2000, at page 8, emphasis added.

14 **Q. What issues are embedded (excuse the pun) in this passage?**

15 **A.** I believe that there are two issues. The Court appears to say that an appropriate cost
16 analysis should estimate only the forward-looking cost of the network increment used
17 by competitors, and that the remaining (i.e., fixed) components of the network should
18 not be reoptimized. Of course, this would mean (as I explained previously) that the
19 costs of those network facilities that are *not* part of the forward-looking analysis
20 would fall-out of the cost calculation in their entirety. Therefore, the question is
21 raised as to precisely which network components should become forward-looking

1 (and, therefore, must be *optimized* for efficiency) and which network components
2 should be held constant (and thus *eliminated* from the analysis).

3 **Q. What is the second issue raised by the decision?**

4 A. The second issue concerns the possibility that there is an efficient technology that
5 would otherwise be considered in the calculation of forward-looking costs, but that
6 the ILEC affirmatively refuses to implement. In such cases, there would conceivably
7 be a conflict between both the TELRIC and TSLRIC standards that require forward-
8 looking efficient technology, and the Court's superficial acceptance of deliberately
9 inefficient behavior.

10 **Q. With respect to the first issue — i.e., where to draw the line between network
11 components that are included in a cost analysis and those that are treated as a
12 fixed constraint — what is your recommendation?**

13 A. Prior to the Eighth Circuit's decision, the FCC's rules effectively required that *all*
14 aspects of the network be seen as variable and, therefore, included when calculating
15 the forward-looking cost of each network element. The Eighth Circuit's decision
16 would seem to indicate that the costs of certain network components should be treated
17 as fixed and *excluded* from the UNE price. For instance, if the basic network
18 infrastructure of conduit, poles and buildings is treated as a *constraint* in a UNE cost-
19 study, then the *cost* of this infrastructure may not be included in the UNE rate. These
20 facilities would be part of an existing infrastructure that would not change due to the
21 "extra burden" of the entrants and, therefore, would not be part of a forward-looking

1 study.

2 As a practical matter, I expect that this core issue -- i.e., which costs to include and
3 which to exclude as a constraint -- will be debated extensively at the FCC. The issue
4 here is simply how should the Florida Commission approach the question in *this*
5 proceeding, at *this* time. As I explain in the following section, the most important
6 outcome of this proceeding are UNE prices that support competition. So long as the
7 Commission applies a standard that estimates the forward-looking cost of an efficient
8 network for each portion of the network included in the analysis, then such an
9 approach would seem to comply with even a conservative reading of the Court's
10 decision. That is, by including in the analysis even those facilities that need not
11 (under the Eighth Circuit) be reoptimized, the Commission would be establishing an
12 upper bound of the appropriate UNE price. This would leave open, of course, the
13 opportunity for additional reductions in UNE prices should the FCC adopt (in the
14 future) an even more incremental standard in response the Court's remand.

15 **Q. With respect to the second issue raised by the Court's decision — the potential**
16 **that an ILEC would deliberately deploy obsolete or inefficient technology —**
17 **what do you recommend?**

18 **A. I am not currently aware of a tangible example of this concern in this proceeding (at**
19 **this time). Clearly, the Commission cannot countenance any attempt by an ILEC to**
20 **deploy inefficient OSS provisioning systems that would have the effect of increasing**
21 **their rivals' costs, and it would not seem that the Eighth Circuit's decision would bless**

1 such activity in any event. In this one area where an ILEC would have an incentive
2 to deploy inefficient technology (i.e., where new systems are being implemented to
3 satisfy its nondiscrimination obligations) there is nothing in the Court's decision that
4 would prevent the Commission from *requiring* (and, therefore, *modeling*) the more
5 efficient choice.

6 ***The Importance of UNE Pricing to Local Competition***

7 **Q. Even Mr. Varner agrees that efficient UNE prices should promote local**
8 **competition. That said, how has UNE-based local competition fared under the**
9 **existing UNE rates?**

10 **A. It is clear that establishing a competitive local exchange market is one of the most**
11 **difficult policy objectives of modern times. It has been four years since the**
12 **Telecommunications Act of 1996 ("the Act"), with its sweeping reforms designed to**
13 **foster local competition, was enacted and yet little competition has emerged.**
14 **Although obtaining reliable data on the extent of local competition is difficult, the**
15 **incumbent LECs are required to file periodic reports with the FCC quantifying the**
16 **level of competitive activity dependent upon the entry tools (i.e., service-resale and**
17 **UNEs) made possible by the Act. These reports provide a useful yardstick to measure**
18 **the implementation of the Act's core provisions, particularly those requiring**
19 **incumbents to provide entrants nondiscriminatory access to network elements, alone**
20 **and in combination.**

21 **Q. What do these reports indicate about the level of local competition in Florida?**

1 A. The reports show that local competition in Florida is virtually nonexistent, particularly
2 forms of competition that depend upon access to UNEs. The hallmark reform of the
3 federal Act was that it was *supposed to offer entrants nondiscriminatory access to the*
4 *existing network on the same basis as the incumbent. UNE-based competition held*
5 *great promise because it was expected to position entrants as full-fledged local*
6 *exchange providers - i.e., positioned to innovate, compete in related markets*
7 *(including exchange access), and replace facilities where appropriate. Yet, as of June*
8 *1999, there were just over 10,500 unbundled loops in the entire state of Florida, with*
9 *effectively none in the areas served by GTE/Verizon and Sprint. See Table 1 of*
10 *Exhibit _____ (JPG-2).*

11 Not only has UNE-based competition failed to materialize to any significant degree,
12 it is being far outstripped just by the *growth* in lines enjoyed by the incumbent ILECs.
13 Table 2 (below) exposes a Florida marketplace of rapidly expanding ILECs — with
14 substantial growth in both the business and residential markets — while UNE-based
15 competition grew marginally at best. In the first six months of 1999 (the most current
16 period available from the FCC's reports), the sum total of all UNE-based entrants in
17 Florida gained only 1,100 lines per month, while the ILECs added nearly 18,000
18 business lines and 38,000 total lines per month. This disparity is even more revealing
19 when one considers that the ILEC gains are pure *growth*, while the CLEC's gains
20 reflect *both* their share of growth and their penetration into the existing base
21 (approximately 11 million lines). See Table 2 of Exhibit _____ (JPG - 2).

1 **Q. Is there evidence from other states that demonstrates that UNE-based entry can**
2 **develop rapidly and support widespread competition?**

3 A. Yes. Although delayed by litigation, the UNE combination known as the platform
4 (UNE-P) is now finally becoming available in a few markets, most notably New York.
5 This combination enables the entrant to lease capacity in existing switches, thereby
6 avoiding any need to manually reconfigure facilities to provide the customer
7 competitive service. Preliminary results from New York appear to confirm that UNE-
8 P has the potential to support mass-market competition. Table 3 of Exhibit _____
9 (JPG - 2) contrasts the penetration rates achieved by UNE-P to the very limited
10 competitive inroads achieved by loops obtained individually.

11 **The comparably rapid expansion of competitive activity made possible by UNE-P**
12 **is all the more remarkable when one considers that individual loops have been**
13 **available in New York since before the Act was enacted. As a result, Table 3 does**
14 **more than compare the relative performance of these strategies in 1999 – the table**
15 **actually compares the growth of UNE-loops in their *fifth* year to the growth of**
16 **UNE-P at *introduction*.**

17 **Preliminary evidence from Texas is similarly encouraging. While in Florida**
18 **entrants are adding just over 1,000 lines per month, UNE-P alone in Texas is**
19 **supporting competitive inroads at a rate of more than 22,000 lines per month**
20 **(Source: Supplemental Joint Affidavit of Candy R. Conway and William R.**
21 **Dysart, CC Docket No. 00-4, page 16. UNE-P volumes are averaged for**

1 December 1999 and January 2000, the two months of current data provided in the
2 Affidavit).

3 **Q. Why is access to UNE combinations at cost-based rates particularly critical**
4 **for widespread competition?**

5 A. When the cost to acquire and serve an individual customer is high, then
6 competition must focus on only those customers where revenue potential is also
7 high. Because the costs (and processes) to serve local customers using unbundled
8 loops are complex and expensive, the value of this strategy is limited to those
9 markets/customers whose services are *also* complex and expensive. As a practical
10 matter, this means that UNE-loops (obtained individually) are most compatible
11 with providing "design services" – i.e., those services that are sufficiently
12 customer-specific to require special handling, even when the ILEC provides them.
13 In contrast, mass-market services require automated provisioning systems that can
14 minimize – indeed, in an electronic environment, trivialize – the cost to initiate
15 service to individual customers. For instance, the nonrecurring charge proposed by
16 BellSouth in this proceeding to migrate a loop/port combination is only 19¢ -- far
17 below the cost to "hand-craft" service using an unbundled loop that must be
18 reconfigured to an entrant-supplied local switch. As a result, where entrants have
19 access to UNE combinations — and where UNE prices are properly established —
20 more widespread local competition is beginning to emerge.
21 Of course, the unlocked potential of UNE-based competition in Florida is precisely

1 *why* BellSouth recommends that the Commission abandon its effort to establish
2 cost-based prices for UNEs -- particularly UNE combinations -- and instead resort
3 to strategies that yield "full market value" (page 17, line 16). Of course, from
4 BellSouth's perspective as the incumbent monopoly, "full market value" is the
5 price at which entrants are *foreclosed* from the market, thereby assuring its
6 continued dominance.

7 **Q. How do these observations impact the Commission's choices in this**
8 **proceeding?**

9 A. It is important that the Commission not be distracted from the central goal of this
10 proceeding -- to provide entrants the same (that is, nondiscriminatory) access to the
11 existing network that the incumbent enjoys. This means rejecting, clearly and
12 emphatically, calls for "actual costs" and "full market value." This conclusion
13 carries several implications.

14 The first is that the Commission should remain focused at estimating the forward-
15 looking economic costs of network elements. Where uncertainty may have been
16 met with caution in the past, the consequences of adopting inflated UNE-prices
17 have prevented competition from developing for Florida consumers. This situation
18 can, and should, be corrected.

19 Secondly, while all UNEs are important, the Commission should pay particular
20 attention to those UNE that are vital to particular entry strategies. For UNE-P, this
21 means getting the rates for loops, switching and shared transport right — as well as

1 making sure that the necessary nonrecurring charges to migrate customers reflect
2 electronic provisioning and that any ancillary charges (for items such as message
3 recording, daily usage files, feature activation, etc...) be cost-based.

4 For the advanced services market, the Commission should pay close attention to
5 the recommendations of Terry Murray. She will outline for the Commission those
6 aspects of the ILEC's UNE rates that are most critical to the offering of advanced
7 data services by competitors. Although Ms. Murray represents a group of
8 companies that specialize in offering such services, the concerns she expresses are
9 important to all FCCA members more generally.

10 Finally, the Commission should make sure that not just traditional "loops" are
11 available at cost based rates, but that higher speed loops — such as DS-1 loops —
12 are priced correctly and provisioned as efficiently as possible. Correctly done, the
13 broad competitive vision of the Act can become a reality in Florida, but only if
14 UNE prices place entrants on the same footing as the incumbent with respect to the
15 use of the existing network.

16 **Q. Does this conclude your rebuttal testimony?**

17 **A. Yes.**

1 CHAIRMAN DEASON: Ms. White, we have a motion to
2 admit Exhibit 118.

3 MS. WHITE: Yes, and we have no objection.

4 CHAIRMAN DEASON: Very well. Show then that
5 Exhibit 118 is admitted.

6 (Exhibit 118 admitted into the record.)

7 CHAIRMAN DEASON: And AT&T, you may call your
8 first witness.

9 MR. LAMOUREUX: Actually, AT&T and Worldcom are
10 presenting their witnesses jointly. And AT&T and Worldcom
11 would call as their first witnesses a panel of Mr. Pitkin
12 and Mr. Donovan, who submitted their testimony jointly.

13 CHAIRMAN DEASON: Very well. Please proceed.

14 JOHN C. DONOVAN

15 BRIAN F. PITKIN

16 were called as witnesses on behalf of AT&T Communications
17 and MCI Worldcom and, having been duly sworn, testified as
18 follows:

19 DIRECT EXAMINATION

20 Q Mr. Pitkin and Mr. Donovan, have you been sworn
21 in already?

22 A (By Mr. Donovan) Yes, I have.

23 A (By Mr. Pitkin) Yes, I have.

24 Q Did you cause to be prepared and filed rebuttal
25 testimony dated July 31st, 2000, consisting of 46 pages?

1 A (By Mr. Donovan) Yes, we did.

2 MR. LAMOUREUX: Mr. Chairman, for the record,
3 pages 25, 28, and 43 through 44 contain BellSouth
4 proprietary information. And we filed two versions of the
5 testimony, one public and one proprietary. We have some
6 folders that we put together with just the proprietary
7 pages, if we want to do it that way to move the testimony
8 into the record.

9 CHAIRMAN DEASON: I assume, what we can do is we
10 can move into the record the redacted version of a
11 nonconfidential version, and those pages of the testimony,
12 which do contain confidential information, we can simply
13 identify as an exhibit. And it can be admitted into the
14 record, but its confidentiality status can be maintained.

15 MR. LAMOUREUX: I'd like to move that, if I may
16 -- well, when I get further through, I suppose.

17 CHAIRMAN DEASON: Please proceed.

18 MR. LAMOUREUX: Do I need to assign an exhibit
19 number to the confidential pages?

20 CHAIRMAN DEASON: Okay. That would be Exhibit
21 123.

22 (Exhibit 123 marked for identification.)

23 CHAIRMAN DEASON: Can you recite those pages
24 again, please?

25 MR. LAMOUREUX: Sure. It's 25, 28, and 43

1 through 44. And that's of their rebuttal testimony, which
2 was filed on July 31st.

3 CHAIRMAN DEASON: Very well.

4 BY MR. LAMOUREUX:

5 Q Do you have any corrections or changes to make
6 to your rebuttal testimony?

7 A (By Mr. Pitkin) Yes, we do. On Page 22 of the
8 rebuttal testimony, Line 20, there is a citation there
9 that says, "Page 157." That should be "Page 109."

10 And then, on Page 23, Lines 11 and 12 currently
11 read, "Both the BCPM and the BSTLM purport to estimate the
12 forward-looking costs of providing UNES." That should be
13 changed to say, "Both the BCPM and the BSTLM purport to
14 estimate forward-looking costs."

15 Q Any other changes or corrections?

16 A (By Mr. Pitkin) Not to the rebuttal testimony.

17 Q If I ask you the same questions as are contained
18 in your rebuttal testimony, would your answers be the
19 same?

20 A (By Mr. Donovan) Yes.

21 Q Did you also cause to be filed supplemental
22 rebuttal testimony dated August 28th, 2000, consisting of
23 20 pages?

24 A (By Mr. Donovan) Yes, we did.

25 Q Do you have any changes or corrections to that

1 testimony?

2 A (By Mr. Pitkin) Yes, we have one change to that
3 testimony. On Page 6, Line 18, the words, "attempted to
4 make" should be changed to "made."

5 Q And again, if I were to ask you the same
6 questions as are contained in your supplemental rebuttal
7 testimony, would your answers be the same?

8 A (By Mr. Donovan) Yes, they would.

9 MR. LAMOUREUX: Mr. Chairman, I would ask that
10 the rebuttal and supplemental rebuttal testimony of
11 Mr. Donovan and Mr. Pitkin be inserted into the record as
12 though read.

13 CHAIRMAN DEASON: Without objection, it shall be
14 so inserted.

15 BY MR. LAMOUREUX:

16 Q Associated with your rebuttal testimony, did you
17 prepare and cause to be filed Exhibits JCD/BFP-1 through
18 JCD/BFP-15?

19 A (By Mr. Donovan) Yes, we did.

20 Q And attached to your supplemental rebuttal, did
21 you prepare and cause to be filed Exhibits JCD/BFP-16 and
22 JCD/BFP 17?

23 A (By Mr. Donovan) Yes, we did.

24 Q Do you have any changes or corrections to those
25 exhibits?

1 A (By Mr. Pitkin) Yes. Exhibit 10, there's both
2 a proprietary version and a nonproprietary version of that
3 exhibit. The nonproprietary version has some divided by
4 zero numbers in there. Those are because they are based
5 on BellSouth's proprietary inputs. So, we didn't want to
6 publish that information, because you could back into
7 BellSouth's inputs. But the proprietary version does have
8 all the corrected inputs used in our restatement.

9 Q And do you have any other changes or corrections
10 to your exhibits?

11 A (By Mr. Pitkin) No.

12 MR. LAMOUREUX: Mr. Chairman, some of the
13 exhibits also are proprietary, as Mr. Pitkin mentioned; in
14 particular, 10, 16, and 17, contain BellSouth proprietary
15 information. So, what I'd liked to request is that we
16 give Exhibits 1 through 9 and 11 through 15 one composite
17 exhibit number and then give 10, 16, and 17 a separate
18 number. And we have those three exhibits in red folders.

19 CHAIRMAN DEASON: Very well. The
20 nonconfidential exhibits will be identified as composite
21 Exhibit 124. The proprietary exhibits, consisting of
22 Exhibits 10, 16, and 17, will be composite Exhibit 125.

23 (Exhibits 124 and 125 marked for
24 identification.)

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

REBUTTAL TESTIMONY OF

JOHN C. DONOVAN

AND

BRIAN F. PITKIN

ON BEHALF OF AT&T COMMUNICATIONS

OF THE SOUTHERN STATES, INC.

and

MCI WORLDCOM, INC.

DOCKET NO. 990649-TP

JULY 31, 2000

I. INTRODUCTION

Q. PLEASE STATE YOUR NAMES AND BUSINESS ADDRESSES.

A. My name is John C. Donovan. I am President of Telecom Visions, Inc., a telecommunications consulting company. My business address is 11 Osborne Road, Garden City, NY 11530.

My name is Brian F. Pitkin. I am a Director of Klick, Kent & Allen, Inc. ("KKA"), an economic and financial consulting firm. KKA, a wholly owned subsidiary of FTI Consulting, Inc., is located at 66 Canal Center Plaza, Suite 670, Alexandria, Virginia 22314.

1 **Q. MR. DONOVAN, PLEASE DESCRIBE YOUR BACKGROUND.**

2 A. I received a Bachelor of Science degree in Engineering from the United
3 States Military Academy at West Point, NY, and a MBA degree from
4 Purdue University. I have also completed the Penn State Executive
5 Development Program. I have 30 years of telecommunications
6 experience. My last employment before forming Telecom Visions, Inc.
7 was with the NYNEX Corporation, also recently known as Bell Atlantic-
8 North, and subsequent to the merger with GTE, as Verizon. I retired from
9 NYNEX after 24 years of experience in a variety of line and staff
10 assignments, primarily in outside plant engineering and construction. That
11 experience included everything from personally splicing fiber and copper
12 cables, to heading an organization responsible for the procurement,
13 warehousing, and distribution of approximately \$1 million per day in
14 telecommunications equipment. I have had detailed hands-on experience
15 in rural, suburban, and high-density urban environments. I spent several
16 years on the corporate staff of NYNEX responsible for the development of
17 all Methods and Procedures for Engineering and Construction within that
18 company. To summarize, I have planned outside plant, I have designed
19 outside plant, I have purchased telecommunications materials and contract
20 labor, I have personally engineered and constructed outside plant, and I
21 have designed methods for those who do such functions. I have also
22 performed other functions, or have supervised those who do, in installing,

1 connecting, repairing, and maintaining the various parts of the
2 telecommunications network.

3 I have also taught undergraduate students as an Adjunct Professor of
4 Telecommunications at New York City Technical College, and have
5 attended numerous courses in telecommunications technologies, methods
6 and procedures. For the past four years, I have submitted affidavits,
7 written testimony, and appeared as an expert telecommunications witness
8 in proceedings before state regulatory commissions in Alabama, Arizona,
9 Colorado, Georgia, Hawaii, Kansas, Louisiana, Maine, Maryland,
10 Massachusetts, Missouri, Nevada, New Jersey, New York, Oklahoma,
11 Pennsylvania, Texas, Washington, and before the Federal
12 Communications Commission ("FCC").

13 Exhibit JDC/BFP-1 to this testimony provides further detail concerning
14 my qualifications and experience.

15 **Q. MR. PITKIN, PLEASE DESCRIBE YOUR BACKGROUND.**

16 A. I received a Bachelor of Science degree in Commerce, with concentrations
17 in both Finance and Management Information Systems, from the McIntire
18 School of Commerce at the University of Virginia in 1993.

19 After graduation from the University of Virginia, I joined Peterson
20 Consulting, L.P., where I was involved in developing and analyzing large
21 databases and performing economic analyses. In 1994, I joined KKA.
22 Since joining the firm, I have been involved in cost analyses for the
23 telecommunications, railroad, pipeline and postal industries. Many of the

1 analyses I have worked on have been submitted in regulatory and court
2 proceedings.

3 During the past four years, I have had extensive experience with the cost
4 models and underlying databases that have been submitted in proceedings
5 arising out of the Telecommunications Act of 1996. I have analyzed cost
6 studies and models sponsored by AT&T and MCI, Bell Atlantic,
7 BellSouth, GTE, Sprint, Southwestern Bell, and US WEST that have been
8 submitted in both unbundled network element ("UNE") proceedings and
9 universal service fund ("USF") proceedings. I have thoroughly reviewed
10 and filed testimony on the Benchmark Cost Proxy Model ("BCPM") and
11 the HAI Model.

12 More recently, I have critiqued several "business case" models, submitted
13 by various parties to the Federal Communications Commission, that
14 purport to describe the economics of entry into local telephone markets.
15 Also, I have recently evaluated cost studies and models calculating the
16 cost of access and the cost of the FCC's new line sharing UNE. Finally, I
17 have reviewed the FCC's Synthesis Model and presented my
18 recommendations and modifications to the FCC Staff.

19 Exhibit JDC/BFP-2 to this testimony provides further detail concerning
20 my qualifications and experience.

21 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

22 A. We have been asked by AT&T Communications of the Southern States,
23 Inc. (AT&T) and MCI WorldCom, Inc. to review and comment on the

1 BellSouth Telecommunications Loop Model[®] (“BSTLM”) as it was filed
2 in this proceeding. We will also, out of necessity, comment on certain
3 components of the BellSouth Cost Calculator[®] (“BSCC”) as it relates to
4 the development of outside plant investment.

5 **Q. HOW IS YOUR TESTIMONY ORGANIZED?**

6 A. In Section II, we identify the modeling advantages and disadvantages of
7 the BSTLM and discuss their effects on the estimation of material
8 quantities. In Section III, we discuss the inputs and methodologies that
9 have been used by BellSouth in this filing and explain why they serve to
10 misstate costs significantly. In addition, we explain the modifications we
11 have made in our restatement of BellSouth’s models. Finally, in Section
12 IV, we summarize our testimony and explain why the BSTLM and the
13 BSCC, with proper modifications, can be used to generate UNE results for
14 the outside plant portion of the local telephone network.

1 **II. MODELING ADVANTAGES AND DISADVANTAGES OF USING**
2 **THE BSTLM FOR CALCULATING THE COSTS OF**
3 **UNBUNDLED NETWORK ELEMENTS**

4 *The BSTLM is a significant improvement over previously filed BellSouth cost*
5 *studies*

6 **Q. WHAT ARE THE MAJOR ADVANTAGES AND**
7 **DISADVANTAGES OF USING THE BSTLM FOR CALCULATING**
8 **THE COSTS OF UNBUNDLED NETWORK ELEMENTS?**

9 A. The primary advantage of using the BSTLM is that the model attempts to
10 estimate the forward-looking costs of providing unbundled network
11 elements using current technology. In addition, the BSTLM has adopted
12 many of the advanced modeling techniques that recently have been
13 employed in other models. In some cases, the BSTLM relies upon
14 extensive databases, such as road databases and actual BellSouth customer
15 databases, that could result in more realistic estimations of the outside
16 plant required to provide telecommunication services.

17 The use of these extensive databases comes at a cost, however. First, the
18 BSTLM requires significant processing time. Second, it contains
19 extremely complex programming, containing approximately 30 thousand
20 lines of source code.

1 **Q. HAVE THESE DISADVANTAGES AFFECTED YOUR ABILITY**
2 **TO ADEQUATELY REVIEW THE BSTLM?**

3 A. Yes. As stated above, the BSTLM is a very large and complex model. By
4 design, this model has the capability to "open up" certain portions of the
5 modeling process that other models perform in "preprocessing" stages that
6 are not easily reviewed. Unfortunately, BellSouth has thwarted this
7 capability of the model by refusing to provide parties the source code in a
8 format that would allow a user to adjust the model's algorithms and
9 perform sensitivity runs. Instead, BellSouth has only provided a password
10 protected ".pdf" (portable document format) version of the source code
11 that is explicitly designed to prevent a user from transferring the text into a
12 compiler (a software package that turns source code into an executable
13 program). This is analogous to providing parties a model in Microsoft
14 Excel while password protecting the formulas so a user cannot test any of
15 the algorithms.

16 BellSouth has also refused to provide parties with the information
17 necessary to perform similar analyses on the BSTLM that BellSouth's
18 experts have relied on in their affirmative case. For example, Mr.
19 Stegeman's direct testimony includes maps illustrating the network
20 constructed by the BSTLM (Figures 7, 8, 9, 10, 13). During the May 15,
21 2000 workshop on BellSouth's cost models, Mr. Stegeman confirmed that
22 much of the information needed to create these maps is contained within
23 the ".ldb" files produced by the BSTLM. However, BellSouth has refused

1 to provide the information necessary to allow other parties access to this
2 information.

3 Access to the two pieces of information described above (i.e., source code
4 in a format that can be compiled into an executable program and access to
5 the information that produces the maps) must be provided before the
6 parties and the Commission can fully understand the BSTLM. Because of
7 BellSouth's refusal to provide these key pieces of information, we have
8 not been able to perform any sensitivity runs on the model's algorithms or
9 been able to view the network the BSTLM constructs -- information that
10 Mr. Stegeman used himself in advocating use of the BSTLM in this
11 proceeding. This Commission should require BellSouth to provide the
12 parties with this information and allow parties the opportunity to file
13 supplemental testimony based on the results of additional analyses.

14 **Q. WHAT OTHER DIFFICULTIES HAVE YOU ENCOUNTERED IN**
15 **EVALUATING THE BSTLM?**

16 A. During the June 2, 2000 workshop, Mr. McKnight, a BellSouth employee,
17 stated that it would take approximately three to four days to run each of
18 the six BellSouth scenarios (three scenarios each broken down into 2
19 parts). Thus, it takes anywhere from 18 to 24 workdays to replicate
20 BellSouth's initial filing.

21 This has two important implications. First, given enough time, we may
22 have been able to fully evaluate the source code based on the .pdf text file
23 produced by BellSouth and may also have been able to derive the

1 information from the .idb files to generate maps. However, we have had
2 to focus our attention on replicating BellSouth's initial filing and
3 performing sensitivity runs and have not had time to regenerate the source
4 code or create maps. Second, due to these difficulties, we have had to
5 restrict our sensitivity analyses to a subset of the elements BellSouth
6 proposes.

7 In addition, we were not able to replicate BellSouth's initial filing for all
8 loop elements. This is because neither the original "Rservice.sys" file
9 (originally provided with the BSTLM), the subsequent "Rservice.sys" file
10 (subsequently provided on May 12, 2000), or the most recent
11 "Rservice.sys" file sent to us (on July 19, 2000) matched the file used to
12 create BellSouth's proposed prices. In our restatement of the BSTLM, we
13 have attempted to use Rservice definitions that match, to the extent
14 possible, BellSouth's initial filing.

15 **Q. WHAT ARE YOUR OPINIONS REGARDING THE QUALITY OF**
16 **BSTLM?**

17 **A.** At this point, BSTLM must be considered a prototype cost model until
18 BellSouth provides all of the information necessary to fully review, audit,
19 and perform sensitivity runs on all portions of the BSTLM. As we explain
20 in our testimony below, we have concerns about certain portions of the
21 BSTLM that we have not been able to fully review and test.

1 *The BSTLM material quantities appear reasonable*

2 **Q. CAN YOU PLEASE DESCRIBE YOUR REVIEW OF HOW THE**
3 **BSTLM ESTIMATES REQUIRED ASSET QUANTITIES?'**

4 A. Yes. Because the BSTLM is a bottom-up model, it tries to estimate the
5 equipment quantities necessary to construct the local telephone network
6 based on a series of assumptions and inputs. The reliability of both the
7 underlying assumptions and inputs directly affect the reliability of the
8 BSTLM's outputs. In this proceeding, BellSouth has used its actual
9 customer addresses and the actual road network in BellSouth service
10 territories as inputs to the model. With a few exceptions, we conclude that
11 the underlying way in which the BSTLM constructs the local telephone
12 network is reasonable. Therefore, the BSTLM itself can be used to
13 estimate the quantities of various equipment components required to
14 construct a local telephone network. We will address the unit cost inputs
15 later in our testimony.

16 **Q. HAVE YOU COMPARED THE RESULTS OF THE BSTLM TO**
17 **THE RESULTS OF THE HAI MODEL AND THE BCPM?**

18 A. Yes we have.

19 **Q. WHAT DO YOUR COMPARISONS SHOW?**

20 A. In evaluating the network constructed by these three different cost proxy
21 models, we focused our efforts on the quantities of various assets
22 produced by each model. By ignoring unit cost inputs in making these
23 comparisons, we have been able to focus on similarities and differences in

1 the underlying network that each model constructs. As a result, the
2 conclusions in this portion of our analysis are unrelated to the unit cost
3 inputs employed by each of the underlying models.

4 Our analysis shows, as we detail below, that the network constructed by
5 the BSTLM requires much less equipment than the network constructed
6 by the BCPM. In fact, the BSTLM appears to construct a network that is
7 more efficient than the network constructed by the HAI Model. Exhibit
8 JCD/BFP-3 summarizes the amounts of equipment constructed by the
9 BSTLM, the BCPM Release 3.1 and the HAI Model Release 5.0a.

10 Q. HOW DID YOU DERIVE THE MATERIAL QUANTITIES IN THE
11 TABLE IN EXHIBIT JCD/BFP-3?

12 A. The material quantities for the BSTLM were generated from the audit
13 reports that a user can output from the model. We had to export both the
14 configuration and investment audit reports for each of the 196 wire
15 centers, requiring 392 individual exports. We then combined all of the
16 individual configuration files into one large database (approximately
17 800Mb in size) and the individual investment files into one large database
18 (approximately 900Mb in size). Once we prepared these databases, we
19 used the queries that were provided to us by BellSouth to calculate each of
20 the quantities in the above table.

21 The material quantities for the HAI Model and the BCPM were taken
22 directly from the September 2, 1998 Rebuttal Testimony of Don J. Wood
23 and Brian F. Pitkin in Docket No. 980696-TP before this Commission.

1 We did not perform any new analyses on either the HAI Model or the
2 BCPM for this proceeding.

3 **Q. WHAT ARE THE IMPLICATIONS OF THE MATERIAL**
4 **QUANTITIES THAT THE BSTLM GENERATES?**

5 A. The most obvious implication is that the BSTLM should generate
6 investments that are lower than the HAI Model and significantly lower
7 than the BCPM. In fact, BellSouth's new model, which we believe is a
8 significant improvement over the BCPM, actually helps to illustrate that
9 the BCPM constructed an inefficient network and artificially inflated
10 costs. In other words, this Commission should expect to see costs from
11 the BSTLM that are significantly lower than what this Commission
12 adopted in Docket No. 980696-TP.

13 **III. MODIFICATIONS TO BELLSOUTH'S MODELS**

14 **BellSouth's three scenarios need to be eliminated**

15 **Q. HOW DID BELLSOUTH FILE THE BSTLM IN THIS**
16 **PROCEEDING?**

17 A. BellSouth filed the BSTLM using three different scenarios. Each different
18 scenario was used to generate the costs associated with different elements.
19 The first scenario, "BST2000," generates estimated investment for
20 unbundled network elements using a mix of fiber and copper facilities
21 assuming universal digital loop carrier equipment ("UDLC"). The second
22 scenario, "Combo," generates estimated investment when the loop element
23 is bundled with the switching element using integrated digital loop carrier

1 equipment ("IDLC"). The third scenario, "Copper Only," generates
2 estimated investment assuming a 100 percent copper network.

3 **Q. ARE ALL THREE OF THESE SCENARIOS APPROPRIATE?**

4 A. No. The BSTLM should construct a single network that estimates the
5 forward-looking costs of providing the underlying services using existing
6 technology. The only scenario that BellSouth filed that is consistent with
7 these principles is the scenario called "Combo."

8 **Q. WHY IS THE FIRST SCENARIO, "BST2000," INAPPROPRIATE**
9 **IN THIS PROCEEDING?**

10 A. The difference between the scenario called "BST2000" and the scenario
11 called "Combo" is that "BST2000" uses UDLC, while "Combo" uses
12 IDLC technology. While the "BST2000" scenario correctly designs all
13 DLC-served circuits using analog to digital conversion at the field unit's
14 remote terminal ("RT"), it then inappropriately performs an unnecessary
15 digital to analog conversion in the central office, rather than keeping the
16 signal digital.

17 While analog conversion is obviously not required when the BellSouth
18 loop UNE is connected to the BellSouth switch UNE, it is also not
19 required when loops are purchased on a stand-alone basis. Analog
20 conversion for switched services is an inefficient and obsolete technology
21 because the current digital switching environment is optimized for, and
22 expects to receive digital signals. Requiring new entrants to purchase a
23 configuration with double analog to digital conversions within the

1 BellSouth network would hinder the new entrant's ability to compete on
2 price offerings or service quality. Allowing BellSouth to charge for
3 conversion to analog in the central office would also require new entrants
4 to pay for their own, unnecessary, additional equipment to convert the
5 signal back to digital, because the new entrant's network will be totally
6 digital. Current networks are not built to perform analog-digital, digital-
7 analog, analog-digital conversions. Instead, one analog-digital conversion
8 should be done at the RT, and the signal should remain digital by using
9 Integrated DLC.

10 Next Generation Digital Loop Carrier systems, available for several years,
11 currently support multiple switches. This allows new entrants to use
12 integrated loops with either BellSouth's local switch or their own switch,
13 in either case without analog conversion. The number of switches that an
14 IDLC can support with a GR-303 interface varies by vendor. For
15 example, Litespan 2000 can support four and the NORTEL AccessNode
16 supports five, and DISC*S supports three. Furthermore, customers are
17 requesting that their vendors increase this number to as high as eight.
18 Given the very competitive DLC market, and the fact customers are
19 driving this issue, it is apparent that this number will increase in the near
20 future.

21 BellSouth's proposal of using UDLC is obviously a complicated, costly,
22 and very inefficient loop offering, thereby forcing new entrants -- and their
23 customers -- to accept a network configuration and service quality that is

1 inferior to what BellSouth actually provides to its own customers. This is
2 discriminatory and we do not believe it is consistent with the
3 Commission's intent.

4 In other words, the "BST2000" scenario is wasteful of equipment and
5 technology because every single line is unnecessarily converted back to a
6 copper pair circuit in the central office. Therefore, the "Combo" scenario
7 should be used instead of the "BST2000" scenario.

8 **Q. WHY IS THE THIRD SCENARIO, "COPPER ONLY,"**
9 **INAPPROPRIATE IN THIS PROCEEDING?**

10 A. The "Copper Only" scenario builds the network using 100 percent copper.
11 This is inappropriate for two reasons. First, this approach is not practical
12 because of engineering restrictions on the length of a copper loop to
13 support full POTS functionality that includes voice and simple analog
14 dial-up modem service. Second, BellSouth's current outside plant
15 guidelines require the use of both fiber and copper facilities. For
16 customers located closest to the serving central office, copper loops are
17 employed for most applications. These copper loops tend to be lower cost
18 than the loops served by fiber feeder that are located farther away from the
19 central office. By developing UNEs for copper loops using a model run
20 that reconstructs the entire network using all copper facilities, BellSouth is
21 attempting to inflate the average cost of a copper loop.

22 The correct approach is to base the costs of copper-only UNE's on the
23 copper portion of the "Combo" network. In addition, use of a single,

1 appropriate network construct comports with the way ubiquitous outside
2 plant is engineered and built, such that any typical service can be operated
3 over any typical loop. Also, use of a single outside plant design prevents
4 mixing and matching of costs or performing arbitrage on the rates.

5 **Q. CAN YOU PLEASE SUMMARIZE YOUR RECOMMENDATIONS**
6 **REGARDING THE THREE DIFFERENT SCENARIOS**
7 **BELLSOUTH PROPOSED IN THIS PROCEEDING?**

8 A. Yes. We have eliminated BellSouth's scenarios called "BST2000" and
9 "Copper Only" based on the discussion above. Therefore, we have used
10 the BSTLM to estimate the UNE costs based on the "Combo" scenario.

11 **BellSouth's inputs in the BSCC should be based on the recommendations of**
12 **witnesses Hirshleifer, Majoros and Darnell**

13 **Q. WHAT BSCC INPUTS HAVE YOU ADJUSTED BASED ON THE**
14 **RECOMMENDATIONS OF OTHER WITNESSES?**

15 A. We have adjusted BellSouth's cost of capital to reflect the inputs in the
16 testimony of Mr. Hirshleifer and adjusted BellSouth's depreciation lives
17 and salvage values to reflect the inputs in the testimony of Mr. Majoros.
18 We have similarly adjusted BellSouth's plant-specific factors and expense
19 development factors to reflect the inputs in the testimony of Mr. Darnell.

1 *BellSouth's inputs improperly double-count inflation*

2 **Q. HOW DO BELLSOUTH'S CALCULATIONS OF LOOP COSTS**
3 **IMPROPERLY DOUBLE COUNT THE EFFECTS OF**
4 **INFLATION?**

5 A. The cost of capital employed by BellSouth, this Commission, and Mr.
6 Hirshleifer are "nominal" costs of capital. Nominal costs of capital
7 compensate investors not only for the time value of money and business
8 and financial risk, but also for the effects of inflation. BellSouth's
9 proposed prices double-count inflation by:

- 10 • Using a unit-cost inflation factor that is applied to the material
11 investment generated by the BSTLM; and
12 • Updating the unit costs for material and labor from what was
13 previously determined by this Commission.

14 **Q. WHY DOES USE OF THE INFLATION FACTOR BY**
15 **BELLSOUTH DOUBLE COUNT THE EFFECTS OF INFLATION?**

16 A. The cost of capital that Mr. Hirshleifer has developed, which we included
17 in our restatement of the BellSouth models, already accounts for the
18 effects of inflation. Specifically, the costs of debt and equity that Mr.
19 Hirshleifer developed from financial market data already include a
20 component that compensates ILEC investors for the loss in purchasing
21 power of their invested capital that would otherwise be caused by the
22 effects of inflation (thus, Mr. Hirshleifer developed a nominal cost of
23 capital as opposed to a "real" cost of capital, which is the nominal cost of
24 capital minus the rate of future inflation anticipated by debt and equity

1 investors). Furthermore, the cost of capital previously adopted by the
2 Florida PSC in its prior proceedings was also a nominal cost of capital,
3 meaning it was high enough to compensate ILECs for the effects of
4 inflation. Any other adjustment for inflation, outside of the cost of capital,
5 includes the effects of inflation *twice* in the capital component of the cost-
6 based prices that BellSouth proposes.

7 **Q. WHY DOES BELLSOUTH'S UPDATING OF THE MATERIAL**
8 **AND LABOR COSTS, FROM WHAT HAS BEEN PREVIOUSLY**
9 **DETERMINED BY THIS COMMISSION, DOUBLE COUNT THE**
10 **EFFECTS OF INFLATION?**

11 A. We understand that the capital cost components of the various annual
12 recurring costs previously adopted by this Commission in the UNE and
13 USF cases were developed by applying a nominal cost of capital to the
14 forward-looking investment. Thus, these costs were high enough to offset
15 the future effects of inflation. Allowing BellSouth to adjust the unit prices
16 and labor rates it uses to develop investments in this proceeding
17 effectively compensates the ILECs *twice* for the effects of inflation, once
18 as part of the nominal cost of capital and again by inflating the investment
19 base to which the nominal cost of capital is applied.

- 1 **Q. WHY DO THE PARTIES RELY ON NOMINAL COSTS OF**
2 **CAPITAL (ONES THAT INCLUDE COMPENSATION FOR**
3 **INFLATION) RATHER THAN REAL COSTS OF CAPITAL (ONES**
4 **THAT DO NOT INCLUDE COMPENSATION FOR INFLATION)?**
- 5 A. Use of the nominal cost of capital is the most straightforward approach,
6 because (as Mr. Hirshleifer discusses in his testimony) nominal costs of
7 capital can be derived directly from data observable in financial markets.
8 But if nominal costs of capital are employed, unit prices for material and
9 labor used to develop the total network investment must be locked in at
10 the levels initially established by the Commission. An alternative is to
11 apply the real cost of capital to investment levels that are allowed to
12 increase with inflation. While conceptually more consistent with the
13 competitive market standard, such an approach is more unwieldy because
14 it would require the Commission to estimate a real cost of capital. In
15 addition, this approach would require that UNE rates increase each year to
16 reflect the effects of inflation on the underlying investments. What clearly
17 is inappropriate is to apply the nominal cost of capital to network
18 investment levels that also are allowed to increase to reflect the effects of
19 inflation because, as we stated above, BellSouth would thereby be
20 compensated *twice* for the effects of inflation.

1 **Q. CAN YOU PROVIDE A SIMPLE EXAMPLE OF THESE TWO**
2 **ALTERNATIVE METHODS OF CAPITAL RECOVERY?**

3 A. Consider an example with an initial investment of \$1,000,000 employing
4 the following assumptions:

- 5 • Economic life is 10 years;
- 6 • Nominal cost of capital is 10%;
- 7 • Inflation rate is 4%;
- 8 • Real cost of capital is 5.77% ($1.10 / 1.04 - 1$).

9 These assumptions lead to the following two cost recovery patterns that,
10 over the life of an asset, have a present value equal to the initial
11 investment in the asset. Exhibit JCD/BFP-4 illustrates that calculating an
12 annuity based on the nominal cost of capital fully recovers the initial
13 \$1,000,000 investment over the 10-year period. The exhibit also
14 illustrates that calculating an annuity based on the real cost of capital, and
15 then inflating the annuity each year at the appropriate inflation rate
16 similarly fully recovers the initial \$1,000,000 investment over the 10-year
17 period. Under either approach, the nominal discount rate is appropriate
18 because the cash flows being discounted (shown in the "Inflated Annuity"
19 column) already reflect the effects of inflation. Exhibit JCD/BFP-5
20 illustrates these two recovery pattern. The above charts help to illustrate
21 the point that both cost recovery patterns result in the same present value
22 at the end of the asset's life. However, it is obvious that using the nominal
23 cost of capital allows BellSouth to recover more of its initial investment

1 earlier in the asset's life than using the real cost of capital. Therefore, if
2 BellSouth is allowed to submit new material and labor prices before year
3 10, say in year 5, BellSouth will have over-recovered the appropriate
4 amount of investment over this time period.

5 The inflation double-count in BellSouth's approach is illustrated in the
6 example in Exhibit JCD/BFP-6, which assumes that BellSouth uses a
7 nominal cost of capital and seeks new UNE rates each year to reflect the
8 effects of inflation on asset and labor unit prices.

9 Exhibit JCD/BFP-6 shows that under BellSouth's approach, it would over-
10 recover its initial investment by more than 21 percent if it were allowed to
11 use the nominal cost of capital and adjust the material and labor prices for
12 the effects of inflation. The charts in Exhibit JCD-BFP-7 also help to
13 illustrate this point.

14 The solid lines on the charts in Exhibit JCD/BFP-7 are both sufficient to
15 allow BellSouth to recover its investment and earn its cost of capital.
16 Thus, the charts show that BellSouth's proposed approach, represented by
17 the dashed lines, would allow it to recover more than the true economic
18 cost of the asset. The difference between the two sets of lines on each of
19 the above graphs illustrates the amount of BellSouth's over-recovery in
20 each year, under the assumptions we have employed, if BellSouth is
21 allowed both to use a nominal cost of capital and to inflate the underlying
22 unit prices.

1 Q. WHAT ARE THE IMPLICATIONS OF THIS DISCUSSION FOR
2 THE COST CALCULATIONS THAT THE COMMISSION MUST
3 MAKE IN THIS PROCEEDING?

4 A. The Commission must calculate the capital component of recurring costs
5 in a manner that avoids compensating BellSouth twice for inflation. As
6 noted above, this can be done either (1) by using the previously-adopted
7 material unit prices and labor rates in establishing the total network
8 investment, and applying the appropriate nominal cost of capital, or (2) by
9 using current material unit prices and labor rates and applying the real cost
10 of capital (which also then requires that UNE rates be adjusted in
11 subsequent years to reflect the effects of inflation on underlying material
12 and labor unit prices). Because real costs of capital are difficult to
13 calculate with precision, and because the UNE prices that have been in
14 effect the past several years were based on a nominal cost of capital, we
15 would recommend that the Commission continue to calculate the capital
16 component of recurring costs by employing a nominal cost of capital and
17 that it "lock in" its previously-adopted material unit prices and labor rates.
18 This Commission's USF decision similarly recognized that "indexing may
19 be appropriate, for example, in a contract arbitration, but not in this
20 proceeding." (Order No. 980696-TP, pg. ¹⁰⁹~~457~~) Indexing is similarly not
21 appropriate in this proceeding.

1 **Q. WHICH MATERIAL AND UNIT PRICES THAT THIS**
2 **COMMISSION HAS PREVIOUSLY ADOPTED DO YOU**
3 **RECOMMEND?**

4 A. We recommend that this Commission rely on the material and unit prices
5 it adopted in the USF proceeding, Docket No. 980696-TP.

6 **Q. WHY DO YOU RECOMMEND USING THE COMMISSION'S**
7 **DECISION IN THE USF PROCEEDING?**

8 A. This USF decision specified the inputs appropriate for BellSouth in the
9 sBCPM. There are three primary reasons why we feel it is appropriate to
10 employ these unit-cost inputs to modify the BSTLM:

- 11 ● Both the BCPM and the BSTLM purport to estimate ~~the~~ forward-
12 looking costs ~~of providing UNEs~~ using current technologies, so the
13 theoretical frameworks for the two cost proxy models should be
14 similar;
- 15 ● Many of the inputs in the BSTLM are similar or directly equivalent
16 (except for DLC equipment which we describe below) to the inputs
17 used in the BCPM, so the inputs are easily transferable; and
- 18 ● BellSouth sponsored the BCPM in the Universal Service docket and
19 the Commission's decisions considered BellSouth's evidence on
20 inputs in that docket.

21 For these reasons, we believe that these inputs can be used in the BSTLM
22 without the need to re-litigate unit cost inputs that this Commission has
23 already adopted.

1 Q. WILL YOU PLEASE SUMMARIZE THE ADJUSTMENTS YOU
2 HAVE MADE TO BELLSOUTH'S FILING TO AVOID THIS
3 DOUBLE-COUNT OF INFLATION?

4 A. Yes. In order to avoid double counting the effects of inflation, we
5 modified the BSCC to remove the inflation factor and have modified the
6 unit cost inputs in the BSTLM to reflect the inputs this Commission
7 previously adopted in Docket No. 980696-TP.

8 *BellSouth's factor approach overstates the costs of engineering and installation*

9 Q. HOW HAS BELLSOUTH DEVELOPED THE ENGINEERING
10 AND INSTALLATION COSTS?

11 A. BellSouth's filing of the BSTLM and the associated components of the
12 BSCC serve to distort costs. While the BSTLM is designed to calculate
13 the total loop investment required to provide the various loop elements,
14 BellSouth disabled many of these features and instead used the BSTLM to
15 calculate only the material investment associated with the loop elements.
16 BellSouth's filing then applies a series of factors to these material
17 investments, for engineering and installation costs, in order to derive total
18 installed investment.

19 BellSouth's factor approach to calculating installed investment distorts the
20 actual investment required by assuming that engineering and installation
21 costs are directly proportional to the material costs. Consider the
22 following example:

23 *** Begin Proprietary***

1 • XXX
 2 XX
 3 • XXX
 4 XX
 5 • XXX
 6 XX
 7 XX
 8 XX
 9 XX
 10 XX
 11 XX

12 XXXXXX***End Proprietary*** However, the true cost of placing a
 13 400-pair cable is not significantly higher than the cost of placing a 25-pair
 14 cable. As a result, BellSouth's approach is not appropriate and serves to
 15 distort costs. It is surprising that BellSouth has resorted to applying such
 16 an inexact and inappropriate factor to material investment when it has
 17 Standard Time Increment values available. Standard Time Increments
 18 represent optimal direct labor times for outside plant functions, such as
 19 placing a foot of aerial cable or splicing 100 copper pairs, and provide
 20 more appropriate estimates of installation costs than BellSouth's factor
 21 approach.

22 In addition, the BSTLM includes some optimization routines that are
 23 based on investment. For example, the inputs filed by BellSouth include a
 24 variable named "MinimizeTotDistFDICost." This variable is set to "Yes,"
 25 which purports to minimize the total cost of the FDIs and distribution
 26 cable in a distribution area. However, by excluding the engineering and

1 installation costs from this optimization routine, it appears that the
2 BSTLM will only evaluate material investment, and will not perform its
3 optimization routines based on accurate data (*i.e.*, it is missing a
4 significant portion of the total installed investment). Thus, the BSTLM
5 cannot determine the most optimal network.

6 For the reasons listed above, BellSouth's attempts to reflect the
7 engineering and installation costs outside of the BSTLM, through the use
8 of "factors," is inappropriate. This Commission previously reached the
9 same conclusion in the USF proceeding by stating:

10 We find that BellSouth's use of linear loading factors,
11 while easy for BellSouth to apply, can generate results that
12 seem to beg questions. For example, for 26 gauge buried
13 copper cable, actual material costs as a percent of total cost
14 stays constant at about 23 percent no matter whether the
15 cable is 12 pair or 4200 pair. This means that the total cost
16 of this cable is always about 4.3 times the actual material
17 cost; thus, no economies of scale for exempt material,
18 engineering, or BellSouth labor, ever occur. It seems very
19 unlikely that there are no economies generated as cable
20 sizes grow larger. Sprint apparently agrees, since for the
21 same cable the total cost ranges from 11 times the material
22 cost for 12 pair cable to approximately 1.6 times the cost
23 for 4200 pair cable. (Order No. 980696-TP, pg. 157)
24

25 The Commission later reaches the conclusion that:

26 While we agree ... that engineering costs may vary
27 somewhat by pair size, we do not accept BellSouth's linear
28 assumption for engineering costs. While BellSouth appears
29 to have the lowest materials costs of all the LECs, they
30 have significantly higher total costs in some cases more
31 than three times as much as the next closest LEC. This is
32 likely due in part to the engineering costs and the
33 application of an inflation factor. (Order No. 980696-TP,
34 pg. 187)

1 **Q. HAVE YOU FIXED THESE PROBLEMS WITH THE BSTLM**
2 **FACTORS?**

3 A. For the most part, we have. The way in which BellSouth filed the BSTLM
4 in this proceeding allows the user to modify the unit cost inputs. With one
5 exception, we were able to successfully use the Commission's previously
6 adopted unit cost inputs, which reflect installed material costs, and, as a
7 result, were able to eliminate the corresponding in-plant factors. This
8 methodology also corrects the model's optimization routines, which will
9 now evaluate the total installed investment, rather than being driven solely
10 by the material portion of investment.

11 **Q. WHAT IS THE EXCPEITION YOU REFER TO IN YOUR PRIOR**
12 **ANSWER?**

13 A. The DLC inputs in the BSTLM are extremely complex and do not lend
14 themselves easily to employing the DLC inputs previously adopted by this
15 Commission. Therefore, we could not appropriately modify the DLC unit-
16 cost inputs in the BSTLM. Because these unit-cost inputs for DLC
17 equipment reflect only material costs, we were forced to use an in-plant
18 factor to develop the engineering and installation cost for DLC equipment.

19 **Q. WHAT FACTORS DID YOU USE FOR ENGINEERING AND**
20 **INSTALLATION COSTS OF DLC EQUIPMENT?**

21 A. The in-plant factors for DLC hardwire and plug-in equipment used by
22 BellSouth in the BSTLM are too high. Whereas we estimate that it would
23 require 66½ hours to engineer and install what is essentially a completely

1 pre-fabricated DLC unit, BellSouth's labor factor generates an absurd
2 equivalent of *****Begin Proprietary***** xxxxxx *****End Proprietary*****
3 hours of labor to handle the same pre-fabricated unit. We modified
4 BellSouth's factors to reflect an appropriate amount of engineering and
5 installation costs. Specifically, the engineering and installation cost
6 should reflect the installation of equipment that has been

7 ...completely assembled and tested at the factory. Once the
8 equipment is on site and bolted to its mounting pad, the
9 only assembly required consists of connecting local power,
10 connecting drop facilities, connecting optical fiber
11 facilities, installing the back-up batteries, and plugging the
12 circuit packs into their assigned locations in the racks.

13 [Alcatel Litespan 2000 DLC practice]

14 We believe the appropriate number of hours required to install pre-
15 assembled DLC equipment are reflected in the HAI Model. Therefore, we
16 have calculated the ratio of installed investment in the HAI Model to
17 material investment in the HAI Model to arrive at an appropriate
18 installation and engineering factor for DLC equipment. Exhibit JCD/BFP-
19 8 details how these factors were derived.

20 **Q. DID YOU MAKE ANY OTHER ADJUSTMENTS TO THE DLC**
21 **INPUTS IN THE BSTLM?**

22 A. Yes. The BSTLM includes DLC inputs for two different vendors,
23 identified as Vendor 'A' and Vendor 'B'. We calculated the total
24 investment required for different size facilities based on using only
25 Vendor 'A' equipment and using only Vendor 'B' equipment. The chart
26 in Exhibit JCD/BFP-9 illustrates the results of this analysis.

1 As the chart in this Exhibit illustrates, Vendor 'A' equipment is much more
2 expensive than Vendor 'B' for larger DLCs (above 672 lines) and less
3 expensive for smaller DLCs. This leads to the conclusion that in the real
4 world, BellSouth most likely uses Vendor 'A' for smaller DLC equipment
5 and Vendor 'B' for larger DLC equipment, thus explaining why
6 BellSouth's model employs a mix of Vendor 'A' and Vendor 'B'
7 equipment. More importantly, in the real world, a telecommunications
8 provider would place the more efficient technology, i.e., use Vendor 'A'
9 for smaller DLC equipment and use Vendor 'B' for larger DLC
10 equipment. However, the BSTLM does not employ Vendor 'A' equipment
11 for smaller DLCs and Vendor 'B' equipment for larger DLCs. Instead, it
12 applies an assumed mix of Vendor 'A' and Vendor 'B' equipment to both
13 smaller and larger DLCs. As a result, the BSTLM always overstates the
14 required DLC investment.

15 Based on this analysis, we performed sensitivity analyses by first setting
16 the BSTLM to use 100 percent Vendor 'A' equipment and then using 100
17 percent Vendor 'B' equipment. The results of these sensitivity analyses
18 show that the Vendor 'B' equipment produces lower investment than the
19 Vendor 'A' equipment.

20 Thus, we have employed, in our restatement of the BSTLM, an
21 assumption that 100% Vendor 'B' DLC should be employed in the model
22 because this is the only alternative available to us. However, this
23 Commission should require BellSouth to fix this error in the BSTLM so

1 that the model assumes the more efficient DLC equipment for each size
2 cabinet.

3 **Q. ARE THERE OTHER INPUT ISSUES THAT THIS COMMISSION**
4 **NEEDS TO BE AWARE OF?**

5 A. Yes. BellSouth employs factors to calculate structure costs instead of
6 relying on material and labor inputs. While we understand that the
7 BSTLM has the capability to use these more disaggregate structure
8 inputs, BellSouth has effectively prevented the user from employing these
9 options by locking this portion of the model. In addition, BellSouth has
10 not provided the parties any information or guidance on how to enable this
11 functionality or how the inputs are employed in the model's algorithms.
12 Therefore, we have not been able to utilize this more appropriate
13 methodology and have had to rely on BellSouth's factor approach to
14 estimating structure investment.

15 **BellSouth's unit cost inputs need to be modified**

16 **Q. WHY DO BELLSOUTH'S UNIT COST INPUTS NEED TO BE**
17 **MODIFIED?**

18 A. Based on the discussions above, BellSouth's unit cost inputs need to be
19 modified for two reasons, i.e., (1) to eliminate the double-count of
20 inflation caused by updating the unit cost inputs from what this
21 Commission has already adopted, and (2) to remove BellSouth's factor
22 approach for incorporating engineering and installation costs.

1 **Q. HOW HAVE YOU ADJUSTED BELLSOUTH'S UNIT COST**
2 **INPUTS TO ACCOMPLISH THESE MODIFICATIONS?**

3 A. We have used the installed material costs from this Commission's order in
4 Docket No. 980696-TP where appropriate unit prices are available. We
5 have included, as Exhibit JCD/BFP-10 (proprietary) to this testimony, a
6 table comparing BellSouth's proposed unit prices for *material only* with
7 the unit prices for *installed* material we have used in our restatement of
8 BellSouth's filing.

9 **Q. WERE YOU ABLE TO DIRECTLY APPLY THE INPUTS FROM**
10 **THE USF PROCEEDING IN THE BSTLM?**

11 A. In most cases, yes. However, in some cases, the BSTLM inputs are not
12 identical in structure to those used in the BCPM. For example, the
13 BSTLM includes an input for 1500-pair 24-gauge aerial copper cable
14 while the BCPM includes values only for 1200-pair and 1800-pair 24-
15 gauge aerial copper cable. In these situations, we calculated reasonable
16 values based on the Commission's values for the smaller and larger cable
17 sizes (*e.g.*, we averaged the cost per pair of the 1200-pair cable and the
18 cost per pair of the 1800-pair cable and multiplied that resulting cost per
19 pair by the 1500 pairs). Exhibit JCD/BFP-10 (proprietary) also explains
20 the rationale for our modified inputs.

1 *BellSouth's loop length inputs do not reflect efficient network construction*

2 **Q. WHAT INPUTS DOES THE BSTLM USE TO DETERMINE THE**
3 **OUTSIDE PLANT DESIGN OF THE LOOP?**

4 A. The BSTLM attempts to optimize the network by adjusting many
5 parameters, of which we are particularly concerned about five.
6 Specifically, the BSTLM uses the following parameters for both carrier
7 serving area ("CSA") design and allocation area ("AA") design

- 8 1. soft copper length limits;
- 9 2. hard copper length limits;
- 10 3. line limits between the soft and hard limit;
- 11 4. 24-to-26 gauge crossover lengths; and,
- 12 5. extended range line card limits.

13 These inputs all have a critical role in determining the network
14 architecture of the local loop that is modeled by the BSTLM.

15 **Q. WHAT ARE THE APPROPRIATE INPUTS FOR THESE**
16 **ENGINEERING CRITERIA?**

17 A. There are two sets of inputs that could be used in determining the network
18 architecture. The most appropriate architecture should be the solution that
19 results in the lower-cost network design. This is consistent with this
20 Commission's previous determination that

21 The choice of maximum allowable copper loop length (12
22 v. 18 Kft) is likely a cost minimization issue, not an
23 either/or decision. Even assuming that 12 Kft is the rule of
24 thumb, deviations from this standard would be based
25 primarily on what yields the least cost arrangement overall,
26 considering all relevant cost components. Accordingly, we

1 will not place a limit on the maximum allowable copper
2 loop length. (Order No. 980696-TP, pg. 49)

3 **Q. WHAT IS THE FIRST POSSIBLE NETWORK ARCHITECTURE?**

4 A. The first option would require limiting the maximum copper loop length
5 to 17,600 feet. In this scenario, the copper distribution plant would use
6 24-gauge copper cable for loop lengths over 13,000 feet and would never
7 require extended range line cards. The 17,600 foot maximum length
8 comports with Alcatel Litespan 2000 DLC practices.

9 **Q. WHAT IS THE SECOND POSSIBLE NETWORK**
10 **ARCHITECTURE?**

11 A. The second option would require reducing the maximum copper loop
12 length from 17,600 feet to 16,800 feet. In this scenario, the DLC
13 equipment would use extended range line cards for loop lengths over
14 13,000 feet and would never require 24-gauge copper cable. Extended
15 range line cards can be powered to overcome the thinner 26-gauge wire
16 for long lengths normally requiring 24-gauge copper.

17 **Q. WHAT OTHER INPUTS DID YOU NEED TO MODIFY IN ORDER**
18 **TO IMPLEMENT EITHER OF THESE TWO POSSIBLE**
19 **NETWORK ARCHITECTURES?**

20 A. In addition to adjusting the maximum copper loop length (hard limit), the
21 24-to-26 gauge crossover, and the extended range line card crossover, we
22 adjusted the soft loop length limit to equal the hard loop length limit and
23 adjusted the number of lines between the soft loop length and the hard
24 loop length to equal the maximum number of lines in an AA or CSA.

1 There is no engineering rationale for having a soft loop length limit in the
2 model.

3 **Q. CAN YOU PLEASE SUMMARIZE THE MODIFICATIONS YOU**
4 **HAVE MADE TO THE BSTLM FOR EACH OF THE TWO**
5 **POSSIBLE NETWORK CONFIGURATIONS DESCRIBED**
6 **ABOVE?**

7 A. Yes. The table in Exhibit JCD/BFP-11 summarizes BellSouth's inputs
8 and our proposed modifications to these inputs. Thus, the two options for
9 possible engineering criteria are: 1) switching from 26-gauge to 24-gauge
10 cable at 13,000 feet with an absolute restriction of 17,600 feet over 24-
11 gauge copper without the use of extended range line cards; and 2)
12 switching to extended range line cards when the copper loop exceeds
13 13,000 feet with an absolute restriction of 16,800 feet without the use of
14 24-gauge copper. Both of these options apply both to AA and CSA design
15 because they are not influenced by the maximum size of a RT cabinet.
16 As stated above, both configurations are consistent with current outside
17 plant guidelines. Based on sensitivity runs we have conducted, the second
18 option (*i.e.*, using extended range line cards above 13,000 feet with a
19 maximum loop length of 16,800 feet on 26-gauge copper cable, with no
20 24-gauge copper cable) is the more economical choice. Therefore, we
21 have used these inputs in our restatement of the BSTLM.

1 *BellSouth's allocation of investment is incorrect*

2 **Q. WHY DOES THE BSTLM NEED TO ALLOCATE**
3 **INVESTMENTS?**

4 A. As stated above, the BSTLM is an extremely complex model, in part
5 because it assigns particular services to particular customer locations.
6 Specifically, the BSTLM classifies all customers into one of 44 different
7 services. Each of these services requires some unique equipment (such as
8 a particular type of DLC line card), and each also uses some shared
9 equipment (such as the DLC common equipment and fiber feeder cable).
10 Because it is service oriented, rather than element oriented, the BSTLM
11 must allocate the shared equipment investment to the individual services
12 that use this equipment.

13 **Q. WHAT IS THE PROPER WAY TO ALLOCATE SHARED**
14 **INVESTMENTS?**

15 A. The very reason that allocations are necessary is because some
16 investments are not directly associated with a specific underlying element
17 in the network. Therefore, any such allocation is arbitrary. The important
18 criteria in allocations is that they should be competitively neutral and fair.

19 **Q. HOW DOES BELLSOUTH ALLOCATE THESE SHARED**
20 **INVESTMENTS?**

21 A. BellSouth allocates this equipment investment based on the DS0
22 equivalency of each service. Therefore, a HDSL loop will be allocated 24
23 times the shared equipment investment allocated by the BSTLM to a

1 normal POTS loop. Such an allocation arbitrarily shifts investment away
2 from the POTS loop to the higher-bandwidth services, making advanced
3 services excessively expensive for a CLEC to purchase as a UNE. This
4 approach is particularly arbitrary because the DS0 capacity of a service
5 has little relevance to the costs of DLC shared equipment or fiber feeder
6 associated with a particular service.

7 **Q. WHY IS THE DS0 CAPACITY AN INAPPROPRIATE**
8 **ALLOCATION OF SHARED FACILITIES?**

9 A. Simply put, we do not see any advantage to allocating investments based
10 on DS0 equivalents, but we do see competitive ramifications. A dedicated
11 DS1 service could be multiplexed down to 24 dedicated DS0s. However,
12 this has nothing to do with the way DLC systems operate using
13 concentration ratios (BellSouth agrees with the use of DLC concentration
14 in this docket). A DLC channel bank slot can accept either a 4-line POTS
15 card or a DS1 card. Capacity for the common cost components in a DLC
16 RT cabinet really depend on the number of card slots in a channel bank,
17 and the number of channel banks that can fit in a maximum size RT
18 cabinet.

19 For example, a DLC RT cabinet operating at a concentration ratio of 4:1
20 would have to give up 4 POTS lines of capacity for each DS1 service card.
21 Common equipment bandwidth is seldom an issue, since at a 4:1
22 concentration ratio, only 21 DS1s worth of bandwidth would be used to
23 serve a maximum of 2016 POTS lines, thereby leaving 63 DS1s unused in

1 a typical OC3 system capable of 84 DS1s. Thus, most of the DLC
2 investment is not driven by the DS0 requirements of the system, but by a
3 fixed cost of the hardware that is unrelated to the bandwidth capacity, or is
4 based on the number of channel banks in the system.

5 Also consider the cabinet size, which is the largest single fixed cost of
6 DLC equipment. The cabinet size is not determined by the number of
7 DS0s going into the system, but by the number of channel banks required.
8 Again, there is no justification to allocate the DLC investments associated
9 with the cabinet size based on the number of DS0 equivalencies of the
10 DLC system.

11 Finally, the fiber feeder capacity is virtually limitless. The cost of the
12 fiber feeder is not driven by any one particular item and is a fixed cost of
13 service. Therefore, any allocation of this fiber feeder is completely
14 arbitrary.

15 **Q. WHAT ARE THE COMPETITIVE RAMIFICATIONS OF**
16 **BELLSOUTH'S ALLOCATION METHOD?**

17 A. We believe that BellSouth's allocation shifts costs from POTS to higher-
18 bandwidth services. This, in turn, significantly increases the costs that
19 competitors must pay to compete for these more advanced services. The
20 way BellSouth has allocated shared investments requires that a competitor
21 pay 24 times the fiber investment for an HDSL loop than for a POTS loop.
22 Allocating investments in this fashion will essentially foreclose
23 competition for these advanced services.

1 As we stated before, the very nature of shared investments requires an
2 arbitrary allocation. However, it is essential that these allocations be
3 competitively neutral and fair.

4 **Q. HOW SHOULD THE SHARED EQUIPMENT BE ALLOCATED**
5 **TO THE UNDERLYING SERVICES?**

6 A. There is no one correct answer. Further, this question raises other
7 complexities in costing UNEs. For example, both POTS and ADSL
8 services use a single copper pair to provide services. However, these two
9 services have different purposes and different DS0 equivalencies. This
10 does not lead to a conclusion that the HDSL service should be allocated
11 more structure costs than the POTS service. Complex allocations of
12 shared costs only causes administrative burdens and complicates the
13 costing methodology. A methodology of allocating costs based on the
14 equivalent number of copper pairs required to carry the service is
15 intuitively more logical and offers an administratively feasible solution.
16 Therefore, we believe that BellSouth's allocation technique should use the
17 equivalent number of copper pairs used to provide the service rather than
18 the DS0 equivalency of a service. Using that method, a two-pair copper
19 loop, such as HDSL, would be allocated twice the shared investment of a
20 single copper pair -- regardless of the services being carried over the
21 copper pair. Another way to view this issue is that a "loop is a loop."
22 There is no reason that this treatment should be different for DLC shared
23 equipment and shared fiber facilities than it is for shared structure in the

1 copper portion of the loop. The end result of this "loop is a loop"
2 approach is that the cost of voice grade services will increase slightly
3 while the cost for advanced services will be reduced (compared with
4 BellSouth's proposed rates).

5 **Q. DOES YOUR APPROACH POTENTIALLY UNDERSTATE**
6 **INVESTMENT?**

7 A. Yes. As we understand the DLC calculations, the DS0 equivalents are not
8 only used to allocate investments but are also used to size the DLC
9 equipment. Therefore, by appropriately adjusting down the DS0
10 equivalents for the allocation we most likely have also adjusted down the
11 capacity requirements of the DLC optical equipment. Unfortunately,
12 BellSouth did not provide the information necessary for us to correct this
13 problem within the BSTLM algorithms. Therefore, we were forced to
14 make this adjustment by modifying the user-adjustable inputs, which was
15 the only option available to us to correct this allocation problem.

16 **Q. CAN YOU PLEASE SUMMARIZE YOUR RECOMMENDATION?**

17 A. Yes. We recommend that this Commission adopt the "loop is a loop"
18 approach based on the equivalent number of copper pairs required for each
19 service. This approach is conceptually more appealing because it allows
20 the same allocation techniques to be used in all portions of the network.
21 Further, and most importantly, this approach is competitively neutral and
22 is based on the concept of elements rather than services. Therefore, we
23 have used this methodology in restating BellSouth's filing.

1 *The BSTLM does not create the most efficient network routing within a CSA*

2 **Q. HOW DOES THE BSTLM POTENTIALLY OVERSTATE THE**
3 **NETWORK FACILITIES PLACED?**

4 A. The BSTLM methodology originates the minimum spanning road tree
5 "MSRT" from the "root node," which is the road intersection closest to the
6 central office. The MSRT then branches out in multiple directions to
7 create the MSRT for the wire center. The map in Exhibit JCD/BFP-12
8 (from Mr. Stegeman's May 15, 2000 presentation) illustrates the MSRT
9 from the central office. This map illustrates that the MSRT branches out
10 in three directions from the root node (identified by the square in the
11 center of the map) closest to the central office.

12 However, the BSTLM fails to employ this same methodology when
13 branching out from DLC locations. Instead, it relies on the same MSRT
14 used in developing the feeder network. In other words, the BSTLM does
15 not reconstruct the MSRT based on DLC locations and may therefore
16 artificially restrict the number of customers that can be served by a single
17 DLC. This may occur because the MSRT will not split a route the same
18 way that the MSRT will split at the central office. The maps in Exhibit
19 JCD/BFP-13 illustrate this point. These two maps (edited from Mr.
20 Stegeman's May 15, 2000 presentation) show the current design of a CSA
21 based on the original MSRT produced by the BSTLM, and also show an
22 alternative routing solution. The map on the left illustrates the circuitous
23 routing (highlighted in a wide, dark line) that the BSTLM generates based

1 on the original MSRT from the central office location. The map on the
2 right illustrates that allowing the MSRT to split after the DLC may allow
3 more direct routing to many of the terminal locations. By not allowing
4 this more direct routing methodology, the BSTLM artificially increases
5 the loop lengths to many of these customers.

6 This circuitous routing has two practical implications. First, customers
7 served by a given DLC may exceed a copper length threshold thereby
8 triggering either 24-gauge copper or extended range line cards. Because
9 of the cost impacts of these two triggers, the more efficient solution may
10 be to use the more direct routing shown in the map on the right. Second,
11 by precluding the more direct routing design, the BSTLM may fail to
12 include as many customers on a DLC as may otherwise be possible --
13 thereby creating too many serving areas, too much feeder plant and too
14 many expensive DLC equipment installations, each with its own common
15 equipment costs. It is possible that (in the particular example chosen by
16 the BSTLM developers) the more direct routing may not have created a
17 more efficient network design; however, it is likely that the current
18 methodology does overstate costs in many serving areas. Because
19 BellSouth has not provided us the information necessary to produce
20 network maps, we have been unable to evaluate a sample of maps that
21 would indicate the extent of this overstatement.

1 **Q. HAVE YOU BEEN ABLE TO CORRECT THE BSTLM TO**
2 **ELIMINATE THIS CIRCUITOUS ROUTING?**

3 A. No. To date, the BSTLM developers have refused to provide the parties
4 with the underlying source code that would allow us to alter the algorithms
5 and to determine the extent of the inefficiencies created by circuitous
6 routing. Thus, the amount of plant the BSTLM creates is likely
7 overstated, but we have been unable to quantify the extent of the
8 overstatement.

9 *The BSTLM places too much drop cable*

10 **Q. ARE THE DROP LENGTHS IN THE BSTLM APPROPRIATE?**

11 A. No. The BSTLM drop calculations are based on assuming rectilinear
12 routing from the drop/distribution terminal to the customer's NID.
13 However, drop terminals typically run from the corner of the lot to the
14 NID located on the customer's house. By assuming the drop terminal will
15 extend to the center of the front of the lot and then run perpendicular to the
16 front of the customer's house, the BSTLM consistently overstates this
17 distance. The diagram in Exhibit JCD/BFP-14 illustrates the difference in
18 these distances.

19 As the above diagrams show, significantly less cable is required when
20 typical, real-world routing is used from the corner of the customer's lot to
21 the NID. The BSTLM should be modified to reduce drop investment by
22 21.7 percent.

1 Q. HAVE YOU BEEN ABLE TO CORRECT THIS
2 OVERSTATEMENT IN THE BSTLM?

3 A. Again, we have been unable to modify the BSTLM algorithms because
4 BellSouth has refused to provide the source code in a format that would
5 allow us to correct this problem. This Commission should require
6 BellSouth to fix this obvious overstatement in the BSTLM.

7 The BSCC distorts land and building investment

8 Q. HOW DOES THE BSCC DEVELOP LAND AND BUILDING
9 INVESTMENT?

10 A. The BSCC develops land and building investment by applying a factor to
11 other investments in the BSCC, specifically DLC investment. This
12 process assumes that required land and building investment is directly
13 proportional to these underlying investments. However, this is not an
14 appropriate way to develop investment because it assumes that two
15 different types of plug-in cards, which are each exactly the same size,
16 would require different amounts of land and building investment.
17 Consider the following example:

18 ***Begin Proprietary***

- 19 • xxx
- 20 xxx
- 21 • xxx
- 22 xxx

1 XX
 2 XX
 3 xxxxx *****End Proprietary***** This makes no sense, because both cards
 4 are identical in size and therefore require identical land and building
 5 investment.

6 **Q. HOW WOULD YOU PROPOSE TO FIX THIS PROBLEM?**

7 A. The current problem is created by the way BSCC calculates land and
 8 building investment. Unfortunately, BellSouth has not provided us with a
 9 way to correct this error in the BSCC. This Commission should require
 10 BellSouth to use a more appropriate methodology for allocating land and
 11 building investment. Two possible options would be to calculate land and
 12 building investment based on equipment size or to apply a fixed land and
 13 building investment per line.

14 **IV. RESULTS AND CONCLUSION**

15 **Q. WHAT ARE THE RESULTS OF YOUR ANALYSES?**

16 A. The testimony of Jeffrey A. King discusses the pricing proposals based on
 17 our restatements of the BSTLM and the associated components of the
 18 BSCC. The table in Exhibit JCD/BFP-15 provides the results of our
 19 restatement for a few selected loop-related elements.

20 **Q. WHY DO YOUR RESTATEMENTS SHOW SUCH SIGNIFICANT
 21 REDUCTIONS TO BELL SOUTH'S PROPOSED PRICES?**

22 A. Simply put, the BSTLM, with the adjustments we identify above,
 23 estimates reasonable investment based on the underlying network. A

1 more appropriate question is “Why does BellSouth’s filing of the BSTLM,
2 which produces far less plant than the BCPM, yield costs similar to those
3 from the BCPM.” The answer is that BellSouth’s filing of the BSTLM
4 and the associated BSCC relies on a series of factors that artificially inflate
5 investments.

6 As Exhibit JCD/BFP-3 in our testimony illustrates, the BSTLM produces
7 27% fewer route miles than the BCPM and requires less than half the
8 number of DLCs as the BCPM. Therefore, one would expect that the
9 BSTLM should produce significantly less investment, and costs, than the
10 BCPM. Eliminating these factors and relying on the inputs that this
11 Commission previously adopted in the USF proceeding produces much
12 more reasonable results.

13 **Q. WILL YOU PLEASE SUMMARIZE YOUR TESTIMONY?**

14 A. Our testimony addresses several flaws in the BSTLM and the BSCC that
15 need to be corrected. Specifically, we urge this Commission to:

- 16 ● Use BellSouth’s “Combo” scenario to reflect use of integrated digital
17 loop carrier systems;
- 18 ● Use the cost of capital recommended by Mr. Hirshleifer;
- 19 ● Use the depreciation lives recommended by Mr. Majoros;
- 20 ● Use the plant-specific factors recommended by Mr. Darnell;
- 21 ● Use the expense development factors recommended by Mr. Darnell;
- 22 ● Reject BellSouth’s attempts to double-count the effects of inflation;
- 23 ● Reject BellSouth’s installation and engineering factors and rely on the
24 Commission’s prior unit-cost determinations;

- 1 • Reject BellSouth's installation and engineering factors for DLC
2 equipment and rely on the more appropriate factors we have
3 developed;
- 4 • Require BellSouth to modify the DLC algorithms to select the more
5 efficient DLC vendor (Vendor 'A' or Vendor 'B') for each individual
6 DLC unit;
- 7 • Adjust the loop length criteria to reflect the most efficient network
8 design consistent with the Commission's decision in the USF
9 proceeding;
- 10 • Reject BellSouth's misallocation of DLC common equipment
11 investment and fiber facility investment based on DS0 capacity and
12 treat a loop as a loop;
- 13 • Require BellSouth to evaluate and correct the routing algorithms to
14 eliminate the circuitous routing that may result from the MSRT
15 approach;
- 16 • Require BellSouth to correct the drop calculations and eliminate the
17 perpendicular drop assumption embedded in the BSTLM;
- 18 • Require BellSouth to correct the land and building investment
19 calculations.

20 Until all of the flaws we have identified above have been corrected in the
21 BSTLM and the BSCC (including those within the model's algorithms
22 that we have been unable to modify to date), the costs we develop in our
23 restatement of BellSouth's models should be considered conservative and
24 used as an upper limit for reasonable rates.

25 We believe that, once these flaws are corrected, the BSTLM can be used
26 to calculate the costs of unbundled network elements for BellSouth-
27 Florida.

28 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

29 **A.** Yes, it does.

1 **SUPPLEMENTAL REBUTTAL TESTIMONY OF**
2 **JOHN C. DONOVAN**
3 **AND**
4 **BRIAN F. PITKIN**
5 **ON BEHALF OF AT&T COMMUNICATIONS OF THE SOUTHERN**
6 **STATES, INC.**
7 **and**
8 **MCI WORLDCOM**
9 **DOCKET NO. 990649-TP**
10 **AUGUST 28, 2000**

11

12 **I. INTRODUCTION**13 **Q. PLEASE STATE YOUR NAMES AND BUSINESS ADDRESSES.**

14 A. My name is John C. Donovan. I am President of Telecom Visions, Inc., a
15 telecommunications consulting company. My business address is 11
16 Osborne Road, Garden City, NY 11530.

17 My name is Brian F. Pitkin. I am a Director of Klick, Kent &
18 Allen, Inc. ("KKA"), an economic and financial consulting firm. KKA, a
19 wholly owned subsidiary of FTI Consulting, Inc., is located at 66 Canal
20 Center Plaza, Suite 670, Alexandria, Virginia 22314.

1 **Q. ARE YOU THE SAME JOHN C. DONOVAN AND BRIAN F.**
2 **PITKIN THAT FILED REBUTTAL TESTIMONY IN THIS**
3 **PROCEEDING ON JULY 31, 2000?**

4 A. Yes, we are.

5 **Q. WHAT IS THE PURPOSE OF YOUR SUPPLEMENTAL**
6 **REBUTTAL TESTIMONY?**

7 A. The purpose of our Supplemental Rebuttal testimony is to address those
8 issues that have arisen “due to BellSouth’s changes to its cost studies.”
9 (Order Modifying Procedure, Docket No. 990649-TP, Order No. PSC-00-
10 1335-PCO-TP, issued July 24, 2000) As such, we have limited our
11 Supplemental Rebuttal testimony to address BellSouth’s Rebuttal
12 testimony only to the extent it refers to model modifications that were
13 purportedly based a meeting we had with BellSouth on July 7, 2000. Our
14 testimony, however, should not be interpreted as agreeing with any of
15 BellSouth’s Rebuttal testimony that we do not specifically address in this
16 testimony.

17 **Q. HOW IS YOUR TESTIMONY ORGANIZED?**

18 A. In Section II, we describe how BellSouth mislead the Commission and the
19 parties into believing that its revised cost studies are primarily based on
20 discussions that James Stegeman and BellSouth employees had during a
21 July 7, 2000 meeting with Brian Pitkin, even though only *one* of Mr.
22 Pitkin's recommendations that would affect costs resulted in a BellSouth
23 modification. In Section III, we address BellSouth’s responses to each of

1 the modifications proposed in our meeting that were the purported basis
2 for BellSouth's revised filings. In Section IV, we describe why the actions
3 of BellSouth have resulted in our not yet being able to restate BellSouth's
4 cost studies for this filing. In Section V, we summarize our testimony and
5 make certain recommendations to this Commission.

6 **II. NATURE OF BELLSOUTH'S MODIFICATIONS**

7 **Q. DID BRIAN PITKIN MEET WITH BELLSOUTH TO DISCUSS**
8 **CHANGES TO BELLSOUTH'S MODEL?**

9 A. Yes. On July 7, 2000 Brian Pitkin met with Daonne Caldwell, Bob
10 McKight and Jim Stegeman to discuss changes we would like to see
11 implemented in the BellSouth Telecommunications Loop Model[©]
12 ("BSTLM") and the BellSouth Cost Calculator[©] ("BSCC").

13 **Q. WHAT WAS THE PURPOSE OF THE JULY 7TH MEETING?**

14 A. The purpose of this meeting was to address our concerns with the version
15 of the model that was filed in Florida, and to work on alleviating these
16 issues before another version was filed in other states in BellSouth's
17 region. It is important to understand that the nature of the meeting was to
18 identify potential changes that would impact BellSouth's filing of the
19 BSTLM on a going forward basis to eliminate some areas of dispute in the
20 future.

21 **Q. WHAT ISSUES WERE ADDRESSED AT THIS MEETING?**

1 A. During this meeting, twenty issues with the BSTLM and the BSCC were
2 identified by Mr. Pitkin. Some of those issues impacted the ability to run
3 the model, some addressed the flexibility of the model, some related to the
4 ease of use of the model, and five issues had potential cost implications.

5 **Q. WHAT ARE THE FIVE COST-RELATED ISSUES IDENTIFIED**
6 **AT THE MEETING?**

7 A. The five issues¹ described at the meeting that would impact costs are:

- 8 ● Drop Lengths (described on pages 42 and 43 of our Rebuttal
9 testimony);
- 10 ● Minimum Spanning Road Tree (“MSRT”) Routing from the Digital
11 Loop Carrier (“DLC”) (described on pages 40 through 42 of our
12 Rebuttal testimony);
- 13 ● Land and Building Factors (described on pages 43 and 44 of our
14 Rebuttal testimony);
- 15 ● DLC and SONET Vendor Mix (described on pages 28 through 30 of
16 our Rebuttal testimony); and
- 17 ● Allocation of Shared Facilities - DS0 Equivalents (described on pages
18 35 through 39 of our Rebuttal testimony).

¹ BellSouth also opened up the model to allow the user to see and adjust the structure inputs although BellSouth’s revised filing did not use this additional functionality. We have not had sufficient time to examine these inputs and modify them for our Supplemental Rebuttal testimony. Therefore, this modification did not have any cost impact on either BellSouth’s filing or our Supplemental Rebuttal filing.

1 In short, the only issue raised at the meeting that BellSouth has addressed
2 in its revised filing is the issue of drop lengths.

3 **Q. DO BELLSOUTH'S REVISED COST STUDIES ADDRESS YOUR**
4 **CONCERNS?**

5 A. Absolutely not. Although we were certainly interested in having
6 BellSouth increase the speed of the BSTLM, reduce the likelihood of
7 BSTLM and BSCC software crashes, improve the reporting and operating
8 of the BSTLM and the BSCC, and enhance the flexibility of the models in
9 future filings, these certainly are not the critical issues impacting this
10 proceeding in Florida, because we have already endured such problems
11 while preparing our original Rebuttal filing. Instead, BellSouth has only
12 implemented *one* of the changes we recommended that affects the cost
13 results of its original filing and we do not believe that change was
14 implemented correctly. BellSouth also made other modifications that
15 may have involved significant amounts of time and resources on its part;
16 however, our criticism is that BellSouth chose not to implement the
17 modifications that were likely to impact costs. It is clear to us that the
18 more important adjustments were those that could impact the cost and
19 price of UNEs.

20 The vast majority of BellSouth's revisions are a blatant attempt to
21 slip in last-minute modifications in this proceeding. In fact, the majority
22 of BellSouth's substantive revisions are *not* modifications to the model at
23 all -- they are modifications to *inputs* used by the model. AT&T and

1 WorldCom would have objected to this late submission much earlier had
2 we not been misled by BellSouth's claims that the new cost studies were
3 prompted by our July 7, 2000 meeting. In addition, BellSouth's July 26,
4 2000 filing on the status of Cost Study Revisions indicated that they were
5 evaluating the changes we described above. Specifically, BellSouth
6 included the issues of 1) drop design, 2) increased DLC and SONET
7 vendor mix selection flexibility, and 3) increased allocation options for
8 DLC common equipment and fiber. These are the only issues where we
9 will suggest specific modifications to BellSouth's revised filing in light of
10 BellSouth's failure to fulfill these corrections.

11 **III. SPECIFIC MODIFICATIONS**

12 **Q. CAN YOU PLEASE EXPLAIN BELLSOUTH'S RESPONSE TO**
13 **EACH OF THE MODIFICATIONS YOU SUGGESTED?**

14 A. Yes. In the sections below, we will address all five of the changes that we
15 proposed to BellSouth regarding the BSTLM and the BSCC.

16 **Q. WHAT WAS BELLSOUTH'S RESPONSE TO YOUR**
17 **SUGGESTION REGARDING DROP LENGTHS IN THE BSTLM?**

18 A. This is the one modification that BellSouth actually ~~attempted to make~~ ^{made}
19 based on our suggestions. Mr. Stegeman states, "the user is now able to
20 select the method used to route the drop. By selecting the appropriate
21 value for the input, the drop is either run rectilinearly or at an angle from
22 the corner of the lot. BellSouth chose to use the angled drop approach in

1 the August 16th, 2000 filing.” (Stegeman Rebuttal at 3) Mr. Stegeman
2 then continues to state “the realized impact of the drop routing change is
3 minimal as it only changes costs by less than a penny a month.”
4 (Stegeman Rebuttal at 4)

5 **Q. DO YOU AGREE WITH BELLSOUTH’S IMPLEMENTATION OF**
6 **THIS CORRECTION?**

7 A. No. Mr. Stegeman’s clearly states, “[i]n reality, the model’s approach to
8 DTBT [*Drop Terminal Block Terminal*] placements results in some DTs
9 [*Drop Terminals*] being placed directly in front of a customer’s location.”
10 (Stegeman Rebuttal at 4) Drops are almost never placed directly in front
11 of a customer’s house. Mr. Stegeman’s comment that “[i]n reality, the
12 model’s approach” is certainly not the same as saying “in reality, an
13 engineer’s approach.” Thus, BellSouth’s correction to the error we
14 identified in our meeting does not adequately address the problem. The
15 BSTLM should always assume that the drop is placed at the corner of a
16 customer’s lot.

17 Further, Mr. Stegeman states, “some DTs [are] placed so that the
18 drop route must run in front of other customer lots” and uses this as a basis
19 for refuting our contention that the drop distance is overstated by 21.7
20 percent. However, our analysis clearly includes the assumption that the
21 average drop does indeed run in front of other customer lots (see Exhibit
22 No. ____ (JCD/BFP-14) to our Rebuttal testimony). If we did not make

1 this assumption, we would have recommended a drop distance reduction
2 of 28.6 percent.

3 **Q. WHAT IMPACT DID BELL SOUTH'S CORRECTION ACTUALLY**
4 **HAVE ON THE DROP DISTANCE?**

5 A. The BSTLM originally filed by BellSouth produced an average drop
6 distance of 115 feet based on Microsoft Access queries provided to us by
7 BellSouth. Using the same queries, BellSouth's new drop distance
8 averages 98 feet -- a 15.0 percent reduction. It is troubling that Mr.
9 Stegeman views a 15.0 percent reduction in the average drop distance as
10 minimal, and it is equally troubling that BellSouth's cost studies only
11 result in a one penny reduction for this correction.

12 **Q. WHAT SHOULD THIS COMMISSION DO TO CORRECT THIS**
13 **PROBLEM?**

14 A. It is unfortunate that BellSouth did not implement this adjustment
15 correctly as we had hoped it would. It is also unfortunate that BellSouth
16 has refused to provide the parties with a version of the source code that
17 would allow the user to make these adjustments themselves. However,
18 this Commission and the parties are left with no other alternative than to
19 make these adjustments as best we can. Therefore, we have implemented
20 an adjustment to BellSouth's "InvestLogic.xls" file to manually reduce
21 drop investment by 21.7 percent based on BellSouth's original algorithms.
22 We see no need to use BellSouth's flawed methodology as the starting
23 point for our adjustment, particularly in light of the minimal impact Mr.

1 Stegeman refers to in his testimony. The specific adjustments to this file
2 are described in Exhibit No. ____ (JCD/BFP-16).

3 **Q. WHAT WAS BELLSOUTH'S RESPONSE TO YOUR**
4 **SUGGESTION REGARDING THE MSRT ROUTING FROM THE**
5 **DLC?**

6 A. Mr. Stegeman merely asserts that our criticisms stem from the fact that the
7 original documentation was not clear. However, Mr. Stegeman's updated
8 documentation actually helps to illustrate our point and, therefore, our
9 criticisms remain valid. Mr. Stegeman's updated documentation states
10 "[i]t is important to note that the location of the source node plays a
11 significant part in the resulting configuration of the MSRT. Using the
12 algorithm to connect the same set of points to two different source nodes
13 may produce two different MSRTs." (Stegeman Rebuttal at 12)

14 **Q. HOW DOES THIS TESTIMONY HELP TO ILLUSTRATE YOUR**
15 **CONCERN ABOUT THE WAY THE BSTLM IMPLEMENTS THE**
16 **MSRT ALGORITHMS?**

17 A. As our Rebuttal testimony discusses, the MSRT algorithms are likely to
18 lead to inefficient network design precisely because the BSTLM does not
19 use different points for the MRST source nodes. By relying on the switch
20 as the source node for carrier serving area ("CSA") construction, the
21 BSTLM ignores the critical factor of routing the customers back to the
22 DLC location and instead uses the switch as a proxy for this calculation.
23 In other words, the customers that are served by a given DLC do not

1 follow the true MSRT path back to the DLC but follow a proxy MSRT
2 path back to the switch. Mr. Stegeman acknowledges that the current
3 implementation would likely produce a different MSRT solution than if
4 the source nodes for each CSA were set at the DLC, as we believe is the
5 appropriate methodology.

6 **Q. WHAT SHOULD THIS COMMISSION DO TO CORRECT THIS**
7 **PROBLEM?**

8 A. Again, this Commission and the parties are not able to adjust the BSTLM
9 to correct this problem. While we cannot recommend a specific
10 adjustment to the BSTLM to correct this problem, we encourage the
11 Commission to recognize that network requirements of the BSTLM are
12 not optimal and are therefore likely to result in overstated costs.
13 Therefore, this Commission should recognize that the BSTLM results are
14 likely too high and therefore should be considered the maximum costs of
15 constructing the network and are not truly the least-cost solution.

16 **Q. WHAT WAS BELLSOUTH'S RESPONSE TO YOUR**
17 **SUGGESTION REGARDING THE LAND AND BUILDING**
18 **FACTORS USED IN THE BSCC?**

19 A. Ms. Caldwell appears to generally agree with our arguments by stating
20 "two plug-in cards of the same size should require relatively the same
21 amount of central office-related land and building space." (Caldwell
22 Rebuttal at 42) Ms. Caldwell then dismisses our criticism by stating,
23 "there is no feasible way to measure the exact size of every conceivable

1 type of plug-in card and other central office-related equipment.” (Caldwell
2 Rebuttal at 42 and 43) She further continues to argue that the “land and
3 building loading factors potentially overstate the costs for ‘high cost/small
4 size’ central office equipment”, and surprisingly claims that this is offset
5 because “they also potentially understate the costs for ‘low cost/large size’
6 central office equipment (a point ignored by Mr. Donovan and Mr.
7 Pitkin).” (Caldwell Rebuttal at 43)

8 **Q. DOES MS. CALDWELL’S CRITICISM ADEQUATELY ADDRESS**
9 **THE CONCERNS YOU EXPRESSED IN YOUR MEETING?**

10 A. No. The exact point we raised in our meeting is the same point we raised
11 in our Rebuttal testimony, which is that the factor approach overstates the
12 costs of some more advanced services and understates the costs of basic
13 local telephone service, because advanced services generally involve
14 expensive high density equipment. Neither our suggestion at the meeting
15 nor our Rebuttal testimony suggests that the total land and building cost is
16 inappropriate, but that the costs are inappropriately assigned. While we
17 understand Ms. Caldwell’s concern that “there is no feasible way to
18 measure the exact size of every conceivable type of plug-in card and other
19 central office-related equipment,” (Caldwell Rebuttal at 43) we simply
20 requested that BellSouth provide the user a way to apply land and building
21 costs based *either* on the equipment size *or* on the cost per-line.

1 Again, we did not request that BellSouth modify its original position on
2 this issue, but merely requested that BellSouth provide the functionality
3 for the user to have the flexibility to apply land and building costs in a
4 more appropriate fashion to avoid the “shifting” of costs that Ms. Caldwell
5 admits in her Rebuttal testimony. Ms. Caldwell’s argument that the
6 overstatements and understatements offset each other are not valid given
7 that the overstatements occur for a subset of UNEs and the
8 understatements occur for a different subset of UNEs.

9 **Q. WHAT SHOULD THIS COMMISSION DO TO CORRECT THIS**
10 **PROBLEM?**

11 A. Again, this Commission and the parties are not able to adjust the BSCC to
12 correct this problem. In addition, we have not been able to find a
13 satisfactory solution to implement a correction to this problem. We
14 recommend that this Commission recognize that the land and building
15 costs of advanced services are overstated and the land and building costs
16 of basic service are understated.

17 **Q. WHAT WAS BELLSOUTH’S RESPONSE TO YOUR**
18 **SUGGESTION REGARDING THE DLC AND SONET**
19 **EQUIPMENT VENDOR MIX?**

20 A. Mr. Stegeman simply dismisses our concerns about the DLC selection
21 criteria without validation. This adjustment appeared to be fairly easy to
22 fix and one that we expected BellSouth to incorporate in its revised filing.
23 BellSouth’s refusal to make this adjustment is particularly perplexing

1 because Mr. Stegeman admits that the “current DLC costing approach in
2 the BSTLM uses a melded cost at each DLC location. While this
3 approach does not reflect the reality that a single vendor is typically used
4 at each location, it does represent the true proportion of vendor equipment
5 installed in the state of Florida.” (Stegeman Rebuttal at 5) He then
6 explains BellSouth’s refusal to implement our suggestion because it “may
7 be too simplistic and does not reflect the real proportion of vendor
8 equipment installed in Florida by BST, nor the engineering rationale
9 beyond cost.” (Stegeman Rebuttal at 5 and 6)

10 **Q. IS MR. STEGEMAN’S EXPLANATION VALID?**

11 A. Absolutely not. As Mr. Stegeman is well aware, the BSTLM constructs a
12 network from scratch. BellSouth elected to submit this cost proxy model
13 and elected to continue with this proceeding using a model that purports to
14 use an efficient (forward-looking) design. The model is not intended to
15 replicate the exact facilities that BellSouth currently has in place;
16 however, the model should use the correct, efficient technology required at
17 each individual location. There is no justification for using a melded cost
18 when BellSouth does not use a melded DLC at any location. Further, Mr.
19 Stegeman admits that the “DLC vendor selection is not only a function of
20 material cost, but also a function of installation costs, maintenance costs,
21 and efficient deployment criteria.” (Stegeman Rebuttal at 6)

1 The approach we identified in our meeting and in our Rebuttal testimony
2 does address all of these issues. First, because BellSouth uses factors for
3 all installation costs, the lower material costs will result in the lower
4 installation costs. Second, the maintenance costs for each technology will
5 be similar because maintenance costs are based on ARMIS (or FRC)
6 accounts. Therefore, our proposal of using the lower-cost DLC equipment
7 at each location fulfills these requirements set forth by Mr. Stegeman.
8 Finally, while we are not aware of any other “efficient deployment
9 criteria” that Mr. Stegeman has in mind, BellSouth uses both vendors and
10 each one should satisfy BellSouth’s standards for deployment. Therefore,
11 the correct DLC technology should be based on the least-cost solution at
12 each individual DLC location.

13 **Q. HOW WOULD YOU PROPOSE THE COMMISSION CORRECT**
14 **THIS PROBLEM?**

15 A. As we stated earlier, we fully expected BellSouth to implement this simple
16 correction based on its representations. Thus, we did not attempt to
17 modify the BSTLM to correct this error in our rebuttal testimony.
18 Although BellSouth failed to implement this correction, which we were
19 led to believe was going to happen, BellSouth should not be allowed to
20 continue with this clear overstatement of costs. Therefore, we have
21 modified the BSTLM “InvestLogic.xls” file to choose the more efficient
22 DLC vendor at each location. The specific adjustments to this file are
23 described in Exhibit No. ____ (JCD/BFP-17).

1 **Q. WHAT WAS BELLSOUTH'S RESPONSE TO YOUR**
2 **SUGGESTION REGARDING THE ALLOCATION OF SHARED**
3 **FACILITIES?**

4 A. BellSouth again failed to correct this problem that we were led to believe
5 would be fixed in its revised filing. Instead, BellSouth simply chose to
6 ignore this problem by citing our acknowledgement that "by appropriately
7 adjusting down the DS0 equivalents for the allocation we most likely have
8 also adjusted down the capacity requirements of the DLC optical
9 equipment." (Donovan/Pitkin Rebuttal at 39) Thus, BellSouth appears to
10 be betting that this Commission will simply accept its allocation
11 methodology that artificially inflates UNE costs for advanced services
12 because a bias might result.

13 **Q. IS MR. STEGEMAN'S POSITION CORRECT?**

14 A. No. Ironically, BellSouth asserts that a bias is created by potentially
15 underbuilding the network but has no problem advocating a methodology
16 that introduces a bias that raises the cost of advanced service UNEs and
17 impedes competition for these advanced service offerings to the
18 consumers of Florida. This Commission must simply determine which
19 approach is more acceptable. In either case, the bias inherent in
20 BellSouth's methodology and our proposed correction primarily impact
21 the advanced service UNEs. Simply put, under either scenario, the model
22 will produce the correct investment associated with basic service.
23 Therefore, this Commission's decision impacts the prices for more

1 advanced services and the level of competition to provide those services in
2 Florida.

3 **Q. IS MR. STEGEMAN'S POSITION CONSISTENT WITH HIS**
4 **POSITION IN OTHER PROCEEDINGS?**

5 A. No. BellSouth's refusal to allocate investments based on the number of
6 loops is especially disconcerting because that is exactly what BellSouth is
7 proposing in the Georgia Universal Service Fund proceeding.
8 Specifically, Mr. Stegeman's testimony in that proceeding advocates
9 adjusting "ARMIS inputs to levels that reflect BST's actual special access
10 pair equivalents, rather than special access derived channel equivalents."
11 (Direct Testimony of Mr. James Stegeman on Behalf of BellSouth
12 Telecommunications, Inc.; before the Georgia Public Service
13 Commission, Docket No. 5825-U, August 1, 2000) In effect, Mr.
14 Stegeman's argument in the Georgia proceeding directly conflicts with his
15 proposal in this proceeding, because he is adjusting the ARMIS line
16 counts to reflect pairs rather than DS0 equivalents. Thus, his methodology
17 in Georgia will allocate all common DLC investment and all fiber
18 investment based on copper pairs instead of DS0 capacity. We generally
19 agree with the adjustment Mr. Stegeman is making in Georgia and believe
20 that this is also the correct approach that should be taken in Florida --
21 allocating investments based on the number of copper pairs required to
22 provide the service.

1 **Q. SHOULD THIS COMMISSION ACCEPT MR. STEGEMAN'S**
2 **POSITION?**

3 A. No. BellSouth gambled that this Commission will accept its original
4 proposal rather than give the user the flexibility to allocate investments in
5 a more reasonable fashion. This Commission should not reward
6 BellSouth for its decision and should accept the position we advocate in
7 our Rebuttal testimony. Any potential bias created by a reduction in the
8 costs of advanced services is a better alternative than a bias that artificially
9 inflates the costs of advanced services and impeding competitive
10 alternatives for providing such services -- especially since BellSouth had
11 the opportunity to correct this problem but knowingly chose not to
12 implement it.

13 **IV. STATUS OF MODIFICATIONS AND REVISED RESULTS**

14 **Q. HAVE YOU BEEN ABLE TO RESTATE BELLSOUTH'S LATEST**
15 **COST STUDIES TO REFLECT THE CHANGES YOU**
16 **DESCRIBED ABOVE?**

17 A. Not at this time. We are working to file our revised results based on
18 BellSouth's new submission. However, this process still takes some time
19 with BellSouth's models. Specifically, we need to re-run several
20 sensitivities based on BellSouth's new submission.

1 **Q. WHY DO YOU NEED TO PERFORM SENSITIVITY RUNS FOR**
2 **YOUR REVISED FILING?**

3 A. As Ms. Caldwell correctly points out in her Rebuttal testimony “BellSouth
4 inadvertently set all extended range line card costs equal to the normal line
5 card cost.” (Caldwell Rebuttal at 24) These inputs impacted our analysis
6 of the appropriate loop lengths and mix of loop technologies that would be
7 required in the BSTLM. Our Rebuttal testimony states, “[t]here are two
8 sets of inputs that could be used in determining the network architecture.
9 The most appropriate architecture should be the solution that results in the
10 lower-cost network design.” (Donovan/Pitkin Rebuttal at 32) Our
11 testimony then states “[b]ased on sensitivity runs we have conducted, the
12 second option (i.e., using extended range line cards above 13,000 feet with
13 a maximum loop length of 16,800 feet on 26-gauge copper cable, with no
14 24-gauge copper cable) is the more economical choice.” (Donovan/Pitkin
15 Rebuttal at 32) BellSouth’s new inputs, however, require that we re-run
16 our sensitivity analyses to determine which is the more appropriate
17 solution. We have not yet completed these runs. However, we will
18 perform these sensitivity runs based on the two network architectures
19 described in our Rebuttal testimony and use the more appropriate solution
20 in our restatement of BellSouth’s costs.

21 **Q. ARE YOU CONCERNED THAT BELL SOUTH WILL NOT HAVE**
22 **AMPLE OPPORTUNITY TO EVALUATE THE CHANGES YOU**

1 **ARE GOING TO MAKE IN YOUR REVISED RESULTS OF ITS**
2 **MODELS?**

3 A. No. We have identified every change we are going to make to BellSouth's
4 filing. In short, these changes are the same as we made in our initial filing
5 with the following exceptions:

- 6 • We are going to adjust the drop calculations in the BSTLM by
7 adjusting down the resulting costs by 21.7 percent;
- 8 • We are going to adjust the DLC vendor calculations to reflect the
9 standard engineering practice of selecting the more appropriate single
10 vendor at each DLC location; and
- 11 • We will use the more appropriate loop length criteria in our revised
12 filing.

13 Thus, each and every adjustment we are going to make has been fully
14 explained and articulated in this Supplemental Rebuttal testimony. The
15 only piece of information that is missing are the results of our runs that we
16 will provide as soon as they are available.

17 **IV. CONCLUSION**

18 **Q. CAN YOU PLEASE SUMMARIZE YOUR VIEWS OF**
19 **BELLSOUTH'S REVISED COST STUDY FILING?**

20 A. Yes. BellSouth's revised cost studies do not reflect the changes BellSouth
21 implied would be incorporated in its revised filing. As such, we were
22 severely misled as to the adjustments BellSouth was going to make based

1 on BellSouth's representations. We have limited our areas of focus to
2 those issues that were raised in our meeting with BellSouth that actually
3 impact costs. From our standpoint, BellSouth lured this Commission into
4 allowing revised cost studies based on its assurance that the revisions were
5 to address the issues raised at our meeting with BellSouth. With one
6 minor exception, BellSouth did not address those issues but instead used
7 its refiling opportunity as an excuse to substantially modify its inputs, non-
8 recurring costs, and other cost studies which were not issues discussed
9 during our meeting.

10 **Q. HOW WOULD YOU RECOMMEND THIS COMMISSION**
11 **HANDLE BELLSOUTH'S REVISED FILING?**

12 A. We recommend that this Commission either reject all evidence submitted
13 by BellSouth in its revised filing or allow us to make the corrections
14 identified in this testimony to address BellSouth's revised filings and to
15 address those issues we were misled into believing would be corrected in
16 this revised filing.

17 **Q. DOES THIS CONCLUDE YOUR SUPPLEMENTAL REBUTTAL**
18 **TESTIMONY?**

19 A. Yes.

1 BY MR. LAMOUREUX:

2 Q And with that, do you have summaries of your
3 testimony?

4 A (By Mr. Donovan) Yes, we do.

5 Q Would you give your summary now, please?

6 A (By Mr. Donovan) Yes.

7 Good morning, Commissioners. My name is John
8 Donovan, and I'm an independent consultant appearing on
9 behalf of AT&T and Worldcom.

10 I have over 30 years of hands-on experience in
11 planning, engineering, and building outside plant. I've
12 done repair, I've done detailed engineering. I've also
13 developed methods to take time in motion studies and
14 convert them into total costs of installed outside plant
15 for the entire bell system.

16 In addition to doing it with my own hands, I've
17 also written the methods and procedures that are used by
18 major regional bell operating companies. And I've served
19 as an adjunct professor of telecommunications for New York
20 City Technical College. I offer my help to this
21 Commission based on real world hands-on experience.

22 Inputs are very important. My clients, AT&T and
23 Worldcom, have decided to litigate the minimal number of
24 inputs. They've made the technical decision to accept
25 most of the input values that this Commission already

1 decided in the USF case as already being examined and
2 decided.

3 I worked with Mr. Pitkin on inputs. He's the
4 model person. I know what it takes to engineer, place and
5 splice. And, I think, the values previously adopted by
6 this Commission are, frankly, conservatively high, a bit
7 higher than I would pick, but they're workable.

8 BellSouth has made the technical decision to
9 fight for each input; material multipliers and inflation,
10 do that anew, all the things that they seemed to have lost
11 in the USF proceeding. I will discuss just two input
12 issues that are especially troublesome to me from a
13 technical perspective. Those two issues are the use of
14 material multipliers and DSO equivalents.

15 First is in-place material multipliers.
16 BellSouth's excuse for using in-place material multipliers
17 rests on the claim that they're not so bad, because as
18 Ms. Caldwell admits, the in-place material multipliers
19 distort the cost of big cables with lots of pairs, but
20 it's not bad, because the model doesn't place that many
21 cables with lots of pairs.

22 Well, I think, really that's a heck of a thing
23 to do, especially when you can fix it by just setting the
24 material multiplier to 1.0 and putting the right installed
25 cost directly into the model for each one of the cable

1 types and pair sizes.

2 This Commission already examined this before in
3 the USF case, and we're sponsoring this Commission's cable
4 input cost values. For example, I produced the deposition
5 exhibit that clearly and simply shows that a 400-pair
6 cable takes 20% more labor than a 25-pair cable, not 8 or
7 9 times or 800 to 900% more. This is important. It has a
8 large effect.

9 I believe that this Commission should dig deeply
10 into the in-place material multipliers carefully. It
11 makes no difference to accept what BellSouth admits may be
12 okay on average, but it's very wrong by cable size and by
13 geographic area.

14 The same in-place material multiplier issue
15 applies to digital loop carrier. BellSouth's in-place DLC
16 factor results in thousands and thousands of hours to
17 engineer and to install a box that's been preassembled at
18 the factory, so that it can be dropped into place in the
19 field. And I quote, in my direct testimony, an item
20 directly from the manufacturer itself that says this is
21 how they build the cabinets preassembled.

22 Now, switching to DSO equivalents. Mr. Stegeman
23 said yesterday that the size of a DLC remote terminal is
24 driven by the number of DSOs. That is incorrect on a
25 physical and a technical basis, and I address this in my

1 rebuttal testimony.

2 The size of the remote terminal box depends on
3 the number of slots in the common equipment channel bank
4 assembly. There are 56 slots in each channel bank
5 assembly.

6 And the neat thing about this equipment is that
7 I can stick either a POTS card in that slot or I can stick
8 a DS1 card in that slot. It makes no sense to charge an
9 ALEC 24 times the POTS price for common equipment and
10 structure when the only difference is which card I stick
11 in that slot.

12 The same applies -- the same logic applies to
13 fiber, because fiber, essentially, Commissioners, has
14 virtually unlimited bandwidth. As for the structure, the
15 fiber cable's only a half an inch thick, about as thick as
16 my thumb. Whether it contains 12 fibers or whether it
17 contains 216 fibers, the cable is very small. It doesn't
18 take any difference in structure whatsoever, because the
19 cable is really very light and very thin.

20 Two extra items. I just want this Commission to
21 know that you don't have to run an integrated DLC through
22 a digital cross connect or DACS system to unbundle a loop.
23 And second, you can put two vendors on a ring so that you
24 can put a low-density DLC at a small line count location,
25 and you can put a high DLC -- a high-count DLC at a

1 high-density location, not homogenizing both the high and
2 low-density cabinets as BellSouth claims is necessary in
3 their model.

4 I'd now like to introduce Brian Pitkin.

5 A (By Mr. Pitkin) Thank you. Good morning. My
6 name is Brian Pitkin. And my job is, essentially, working
7 with cost models.

8 As all of you are aware and likely believe, AT&T
9 and Worldcom have decided to use BellSouth's cost models
10 in this proceeding instead of sponsoring a competing cost
11 model. Our testimony addresses our concerns with
12 BellSouth's model, but for the purposes of this opening
13 statement, I'm going to focus on just a few issues, loop
14 investments resulting from the model, model inputs and
15 assumptions, and the allocation of investment.

16 Let me start out by making a couple of
17 observations about the model results. BellSouth appears
18 proud of the fact that the BSTLM results in similar, if
19 not higher, investments than the BCPM.

20 I am at a complete loss as to how BellSouth can
21 sponsor these results, considering that the BSTLM
22 constructs 3/4 of the route miles of the BCPM and less
23 than half the number of DLCs. Given these facts,
24 BellSouth's results simply do not make any sense. This
25 troubles me, and I hope this troubles the Commission as

1 well.

2 How does this happen? How can a model that
3 requires much less equipment produce increased investment?
4 Well, BellSouth uses a series of loadings to artificially
5 overstate the results, including inflation factors and
6 in-plant loadings. All I'm going to say about BellSouth's
7 double count of inflation is that it's incorrect. This
8 Commission rejected it in the USF proceeding, and this
9 Commission should reject it again.

10 As far as in-plant factors, which are simply
11 multipliers to material investment and are also called
12 linear loading factors, they were also previously rejected
13 by this Commission and should be rejected again.

14 We heard Ms. Caldwell testify the distortion
15 may occur by the use of linear loading factors. However,
16 she asserts that these distortions, which result in
17 installation costs 8 or 9 times which they should be for
18 larger cable sizes, average out in the end.

19 It's essential to recognize that in this
20 proceeding we're talking about deaveraged rates. Thus,
21 any arguments about these distortions averaging out in the
22 end are invalid and inappropriate. These distortions will
23 result in inaccurate deaveraged costs and distort the
24 cost-based rates.

25 In other words, loading factor approach will

1 yield wrong rates for every single deaveraged UNE. Thus,
2 BellSouth's use of these loading factors does not reflect
3 BellSouth's forward-looking installed material costs,
4 because the distortions that Ms. Caldwell recognizes and
5 this approach eliminates any possibility that BellSouth's
6 proposed inputs reflect BellSouth's forward-looking costs
7 for each type of material and, therefore, cannot reflect
8 BellSouth's cost in each zone.

9 If we can fix this problem, we should. The
10 model already has the capability to eliminate this
11 distortion, but BellSouth has chosen not to use this
12 functionality. Using this Commission's inputs that were
13 determined in the USF order fixes this problem. Linear
14 loading factors were not appropriate then, and they are
15 not appropriate now.

16 It is also, important to recognize the purpose
17 of the act, which is promoting competition, would be
18 violated if the ILEC were allowed to recover inefficient
19 practices or gold-plating of the network. We urge this
20 Commission to promote competition by using realistic
21 inputs that are not based on inaccurate loading factors;
22 inputs such as those adopted by the Commission in a USF
23 proceeding, inputs that have been scrutinized by the
24 parties and Staff and considered by this Commission in the
25 USF order. They are also the only independent inputs

1 offered in this proceeding.

2 In short, using reasonably-efficient inputs and
3 assumptions that are achievable by any operator in
4 Florida, such as BellSouth and Sprint, is the appropriate
5 criteria. In other words, the inputs decided by this
6 Commission in the USF proceeding reflect reasonable
7 assumptions about what is achievable by any operator in
8 Florida, including BellSouth.

9 In addition, the inputs ordered by this
10 Commission in the USF order reflect installed investments
11 and relieves this Commission of having to rely on linear
12 loading factors that admittedly distort costs, especially
13 when we're talking about deaveraged UNEs and deaveraging
14 the rates. And also could severely distort the costs in
15 certain scenarios that BellSouth has put forth in this
16 proceeding.

17 Finally, I want to -- the final issue I want to
18 address is a method BellSouth uses to allocate common
19 equipment and investment and structure investment to the
20 underlying services.

21 BellSouth, in this proceeding, uses a
22 methodology of allocating investments based on DSO
23 equivalents or the capacity of certain services. This
24 methodology lowers the investment associated with POTS
25 services and increases the investment associated with

1 advanced services.

2 It's important to note that BellSouth used the
3 exact opposite methodology in the USF proceeding, thereby,
4 raising the investment associated with POTS services and
5 lowering the investment associated with advanced services,
6 which are not -- and those investments are not subject to
7 universal service obligations.

8 They also just recently advocated allocating
9 investments on a per-pair basis in the Georgia USF
10 proceeding, a methodology that we support and one that is
11 directly at odds with what BellSouth is proposing here in
12 this proceeding.

13 First, recognize that Mr. Stegeman admitted that
14 any allocation of fiber investment and the associated
15 structure is arbitrary. Given this, consistency in the
16 USF methodology and the methodology used in this
17 proceeding is the most important consideration.

18 We must ask ourselves, why is BellSouth
19 advocating one methodology in USF proceedings allocating
20 based on pairs and another methodology in UNE proceedings
21 allocating based on DSOs?

22 The answers that BellSouth is maximizing the
23 investment POTS services in USF proceedings to increase
24 the universal service requirements and maximizing the
25 investment in advanced services in this proceeding, which

1 will have the impact of limiting competition for those
2 services. This Commission should not allow BellSouth to
3 manipulate the cost studies from proceeding to proceeding
4 to maximize their interests in each issue.

5 This Commission must use a consistent
6 methodology for both USF and UNEs. It's important to
7 recognize that this is a huge cost issue, largely due to
8 the relative amounts of POTS services and advanced
9 services.

10 As Mr. Stegeman states in his testimony, these
11 advanced services comprise less than 1% of the total
12 services. This means that a small shift of investment
13 from POTS services to advanced services has an enormous
14 impact on the cost for advanced services, which are
15 separate UNEs and separate rate elements in this
16 proceeding.

17 Again, the argument that these costs average out
18 doesn't -- in the end, doesn't apply, because we're
19 talking about separate rates for separate UNEs that are
20 being shifted. We are aware that BellSouth has raised a
21 concern of a bias in results that we proposed. As
22 Mr. Stegeman confirmed on the stand, the extent of a bias
23 is based on what this Commission considers to be the
24 correct starting point.

25 If this Commission, as we believe it should,

1 continues to use its previously-determined methodology of
2 allocating investment, based on the number of pairs,
3 Mr. Stegeman's methodology significantly biases results by
4 18% for POTS services and 885% for advanced services for
5 those portions of the shared investment that are being
6 allocated.

7 It seems pretty clear that BellSouth's
8 methodology biases results much more than 3% Mr. Stegeman
9 asserts is inherent in our methodology. It should also be
10 noted that BellSouth could have implemented a correction
11 for this bias by making our suggested corrections to the
12 BSTLM, but it chose not to.

13 To summarize, we urge this Commission to use the
14 methodology adopted in the USF proceeding, which is
15 allocating investment based on the number of pairs to be
16 consistent with its prior determination and allow
17 competition for advanced services.

18 In conclusion, this Commission should reject the
19 use of inflation factors and linear loading factors that
20 they have already rejected in the USF proceeding and,
21 instead, rely on the inputs that were scrutinized in that
22 proceeding and adopted by this Commission.

23 In addition, the Commission should use the same
24 allocation of investment as used in the USF proceeding and
25 not allow BellSouth to distort the system by using

1 opposing methodologies to both maximize USF support and
2 inflate the cost of advanced services.

3 Finally, this Commission should seriously
4 consider how a model that builds substantially less
5 facilities than the BCPM can possibly result in similar
6 investment. Thank you.

7 MR. LAMOUREUX: The witnesses are available for
8 cross examination.

9 CHAIRMAN DEASON: Mr. McGlothlin, any questions?
10 I'm going to work down this way. Questions?

11 MR. MCGLOTHLIN: No, sir.

12 MS. BOONE: No.

13 MR. FONS: No.

14 MR. ROSS: Thank you, Mr. Chairman.

15 CROSS EXAMINATION

16 BY MR. ROSS:

17 Q Good morning, gentlemen. Mr. Pitkin, I'd like
18 to start with you and the issue you raised about the
19 allocation based on DSO or lines. And I believe you, in
20 your summary, accused BellSouth of being inconsistent in
21 this case and in a universal service proceeding in
22 Georgia; is that correct?

23 A (By Mr. Pitkin) Yes, and inconsistent with what
24 was previously adopted by this Commission.

25 Q Would you agree with me that the model that

1 BellSouth is using in this proceeding is the BSTLM?

2 A Yes, I'll agree with that.

3 Q Would you agree with me that the model that it
4 has issued in the universal service proceeding in Georgia
5 is the FCC HCPM model?

6 A It's the synthesis model, yes.

7 Q You discussed the test -- well, let me ask it
8 this way.

9 To your knowledge, do the models deal with the
10 ability to allocate shared facilities differently?

11 A Well, they're slightly different, but the
12 concepts are very similar. You have a certain amount of
13 investment in equipment and in structure. And the issue
14 is how that investment is going to be allocated. Well,
15 they are somewhat different in the way they construct
16 these.

17 In the proceeding in Georgia, which is the
18 universal service proceeding, they are allocating the cost
19 of the DS1 type facilities, the higher-capacity
20 facilities, based on the number of pairs, thereby, putting
21 more costs on the POTS service, which will increase the
22 universal service fund. That's exactly the opposite of
23 the methodology they're using here to allocate the
24 investments in those shared services.

25 Q My question was about the model, Mr. Pitkin.

1 The HCPM or synthesis model allocates shared costs based
2 on lines; does it not?

3 A It depends what inputs you use. It allocates
4 the shared cost either based on DSOs, if those are used as
5 inputs to the model or based on the number of lines, if
6 those are used into the model.

7 What BellSouth has done in that proceeding is
8 taken out the number of DSOs and instead, put in the
9 number of physical copper loops. So, they are -- they
10 actually changed the inputs in the synthesis model so that
11 the allocation would be based on facilities or a number of
12 pairs rather than DSO equivalents.

13 Q In your prefiled supplemental rebuttal testimony
14 about the Georgia proceeding, did you mention anywhere at
15 all the fact that there are two different models, the
16 federal synthesis model at issue in Georgia and the BSTLM
17 at issue here?

18 A I'm looking. I'm not sure if I directly
19 mentioned the names of the models or not.

20 Q Did you do it indirectly?

21 A I'm sorry?

22 Q Did you mention it indirectly?

23 A No. I don't think I mentioned the names of the
24 models in the testimony.

25 Q I'm not a universal service expert, Mr. Pitkin,

1 but I had always understood that the purpose of universal
2 service was to determine the cost of basic local exchange
3 service; is that correct?

4 A That's true. But in considering the cost of
5 basic local exchange service, you're intended and required
6 to take into account of the full economies of scale and
7 scope of the incumbents network, which means you have to
8 consider all of the services offered over those network,
9 including advanced services.

10 Therefore, the investments include the
11 investments for all of that capacity, and then the
12 question is how you're allocating it out. And in that
13 proceeding, the allocation methodology is increasing the
14 amount that is attributed to POTS service relative to what
15 BellSouth is sponsoring in this proceeding.

16 Q Let me ask it this way, Mr. Pitkin. In the
17 universal service proceeding using the HCPM synthesis
18 model, is the Georgia Commission going to calculate the
19 cost of, let's say, a DS3 loop?

20 A No. They aren't going to determine the cost of
21 a DS3 loop, but they are going to consider those loops in
22 both the investment and the cost. So, the more costs that
23 are attributed to those DS3 loops, for example, if you
24 were allocating based on DSOs would reduce the amount of
25 investment that's allocated to POTS, but that's not the

1 methodology that BellSouth used in that proceeding.

2 Q Isn't it true that the HCPM model will only
3 calculate the cost of basic local exchange service?

4 A Yes. It will only calculate the cost of basic
5 local exchange service. But it calculates the
6 investments, including the advanced services and DS1s, and
7 then allocates that total investments to the underlying
8 services, nothing different, fundamentally, from what is
9 happening here in the BSTLM.

10 Q The dispute, basically, is how you allocate
11 shared facilities, either between pairs or DSO
12 equivalents, correct, Mr. Pitkin?

13 A Yes, it is.

14 Q And isn't it correct that a customer who has a
15 DS1 line uses more capacity on a DLC system than a
16 customer who just has a DSO?

17 A That question should be directed to Mr. Donovan.
18 He's the engineering expert.

19 Q Mr. Donovan, is it correct that a customer who
20 has a DS1 line uses more capacity on a DLC system than a
21 customer who just has a DSO?

22 A (By Mr. Donovan) Yes, but you're mixing apples
23 and oranges. The reason you're mixing apples and oranges,
24 and this is reflected in BellSouth's own engineering
25 practice, is that DSOs served by a digital loop carrier

1 system in a forward-looking technology, GR303, which has
2 been around for almost 10 years, really does traffic
3 management.

4 So that when a subscriber goes off hook, some
5 portion of the bandwidth is seized during the duration of
6 that call and then is released back again; whereas, a DS1
7 service uses the entire bandwidth. The way the BSTLM
8 model is structured there are sufficient numbers --
9 there's a sufficient amount of bandwidth such that as many
10 as -- well, they're using 84 DS1s in total for one ring.

11 And, in fact, each remote terminal may use as
12 few as one DS1 out of that bandwidth and may use as many
13 as, perhaps, 10 or 12. So, it's really an apples and
14 oranges comparison.

15 The fact of the matter is, yes, the DS1, because
16 it's a locked in piece of bandwidth, does use more. But
17 that bandwidth is already there and lying fallow, because
18 of the traffic management used in digital loop carrier
19 systems for DSO.

20 Q How many time slots are there on a DLC system?

21 A How many time slots are there?

22 Q Yes.

23 A On an OC3, there are normally 84 DS1 equivalent
24 bandwidth time slots.

25 Q Okay.

1 A Now, I would have to say that if you're going to
2 allocate the entire bandwidth to a dedicated -- if
3 everyone picked up their phone at once, which is not how
4 the bell system or any other company has designed it,
5 that's no traffic engineering at all; if all subscribers
6 picked up their telephone at once on that system, then
7 2,016 subscribers could all pick up their phone at one
8 time and that would be the capacity of the system.

9 Q And you said 84 DS1 equivalents. How many DSO
10 equivalents would be represented on that OC3 system?

11 A If they were locked up full time as the
12 hypothetical example of everyone picking up their
13 telephone? Is that what you're asking?

14 Q Yes. I'm asking, what is the DSO capacity of
15 the OC3 DLC system you just mentioned?

16 A 2,016 DSO equivalents, if everyone picked up
17 their phone at the same time. Otherwise, based on traffic
18 engineering, then, it's probably in the neighborhood of 6
19 times that many or about 12,000 slots using traffic
20 engineering studies.

21 Q And one DSO takes up about 1/2,016th capacity on
22 the OC3 system you just mentioned?

23 A When it's off hook.

24 Q Okay. And one DS1 would take up 1/84th of
25 capacity on that system?

1 A It takes up 1/84th but, as I mentioned, the way
2 the systems are designed, they're actually designed so
3 that for -- they're designed normally, based on 4 to 6
4 DSIs per 672 telephone lines at the other end. So, the
5 total capacity -- that changes it to about the 1/12th
6 thousandth of a capacity using traffic engineering.

7 Q Mr. Pitkin, I'd like to discuss with you some of
8 the issues raised in the supplemental rebuttal testimony
9 dealing with the modifications to the BSTLM.

10 And as, I believe, you indicated in your
11 rebuttal -- I'm sorry, at your deposition, you wrote or
12 drafted the supplemental rebuttal testimony; is that
13 correct?

14 A (By Mr. Pitkin) I did.

15 Q In your supplemental rebuttal, you discuss a
16 meeting between yourself and representatives of BellSouth
17 on July 7, 2000, to discuss certain modifications to the
18 BSTLM that you were proposing; is that correct?

19 A That is correct.

20 Q Is it fair to say that at that meeting BellSouth
21 committed to reviewing all of the modifications that you
22 had proposed and to get back to you accordingly?

23 A My recollection is that BellSouth said that they
24 would take a look at them. I don't recall any commitment
25 to get back to me on their decisions on them.

1 Q Is it fair to say that BellSouth did not commit
2 to making any specific modifications at the July 7
3 meeting?

4 A Yes, that's fair.

5 Q Would you also agree that on July 26th, 2000,
6 BellSouth advised the Commission and the parties that it
7 would be making certain revisions to its cost studies, a
8 number of which were unrelated to any matters that were
9 discussed with you and BellSouth on July 7th?

10 A I wasn't a participant in that meeting. It's my
11 understanding that BellSouth said that -- referenced our
12 meeting and said that some of the issues that we addressed
13 were going to be incorporated in that revised study.

14 Q I'm sorry. Are you aware that BellSouth wrote a
15 letter to all the parties dated July 26th, filed it with
16 the Commission, identifying a number of changes that
17 BellSouth intended to make to its cost studies, a number
18 of which were unrelated to any issues that you had raised
19 at the July 7 meeting?

20 A If you can bear with me one second, I'm going to
21 find that letter. I can't seem to find it, but that does
22 sound correct, yes.

23 Q Okay. If you could look at your supplemental
24 rebuttal testimony on page 2, where you accuse BellSouth
25 of misleading the Commission into believing that its

1 revised cost studies were primarily based on discussions
2 that were had on July 7. Could you explain, specifically,
3 how it is you believe BellSouth misled this Commission?

4 A As I believe I mentioned in the deposition, this
5 was not intended to reflect that I believe that BellSouth
6 intentionally misled this Commission. Essentially, I was
7 misled. And I feel, based on conversations that I had,
8 that Staff may have been misled about the nature of the
9 revisions. And that's really what this was trying to get.
10 So, I have absolutely no idea, and certainly didn't mean
11 to imply that BellSouth was intentionally trying to
12 mislead this Commission.

13 Now, that being said, I don't know if at some
14 point after BellSouth made its initial filing on potential
15 modifications that they made a tactical decision not to
16 address certain issues, but going in and especially
17 considering some of the memorandum they sent out, I think,
18 initially, they did intend to make a number of changes.

19 Q I'm sorry, Mr. Pitkin. Who at BellSouth,
20 specifically, misled you into believing the revisions that
21 BellSouth intended to make to its cost studies were
22 primarily based on the July 7 meeting?

23 A I had no direct conversations with anybody at
24 BellSouth. It was based on comments that were told to me
25 from people at both AT&T and Worldcom regarding a meeting

1 in Kentucky on the BSTLM, regarding a meeting here talking
2 about filing revised cost studies and based on some
3 conversations with Staff.

4 Q So, nobody at BellSouth misled you, and you did
5 not participate in any specific meetings where anybody
6 from BellSouth was present that said anything about the
7 changes that BellSouth was making to its cost studies; is
8 that fair?

9 A This was all based on what was told to me by
10 other people, that's correct.

11 Q Even though we discussed this at your
12 deposition, you didn't feel compelled to modify your
13 testimony at all to eliminate the reference or the
14 accusation that BellSouth has misled this Commission?

15 A It also could be read I was misled by
16 BellSouth's comments.

17 Q Okay.

18 A But, like I said, I had no intention of saying
19 that this was an intentional act by BellSouth to mislead
20 anybody. I don't know what else to say about it.

21 Q You were asked to, at your deposition, to
22 provide a late-filed exhibit identifying all the specific
23 changes and issues that were discussed with BellSouth
24 indicating which ones were implemented and which ones were
25 not, correct?

1 A Yes, that's correct.

2 Q And on your exhibit, you identified 20
3 particular items that were discussed. And you have some
4 in the implemented and revision column. And, I believe,
5 this is in the record already, you have a question mark,
6 which I take to mean you don't know whether BellSouth
7 implemented it or not.

8 A That's correct. Those three items had to do
9 with documentation. And given the timing of the revised
10 studies and the fact that we had to run BellSouth's model,
11 I did not have time to review all of the documentation to
12 find these items.

13 Now, that being said, I have reviewed
14 Ms. Caldwell's deposition, late-filed exhibit, item number
15 9, that does state that those three question marks should
16 be yeses.

17 Q Okay. Well, as far as the actual items that you
18 say were implemented, as I count them, you indicate 6 or 7
19 of the 20 were actually implemented; is that correct?

20 A Yes. And with those three that would move it, I
21 believe, up to 10.

22 Q Did you say that issue number one has been
23 implemented?

24 A I say yes and no. BellSouth did implement a
25 change. We just don't agree with the way the change was

1 made.

2 Q Okay. How many of the 20 items that were
3 discussed do you now say BellSouth has actually
4 implemented?

5 A I'd say they have implemented 9 fully and --
6 well, 9 fully and one other, just not to our satisfaction.

7 Q Do you remember at your deposition when I asked
8 you how many of the items that you had discussed BellSouth
9 implemented, that you testified that BellSouth had
10 implemented a majority of them, probably between 50 and
11 70%?

12 A Yes.

13 Q And you're now changing that testimony?

14 A No, because many of the issues identified here,
15 for example, producing the GIS input with the filings and
16 removing password protection were not anything that was
17 part of this proceeding. That was for the next time the
18 model was filed in another state.

19 The purpose of this July 7th meeting was not at
20 all to discuss revisions to the BSTLM for this proceeding.
21 It was intended to discuss revisions that we'd like to see
22 in other states, so we didn't have to relitigate these
23 issues in every state going forward.

24 This is the first time this model's been filed
25 that it's been reviewed. So, this was going forward we

1 wanted to avoid dealing with many of the same issues over
2 and over. So, all of these items here don't apply to what
3 was done in the revised filing in this proceeding.

4 Q I'm confused. And I don't want to belabor this
5 point, but at your deposition you said of the 20 items you
6 mentioned, BellSouth implemented a majority, probably
7 between 50 and 70%; is that correct?

8 A That's correct, and they have to the issues that
9 are actually relevant to this proceeding.

10 Q Oh, I see. So, your response to my question,
11 which of the 20 items you listed, you were only talking
12 about what were relevant to this proceeding?

13 A I didn't go down a list and count. It was an
14 estimate. And it turns out 50%, I guess, 50 to 70, and I
15 was considering the things that didn't apply to this
16 proceeding, that 50 to 70% is about right.

17 Q You say you have read Ms. Caldwell's late-filed
18 exhibit where BellSouth has indicated that it has actually
19 implemented 14 of the 18 items that were discussed?

20 A I have. And the point I'm trying to make is
21 many of the issues she did not -- many of the issues that
22 were not made, for example, adjusting the land and
23 building, the DLC vendor mix selection that DLC common and
24 hard wire equipment costs and allocations, those are the
25 issues that impact costs in the model.

1 And while virtually all of the other issues
2 Ms. Caldwell says have been completed, the cost ones
3 aren't. And to me, it seems like that's an odd priority
4 to use in making corrections to a model. It seems like
5 you ought to fix the things that impact costs first.

6 Q Is it a little easier to make some of these
7 changes rather than some of the programming changes that
8 are necessary to implement some of the issues that you
9 raise that effect costs?

10 A Well, they're all programming changes. We have
11 not been given the ability to modify the source code, so I
12 have not gone through and evaluated how hard adjusting all
13 of these things are.

14 Q Well, removing passwords doesn't take that much
15 time, does it?

16 A I'm sorry, could you repeat that?

17 Q Yes. Removing passwords was one of the issues
18 you raised. It doesn't take that much effort, does it?

19 A No, certainly that one doesn't. But there were
20 passwords -- she says it's completed, the files that I got
21 were still password protected, so I would disagree with
22 that. I would also disagree with the MSRT routing issue
23 that Ms. Caldwell says has been completed. So,
24 essentially, the argument is that they've clarified the
25 document, but they haven't fixed the circuitous routing

1 that exists within the BSTLM.

2 Q Mr. Donovan -- I'm sorry, Mr. Pitkin, you
3 mentioned in your testimony or your summary that you
4 thought that BellSouth may have strategically decided not
5 to implement certain changes for its own reasons. Did I
6 fairly characterize your statement?

7 A I have no idea whether BellSouth made any of
8 those strategic decisions or not. They certainly could
9 have after they filed the list of things that it were
10 considering, which certainly shows an intent. And most of
11 these issues were on the list of things that BellSouth was
12 considering making.

13 When they filed their first list of things that
14 they were evaluating, many of these issues were on there.
15 So, they were certainly evaluating them and may have
16 planned on implementing them. It is possible that as
17 BellSouth was going through it, they said, "Gee, this is
18 really going to impact cost. We don't want to do this at
19 this point and time." I just don't know.

20 Q Did BellSouth do that? Do you have any
21 knowledge that BellSouth made a change, ran the
22 sensitivity and then decided, "Hey, we don't want to do
23 this"?

24 A BellSouth wouldn't have actually had to make the
25 change in order to decide that they didn't want to do it.

1 I've done a couple draft, back-of-the-envelope
2 calculations, for example, on the DSO allocation issue.
3 And one could just do some backhand calculations and say,
4 hey, wow, this could reduce the advanced services cost by
5 50%. It doesn't have to be implemented in order to make
6 that strategic decision.

7 Q I'll ask my question again and ask if you could
8 answer with a yes or no, and then provide whatever
9 explanation you need.

10 Do you have any information to suggest that
11 BellSouth strategically decided not to make a specific
12 change that you recommended because it might have an
13 adverse effect on cost?

14 A No, I don't, but I also don't believe that was
15 your question, because you asked me if BellSouth ran
16 sensitivities. And the point I was trying to make is
17 BellSouth doesn't have to run sensitivities to determine
18 that something's going to have an adverse effect on costs.

19 Q Let's talk about another issue you raised in
20 your summary, which was your allegation that BellSouth was
21 double counting inflation. Is that one of the issues you
22 discussed?

23 A Yes, it is.

24 Q And your view is that the nominal cost of
25 capital compensates BellSouth adequately for the effects

1 of inflation; is that correct?

2 A Absolutely. This is a revenue -- what this
3 comes down to is calculating the rate that needs to be
4 recovered to compensate BellSouth for all the cost. The
5 nominal cost of capital, in those calculations, is a
6 direct cost that BellSouth needs to be compensated for.
7 Therefore, inflation is already included in that nominal
8 cost of capital and is already a direct cost that is
9 included in the rates.

10 Q I think, you actually used the term revenue
11 requirement in your prefiled testimony; is that correct?

12 A That's right. It's a revenue requirement
13 problem.

14 Q Revenue requirement sort of sounds like a rate
15 of return proceeding; is that correct?

16 A It is.

17 Q And that's what this is?

18 A Well, to the extent that you are guaranteed to
19 recover whatever cost of capital is put into the model,
20 what you're doing is bringing out what rate is required to
21 recover that cost of capital.

22 That is not saying that this Commission has gone
23 to BellSouth's books and historically evaluated the
24 revenue requirements based on their embedded investment,
25 because the investments here are forward-looking

1 investments.

2 So, it's not the traditional rate-of-return
3 regulation. However, by including the nominal cost of
4 capital in the analysis, you are guaranteed to recover
5 that cost of capital, and that cost of capital does
6 include inflation.

7 Q Would you agree that the cost of capital is a
8 measure of return that investors would expect on an
9 investment with certain risk characteristics?

10 A Yes, and that return needs to compensate them
11 for inflation.

12 Q And this return is measured on an annual basis,
13 correct?

14 A Normally, when you're talking about the cost of
15 capital it is, yes.

16 Q Okay. I'm going to hand you out just a couple
17 sheets with a hypothetical. I thought this might expedite
18 the process.

19 MR. ROSS: And Mr. Chairman, I don't think we
20 have to mark this an exhibit, but just for illustrative
21 purposes.

22 BY MR. ROSS:

23 Q And take a minute to read over the assumptions
24 and page 2, which illustrates year one's financials. Have
25 you had a chance to review this hypothetical?

1 A (By Mr. Pitkin) I have.

2 Q And you use in your rebuttal testimony an
3 example similar to this based on an annuity; is that
4 correct?

5 A Yes, I do. And, essentially, the intent of that
6 exhibit is to show the recovery pattern over time. It's
7 impossible to analyze an investment that's going out over
8 a number of years in a one-year hypothetical.

9 Q Okay. Let's just, so the record's clear, talk
10 about the assumptions. We're assuming an equity
11 investment in a company of a million dollars. We're
12 assuming that the investor requires a 10% return on his
13 investment as the nominal cost of capital based on a 4%
14 inflation factor. And we assume that the intent of the
15 investor will be paid \$100,000 in dividends each year and
16 at the end of the 10 years sells his stock for a million
17 dollars to recover his investment.

18 And we also assume that in the first year the
19 XYZ company has certain labor costs and other costs of
20 operating. And we assume that the XYZ company is in the
21 50% tax bracket. Do you see that?

22 A I do.

23 Q Do you have any troubles with any of those
24 assumptions? Any questions about those assumptions?

25 A No, other than the fact that dividends aren't

1 usually predetermined. That's not the way markets work.

2 Q Well, when we talk about a 10% return on
3 investment, would you agree that the investor must receive
4 either in dividends or growth of his stock \$100,000 on a
5 \$1 million investment?

6 A Either one or the other. I mean, usually some
7 combination of the two.

8 Q So, yes, to have a rate of return of 10% it will
9 require either \$100,000 in dividends or some appreciation
10 of the stock, correct?

11 A I'm trying to think if it would be \$100,000
12 going out each year would constitute a 10% return over the
13 life. And I didn't bring my financial calculator up here
14 with me.

15 Q \$100,000 in dividends is 10% of a million
16 dollars, right?

17 A Right, but you're going to need some growth.

18 Q Okay.

19 A Because the revenue that is going to be earned
20 in the real world is going to increase over time.

21 Q Okay. Let's flip over to year one. Would you
22 agree that in order to return \$100,000 in dividends, XYZ
23 company is going to need revenues of \$700,000, based on
24 the assumptions we've assumed in the way of labor costs,
25 other costs and taxes.

1 A Yes. That would realize a profit of \$100,000.

2 Q Ms. White's going to hand out a year two
3 hypothetical and ask you to take a look at that. Have you
4 had a chance to look at the year two assumptions?

5 A I have.

6 Q Assuming that, again, \$700,000 in revenues and
7 assuming the 4% rate of inflation that we previously
8 posited, in year two the investor's only going to receive
9 \$92,000 in dividends, assuming no increase in revenues; is
10 that correct?

11 A Okay. But I don't agree with those assumptions.

12 Q Which assumption do you not agree with?

13 A The revenue.

14 Q Okay.

15 A Revenue tends to increase over time, which is
16 exactly the purpose of the charts that I lay out in
17 Exhibit JCD/BFP-5, page 1 of 2. It shows that revenue
18 over time increases if you are subtracting out inflation,
19 okay? So, if the cost of capital is not including
20 inflation, the revenue over time is going to increase.

21 What we are doing here is using the nominal cost
22 of capital, so it's going to be flat, but you can't adjust
23 inflation for only some components of the cash flow stream
24 and not others.

25 Q Assuming no increase in revenues, the investor

1 will not achieve his desired rate of return, correct?

2 A Revenues -- if you want to make that assumption,
3 sure, but that assumption is incorrect.

4 Q Okay, let's talk about that assumption. In the
5 context of UNEs, is it your understanding that this
6 Commission is going to establish UNE rates that will be in
7 effect for some period of time?

8 A Yes, it is.

9 Q Do you understand that when the Commission last
10 established a rate for a 2-wire analog loop, it was in
11 1996 establishing a rate of \$17?

12 A I know it's something around that, yes.

13 Q Do you understand that \$17 is still the rate
14 that BellSouth charges in the year 2000 for a 2-wire loop?

15 A I wasn't aware of that. If the nominal cost of
16 capital was used, that seems appropriate.

17 Q And how is it, if BellSouth is still charging
18 the same rate for a 2-wire loop that was established in
19 1996 in the year 2000, you would expect revenues to
20 increase?

21 A Because the way the cost of capital calculations
22 work in those years is the revenues were too high for the
23 past four years. In other words, going out over time --
24 it would be easier if I drew this.

25 Using the nominal cost of capital, what you're

1 doing, if this is "T" for time down here and over here is
2 a dollar, is you're setting a rate that is going to stay
3 flat over the entire life of the asset.

4 However, if you're using the real cost of
5 capital in each year adjusting for inflation, which is
6 more consistent with the way competitive markets actually
7 work, but is more administratively complex, what you're
8 going to see is a line that goes like that. So, the
9 revenues over time will adjust to account for inflation.

10 I'm sorry. The line that starts on the bottom
11 and goes up to the right is reflecting that over time the
12 revenues and the rates for the unbundled network elements
13 would increase over time, which is really how we see
14 things in the real world.

15 By using the nominal cost of capital, what is
16 being assumed is that the difference in the first years,
17 BellSouth is being overcompensated for, essentially,
18 leasing of the facilities, and in the latter years they
19 will be undercompensated.

20 In the piece I set out in the testimony is
21 saying that when you discount all that back, to present
22 value terms, they equal the same thing. So, it's just the
23 pattern in which BellSouth is going to be recovering their
24 investment with the changes.

25 COMMISSIONER JABER: I'm sorry. You're going to

1 have to walk me through that again, because I don't
2 understand how BellSouth, from that diagram, is
3 overcompensated now, in your opinion, and then later on
4 they'll be undercompensated. That's -- it seems like
5 you're not taking into account other factors that might
6 have an effect on the cost.

7 THE WITNESS: (By Mr. Pitkin) What I'm talking
8 about deals with the initial investment. It's important
9 to understand that these investments occur now in this
10 modeling process that we're using. So, all those caches
11 are here, there are no other costs. The investment is
12 laid out, the money is borrowed from the people who
13 require a return on that investment.

14 Operating expenses and running the network are a
15 completely different exercise from what we're talking
16 about here in this issue, okay? We are only talking about
17 investments, which is why a number of the assumptions in
18 the example don't apply, because there they're talking
19 about operating costs. We are only talking about the cost
20 of recovering the investment.

21 So, if all of that money is spent here at time
22 zero, we are talking about how that money is going to be
23 recovered over the life of the assets that are in place by
24 the model.

25 Using the real cost of capital which is,

1 essentially, the cost of capital you would expect to have
2 to pay, less a certain amount for inflation, okay, that is
3 going to give you a lower starting point. Because, as I
4 said before, the rates that are set are based -- are
5 treated -- are established using the cost of capital as a
6 direct cost of providing the service. It's the profit.
7 When everybody talks about the cost of our facilities,
8 plus a reasonable profit, we're talking about that profit
9 part, and it's treated as a direct cost. So, you're
10 establishing a rate here.

11 However, as time goes on and inflation actually
12 occurs, what you would have to do is take that number and
13 every year adjust it by some index, maybe the consumer
14 price index or the producer price index, or some index.
15 So, what you're going to see is a rate for unbundled
16 network elements that would increase each year over time
17 through the life of the asset.

18 What we are doing in this proceeding and,
19 honestly, is done in most proceedings is use the nominal
20 cost of capital, which already includes inflation. What
21 that is going to do is increase the cost calculation, that
22 profit point in year zero. But because inflation is
23 already included in that profit point, those rates that
24 BellSouth should be compensated for stay flat over the
25 life of the asset, okay?

1 And when you look at these two together, and I
2 have several charts in the rebuttal testimony, you will
3 see that over time the present value, the total worth to
4 BellSouth in today's dollars of these two revenue streams
5 are the same. And I can point those exhibits out, if
6 you'd like.

7 COMMISSIONER JABER: Okay.

8 CHAIRMAN DEASON: Mr. Pitkin, let me ask you a
9 question. I believe, what you're saying is that if we
10 establish UNE prices based upon a nominal rate, which
11 includes inflation that that results in a certain price
12 that you're saying should be fixed over a certain period
13 of time, correct?

14 THE WITNESS: (By Mr. Pitkin) Yes.

15 CHAIRMAN DEASON: Okay. And that if we were to
16 use -- if we were to ignore inflation, then there would be
17 a nominal rate without inflation, which one would assume
18 would be a lower rate of return.

19 THE WITNESS: Correct, that would be the real
20 rate of return.

21 CHAIRMAN DEASON: Right, the real rate of
22 return. So, if we establish prices of UNEs based upon the
23 real rate of return that, too, would be a stable price,
24 but it would be a price lower than that established when
25 we were using the nominal rate of return with inflation;

1 is that correct?

2 THE WITNESS: That would not be a stable price.
3 That price would have to be increased each year by some
4 inflationary index.

5 CHAIRMAN DEASON: I'm saying, but if we as
6 regulators dictated that we were going to do it without
7 inflation, that would be a lower rate of return and we say
8 we were just going to fix it for a period of time, that
9 also would be a level price, but it would be at a lower
10 level than the price we would set otherwise, correct?

11 THE WITNESS: I guess, the trouble I'm having
12 with your question is when you say fix it for a period of
13 time. If you decide not to include inflation and,
14 essentially, BellSouth's cost of providing service through
15 the cost of capital, you have to somehow find another way
16 to compensate them for it. Now, if you're talking about
17 maybe a two-year window, and you believe there's not going
18 to be any inflation in the two-year window, then that's
19 right.

20 CHAIRMAN DEASON: Okay. Just take my
21 hypothetical. If we were to do that, you would draw a
22 straight line that would be lower, correct?

23 THE WITNESS: This line right here?

24 CHAIRMAN DEASON: Yes.

25 THE WITNESS: Okay.

1 CHAIRMAN DEASON: And there's a difference
2 between those two lines, correct?

3 THE WITNESS: Correct.

4 CHAIRMAN DEASON: Now, you would agree that is
5 designed to provide the recovery of inflation to
6 BellSouth, the area between those two straight lines.

7 THE WITNESS: I'm sorry, now I understand your
8 question, exactly.

9 CHAIRMAN DEASON: And that is what you're saying
10 would be recovered. All right. Explain to me what you
11 mean.

12 THE WITNESS: The answer is yes; going out over
13 the life of the asset, this would be the compensation for
14 inflation.

15 CHAIRMAN DEASON: And you're saying that in real
16 market you would see increasing prices which the
17 difference you would overrecover in the first years and
18 underrecover in the later, but it should be -- but if we
19 assume for regulatory purposes a straight line the
20 difference between those two lines should equal out or not
21 in theory?

22 THE WITNESS: The difference between this line
23 going up and to right and this line? Yes, they should
24 equal, right. But what you cannot do, and the point I'm
25 trying to make in this analysis, is you cannot start with

1 this point, which is what BellSouth is trying to do, and
2 then go up like this. This is the line that BellSouth is
3 trying to recover.

4 CHAIRMAN DEASON: Okay, and that's my point. If
5 we were going use an inflation factor, shouldn't we start
6 the initial price at a nominal rate of return, which does
7 not include an inflation cushion?

8 THE WITNESS: If we were going to use an
9 inflation factor, that's right, then you would start with
10 this lower real rate of return.

11 CHAIRMAN DEASON: And then, we would add
12 inflation to that.

13 THE WITNESS: And then, you would add inflation
14 to that.

15 CHAIRMAN DEASON: Which would start at a lower
16 price, initially.

17 THE WITNESS: That is exactly right.

18 CHAIRMAN DEASON: Thank you.

19 BY MR. ROSS:

20 Q Mr. Pitkin, isn't it true -- and you can return
21 to your seat. I don't need anymore pictures.

22 Isn't it true that where inflation comes into
23 BellSouth's cost studies, it calculates investment by
24 taking material prices that exist, say, 1998 or 1999 in
25 inflating them to the midpoint of the three-year study

1 period?

2 A (By Mr. Pitkin) That's right, that's what
3 they're doing. And it's clearly, clearly, inappropriate.

4 Q It's so clearly inappropriate to you -- you're
5 aware that that's exactly what this Commission did when it
6 set the \$17 in 1996 for the cost of a loop?

7 A I'm not aware of what this Commission considered
8 in 1996. I was not involved in that proceeding.

9 Q Would you agree, subject to check, that this
10 Commission established UNE rates using an inflationary
11 factor just as the way BellSouth proposes to do it in the
12 this proceeding?

13 A Subject to check. It's not correct economic or
14 financial analysis.

15 Q Are you aware that this Commission also adopted
16 BellSouth's inflationary factors in 1998 and,
17 specifically, found that the use of such factors was
18 reasonable?

19 A I'd have to see how they made that
20 determination, what the order was, what the issues were,
21 if they used a real cost of capital or a nominal cost of
22 capital. I mean, there are a bunch of factors. So,
23 without seeing an order, I can't comment on why the
24 Commission made that decision.

25 MR. ROSS: May I approach the witness just

1 quickly?

2 CHAIRMAN DEASON: Yes.

3 BY MR. ROSS:

4 Q I've handed you the April 1998 order of this
5 Commission establishing rates in the arbitration with AT&T
6 and MCI and MFS. Do you see that first sentence in that
7 second paragraph, I believe, that I pointed to you?

8 A (By Mr. Pitkin) Yes, I see it.

9 Q Could you read that into the record, please?

10 A It says, "We also find that BellSouth use of
11 inflation growth factors that range from 3.4% to 5.1% is
12 reasonable."

13 I haven't seen anything telling me what cost of
14 capital they've assumed or whether these are, you know,
15 growth or inflation factors used on contract labor for
16 operating costs, which is a fundamentally different issue
17 than what we're talking about here, which is investment.

18 Q To your knowledge has this Commission ever
19 adopted a cost of capital for purpose of UNEs, other than
20 a nominal cost of capital?

21 A I'm not even sure that this is a UNE proceeding.
22 I've never seen this order before.

23 Q To your knowledge, how many proceedings have
24 AT&T and BellSouth been involved in, in this region, where
25 the price of unbundled network elements has been at issue?

1 A I have no idea.

2 Q Would you agree, subject to check, we've had
3 proceedings in every one of BellSouth's states where the
4 cost of unbundled network elements has been an issue?

5 A That would not surprise me.

6 Q To your knowledge, has this issue of double
7 counting inflation ever been raised before this
8 proceeding?

9 A I believe, it was raised in the universal
10 service proceeding, and it was rejected.

11 Q I'm sorry, my question was unbundled network
12 elements. To your knowledge, has that issue ever been
13 raised prior to this proceeding?

14 A No, but it should have. I was not involved in
15 any of the other unbundled network element proceedings.

16 Q Now, in your rebuttal testimony, you talk about
17 -- I'm at page 19. You make the statement at lines 8
18 through 10 that if nominal costs of capital are employed,
19 unit prices for material and labor used to develop the
20 total network investment must be locked in at the levels
21 initially established by the Commission. Do you see that?

22 A I'm sorry, could you refer me to the page number
23 again?

24 Q Page 19 of your rebuttal testimony, lines 8
25 through 10.

1 A Yes, I see that.

2 Q What levels initially established by the
3 Commission are you referring to?

4 A I'm not referring to any specific levels. I'm
5 talking about the price of materials. Essentially, if the
6 Commission determines that the appropriate cost of
7 building a network in 1995, for example, is "X" amount,
8 and that "X" amount was determined based on the -- certain
9 cost inputs, those cost inputs should remain in effect,
10 because that's what they should be recovering for.

11 Q So, when this Commission established UNE rates
12 in 1996, your view is that those same material prices that
13 were used in that proceeding should be used in this
14 proceeding in the year 2000?

15 A I do believe that the material prices should.
16 That does not mean that total installation costs should be
17 used to the extent that they are found to be to distort
18 results. It also does not mean that the same network
19 assumptions should be used to the extent that we are now
20 using a different model.

21 Q Well, just to be clear, when you talk about the
22 unit prices for material and labor, whatever unit prices
23 for material and labor this Commission used in 1996, your
24 view is that they should be used again in this proceeding;
25 is that correct?

1 A If the Commission determination in that
2 proceeding was right, it's my understanding that that
3 wasn't a deaveraging proceeding and, therefore, can't be
4 used in this proceeding, because the loadings in that
5 proceeding, as BellSouth asserts, average out, but they
6 cannot average out in this proceeding; therefore, they
7 can't be used in this proceeding.

8 Q Okay. So, you're not advocating that the
9 Commission used the labor and material prices that it used
10 in 1996?

11 A No, I'm not, because they can't be used in this
12 proceeding, because it would severely bias and distort
13 the results.

14 COMMISSIONER JABER: How would it do that?

15 THE WITNESS: (By Mr. Pitkin) BellSouth's
16 loading factors that they use are linear loading factors.
17 And the USF order clearly addresses this issue.

18 It assumes, for example, that -- let's say, for
19 example, that the cost of a 2,400-pair cable was 20 times
20 more than the cost of a 12-pair cable, and you have a
21 multiplier of 10 for installation cost. They're going to
22 assume that it costs \$200 more to lay that same cable, to
23 install it, than it would for a 12-pair cable.

24 BellSouth asserts that yeah, overall, all the
25 cable costs average out in the end, but the problem is

1 we're talking about deaveraging rates. The bigger cable
2 sizes are used in certain density zones and certain areas,
3 the smaller cable sizes in others.

4 So, what you're going to have is a severe
5 distortion that significantly inflates the costs and
6 investment attributed to the higher-density zones and
7 understates them to lower-density zones.

8 So, while the concept may work in an averaging
9 process where you're talking about averaged rates, when
10 you're talking about deaveraging and trying to isolate
11 costs of a specific area, they don't work at all, and they
12 can't work.

13 COMMISSIONER JABER: Use the rural areas, in
14 particular, where supplies and materials might be more
15 difficult to find by virtue of the area itself and tell me
16 how costs can be manipulated in BellSouth's favor.

17 THE WITNESS: Well, in rural areas, it wouldn't
18 necessarily be the same sort of distortion. There are a
19 number of really complex issues going on. First, the
20 rural areas, by use of their loading factors, BellSouth's
21 methodology may understate the investment a little bit,
22 okay?

23 But in contrast, there are a lot fewer customers
24 in the rural area. So, what you're talking about is the
25 extent of the distortion that's created, multiplied by the

1 number of people where that cost is distorted for.

2 Now, when you're talking about Miami, and
3 they're inflating the cost of installation by 100% where
4 the cost -- and actually, based on universal service
5 order, in some cases BellSouth is assuming installation
6 costs of \$80, but what this Commission adopted was \$20
7 based on the inputs and the order in that case.

8 You're talking about a \$60 distortion per foot
9 of cable. Now, when you multiply that \$60 distortion, and
10 you're talking about the number of customers in Miami that
11 are actually affected by that, you're talking about a
12 whole lot of customers. So, it doesn't average out in the
13 end when you're separating areas based on cost. Does that
14 help?

15 COMMISSIONER JABER: I guess, I'm just trying to
16 understand, then, the FCC's mandate to us that we should
17 deaverage zones in three areas. Is the problem the way
18 we're looking at costs or is the problem geographic
19 deaveraging?

20 THE WITNESS: The problem is -- in the universal
21 service order you had the same issue to address, unlike
22 the UNE order where -- although I haven't read it, I infer
23 that the linear loading factor approach may have been
24 used.

25 In the universal service order, you were

1 wrestled with the same issue. You're talking about
2 subsidy on a different geographic level. To do that, you
3 can never use any sort of average multipliers, because
4 you're going to be distorting the low end, you're going to
5 be distorting the high end.

6 You didn't adopt the linear loading factor in
7 that order, because it would have had those distortions,
8 because we are deaveraging here, and it's my understanding
9 at least three zones. It could be more, depending on what
10 this Commission determines, but because we are deaveraging
11 here, you can't use the loading factors either. And based
12 on the decisions you made in the universal service order,
13 the numbers that you used were installed investments.

14 So, if you use those numbers in this proceeding,
15 you don't have to -- you can get rid of the loading
16 factors and not worry about it at all. It should also be
17 noted that in those -- in the universal service order, the
18 material costs for Sprint which was, essentially, the
19 numbers you adopted and BellSouth were very similar.

20 So, it's not the material costs that are at
21 issue. BellSouth isn't being hurt in any way by using
22 Sprint's material costs. The distortion all comes from
23 the installation side. And it's that distortion that
24 we're really concerned about and will skew and bias the
25 results of the deaveraged rates.

1 BY MR. ROSS:

2 Q Mr. Pitkin, do you see any difference between
3 the exercise that this Commission has engaged in here in
4 establishing rates for unbundled network elements and the
5 exercise in establishing universal service?

6 A (By Mr. Pitkin) There are some distinctions and
7 some differences, but there are many, many similarities.
8 And the big one is that you have to determine costs on a
9 much more disaggregate basis than you ever did with an
10 overall average UNE rate.

11 Q Would you agree that in this proceeding the
12 Commission is establishing rates for unbundled network
13 elements that will, essentially, be put in interconnection
14 agreements or contracts between BellSouth and the various
15 carriers in the state of Florida?

16 A It's my understanding that what the Commission
17 orders will be used, the rate for using those elements.

18 Q And do you understand those rates will be
19 reflected in contracts between BellSouth and various
20 carriers?

21 A I don't really know how that process works after
22 the Commission makes its determinations.

23 Q When you're quoting from this Commission's
24 universal service decision on page 22 in the context of
25 indexing -- do you have that in front of you? It's your

1 rebuttal testimony, page 22.

2 A Yes, I have it in front of me.

3 Q You say on lines 18 through 20, quote, "The
4 Commission's USF decision which recognize that, quote,
5 indexing may be appropriate, for example, in a contract
6 arbitration but not in this proceeding." Do you see that?

7 A I do.

8 Q And this proceeding would be referring to the
9 universal service proceeding.

10 A Yes, but the universal service proceeding, the
11 concept is very similar. You're establishing the rates
12 for elements. In a contract arbitration, you're often
13 talking more about maintenance cost and operating costs
14 and labor costs, to a large extent, that may change over
15 time. I'm talking about investment base when I'm talking
16 about indexing.

17 Q Do you consider this -- let's assume,
18 hypothetically, that the Commission established UNE rates
19 in individual arbitrations as they did in '96 and '98.

20 A Okay.

21 Q Do you see the process of establishing rates for
22 unbundled network elements in those individual
23 arbitrations anything different than what the Commission
24 is doing here in one generic proceeding?

25 A No, except that now the rates are being

1 deaveraged.

2 Q Okay. Mr. Donovan, I've left you alone for a
3 little while. I want to make sure you earn your pay.

4 On the issue of drop lengths, which is another
5 subject, which is addressed in your testimony at page 7 of
6 your rebuttal testimony --

7 A (By Mr. Donovan) Okay.

8 Q -- lines 15 through 16, you make the statement
9 that the BSTLM should always assume that the drop is
10 placed at the corner of a customer's lot; is that correct?

11 A I'm sorry, what page was that?

12 Q Page 7 of your supplemental rebuttal, lines 15
13 through 16.

14 A I'm sorry, I was on the wrong testimony.
15 Okay.

16 Q Do you see that statement?

17 A Page 7 -- would you repeat the line number?

18 Q Yes. Line 15 through 16 where you state the
19 BSTLM should always assume that the drop is placed at the
20 corner of a customer's lot.

21 A Yes, I see that.

22 Q When we're talking about drop length, of course,
23 would you agree that the longer the drop the greater the
24 investment in those facilities?

25 A Yes.

1 Q And shouldn't this exercise be one to minimize,
2 within technical parameters and provisioning guidelines,
3 the amount of drop that you used in the network?

4 A Yes, as long as it meets what I have described
5 as generally accepted outside plant engineering practices.

6 Q Is it your view that the drop should always be
7 assumed to be placed at the corner of a lot, even if
8 placing the drop terminal directly in front of a
9 customer's location minimizes the drop length?

10 A Any witness always hesitates with the always or
11 never question. And, basically, I'm an engineer more than
12 a cross witness, but I would say that my answer to my
13 clients on this would be based on a technical perspective,
14 based on practices.

15 And the practices are, which I think anyone can
16 readily view an aerial plant is just ride down the street
17 and look, and you'll see that drops are placed normally,
18 from the corner at an angle where it hits the house.

19 To do otherwise, you would have to run the drop
20 along the strand and then attach it again to the strand
21 and run it straight in so that you would hit the front of
22 the house, which you don't normally see that. There may
23 be an exception, like a driveway is in the way, but that's
24 the exception rather than the rule.

25 To answer your question directly, you want to

1 minimize cost, but I think it's important to also follow
2 what you would typically expect to find out there.

3 Q Could you look at your Exhibit 14, please,
4 Mr. Donovan.

5 A Okay.

6 Q You have on this diagram two lots, and you are
7 purporting to represent a drop being run to the center --
8 from the center of the house to the front of the lot and
9 then down the street to the drop terminal, I suppose; is
10 that correct?

11 A Yes.

12 Q Now, what I'd like you to do is assume that the
13 BSTLM, in certain circumstances, actually places the drop
14 terminal right in front of the house so that it's 50 feet
15 away from the home. Are you with me so far?

16 A Yes.

17 Q And on your right-hand diagram, of course, you
18 would have the drop terminal some 90 feet from the
19 customer's home; is that correct?

20 A That's correct.

21 Q Would you agree that if it were more efficient
22 and would minimize the drop length that it might be
23 appropriate to place that drop terminal 50 feet, rather
24 than 90 feet away from the customer's house?

25 A Well, mathematically, that would appear to make

1 sense. What happened to the other four lots or the other
2 three lots in this cluster of customer locations?

3 Normally, a drop terminal is placed to serve a number of
4 these lots, so...

5 Q What about a customer who is all alone at the
6 end of the street who has one drop terminal?

7 A Okay.

8 Q In that circumstance, do you believe it would be
9 more efficient to place the drop terminal directly in
10 front of that customer's house rather than on a corner?

11 A As an engineer, it's unlikely that I would put
12 it smack in front of the house, even if it cost me a
13 little longer drop as an engineer. I would engineer it so
14 that it didn't have to go under a driveway or hit the
15 front door of the house.

16 So, yes, in that case it's a conservative
17 assumption that in your particular example one lot, one
18 drop terminal, one drop, then what I recommend is a more
19 expensive solution.

20 Q Now, Mr. Pitkin, you contend that the drop
21 length is actually overstated by 21.7%; is that correct?

22 A (By Mr. Pitkin) Yes.

23 Q And that calculation is based on the one
24 hypothetical customer location that's set forth in Exhibit
25 14, correct?

1 A Well, it's based on an assumption that is the
2 average customer location based on the average distance
3 produced by the model for a drop length. And the
4 assumptions about -- in the model about how far back a
5 house is from the street. So, there are assumptions in
6 there, yes. But in general, if you're talking about the
7 average drop placed by the model, the average drop is
8 overstated by 21.7%.

9 Q I just want to make sure the answer to my
10 question is clear. Your calculation of the 21.7% is based
11 on looking at this one hypothetical customer location
12 that's reflected in your Exhibit 14; is that correct?

13 A Yes, to the extent that that one hypothetical
14 customer is actually the average customer in the model.

15 Q And did you make any effort to verify whether
16 this particular customer location is, in fact, the average
17 customer location?

18 A This is the average drop distance produced by
19 the model.

20 Q Did you make any effort to identify the extent
21 to which drop length would be overstated by looking at all
22 customer locations modeled in the BSTLM, assuming that the
23 drop was routed to the corner of the lot?

24 A I'm sorry, could you please repeat that?

25 Q Yes. Did you make any effort to identify the

1 extent which drop length would be overstated by looking at
2 all customer locations modeled in the BSTLM, assuming that
3 the drop length was routed to the corner of the lot, as
4 you have proposed?

5 A The only check that I could do on that was to
6 confirm that somewhere around 3% of the total drops only
7 go to one customer. So, the number of drops that may be
8 -- using the corner lot methodology would inflate are
9 probably only 3%, and most of them would be reduced
10 significantly.

11 MR. ROSS: Mr. Chairman, may I approach the
12 witness, please?

13 CHAIRMAN DEASON: Yes.

14 BY MR. ROSS:

15 Q Mr. Pitkin, I have handed you a portion of the
16 transcript of your deposition, page 86, line 17, where I
17 asked you that exact same question that I asked you a few
18 minutes ago. And how did you answer at that time?

19 A (By Mr. Pitkin) At that time, I answered --
20 should I read this whole --

21 Q No, you can just read your answer, if you'd
22 like.

23 A There are two answers highlighted. One is,
24 "That is correct." The other one is "No, what I did was
25 use the average drop length."

1 Q Mr. Pitkin, the question beginning at line 17,
2 where I asked you did you make any effort to identify the
3 extent to which drop length would be overstated by looking
4 at all customer locations modeled in the BSTLM, assuming
5 that the drop was routed to the corner of the lot, how did
6 you answer that question at your deposition?

7 A The whole answer's not here. I said, "No. What
8 I did was use the average drop length." I went back after
9 this deposition and calculated the number of drops that go
10 to a single customer location.

11 Q Let's talk about the issue of DLC SONET
12 equipment vendor mix, which is another issue discussed in
13 your testimony. Mr. Pitkin, can I ask you to look at
14 Exhibit 17 to your supplemental rebuttal testimony. And,
15 I believe, this is a confidential exhibit, if you please.

16 If I understand it correctly, Mr. Pitkin, this
17 exhibit reflects the modifications to the logic of the
18 BSTLM to choose the most efficient DLC vendor at each
19 location; is that correct?

20 A That's correct.

21 Q And, if I understand what you've done here, the
22 modification, basically, results in the assignment of
23 vendor A to a location where the number of DSOs is less
24 than 449, otherwise, vendor B is used; is that correct?

25 A That's correct.

1 Q In this 23-page exhibit, is there any other
2 change to the BSTLM that you have made, other than what we
3 have just described?

4 A No.

5 Q And in connection with the DLC SONENT vendor mix
6 issue, have you made any other changes to the BSTLM that
7 are not reflected in Exhibit 17?

8 A No, not that I can think of.

9 Q Was there any specific analysis that you did to
10 arrive at the 449 DSO break point by which you had
11 assigned to vendor A versus vendor B?

12 A Yes. We did a similar analysis, which is shown
13 in Exhibit JCD/BFP-9 of our rebuttal testimony.

14 Q What assumptions did you make in that exhibit
15 relating to the type of plug-in cards that would be used
16 on the DLC systems?

17 A I assume, normal POTS cards.

18 Q To your knowledge, BellSouth has a mix of
19 services that require a number of different line cards,
20 correct?

21 A That's correct. And, as I believe,
22 Mr. Stegeman's testimony points out, those comprise less
23 than 1% of the services. And it would be nearly
24 impossible to do this analysis analyzing and determine a
25 break point analyzing each service. So, I used POTS

1 service which is, by far, the preponderance of the service
2 that's modeled.

3 Q But at least with respect to identifying the
4 break point between vendor A and vendor B, you did not
5 consider the full suite of services and full complement of
6 equipment that BellSouth may be buying from vendor A or
7 vendor B; is that correct?

8 A That is correct, I didn't think it was relevant.

9 Q Mr. Donovan, do you agree that DLC vendors have
10 proprietary equipment, such that you cannot mix two
11 different vendors' equipment on a single DLC system?

12 A (By Mr. Donovan) On a system, yes, that's a
13 correct statement.

14 Q So, in other words, if you buy an Alcatel, which
15 is a particular manufacturer, if you buy a remote DLC from
16 Alcatel, you could not have a Marconi time slot
17 interchanger in the central office on the same system; is
18 that correct?

19 A On the system, that's a correct statement.
20 However, you could operate it over the same fiber cable.

21 Q I'm not sure I understand that. If you have 6
22 pair of fiber that's connected to an Alcatel remote DLC,
23 can you go 6 pair of fiber be connected to a Marconi time
24 slot interchanger in the central office?

25 A I'd like to go to the board to explain my

1 answer.

2 Q Can you answer the question, then explain it to
3 the extent you want.

4 A Well, to the best of my knowledge, you cannot
5 connect 6 fibers to the Marconi multiplexer.

6 Q Well, I picked 6 just as a number. The same
7 strand of fiber, can you have it connected from an Alcatel
8 remote DLC to a Marconi time slot interchanger in the
9 central office?

10 A One fiber, no, you cannot. However, my answer
11 was with a cable, fiber cable, which has more than one
12 fiber in it, then, it is absolutely possible to have two
13 different vendors on the same SONET ring.

14 Q Okay. If I could, Mr. Pitkin, ask you to take a
15 look at a couple exhibits.

16 MR. ROSS: And Mr. Chairman, I think, just for
17 the record, I would like to go ahead and have the
18 assumptions that I earlier showed Mr. Pitkin marked as an
19 exhibit. I think that would be easier for the record. I
20 believe, Exhibit -- that would be 127.

21 CHAIRMAN DEASON: I believe, 126, but I may be
22 mistaken.

23 MR. ROSS: We are missing 122, I had on my list,
24 but I think -- maybe I'm wrong, but we may have picked up
25 with 123. However you have the --

1 CHAIRMAN DEASON: Well, I've got the list. And
2 until I'm proven wrong, I will assume I'm right. It's
3 126. 122, by the way, was prefiled exhibits accompanying
4 the testimony of witness Gillan.

5 MR. ROSS: Witness Gillan. Okay, thank you, I
6 missed that. Thank you, Mr. Chairman.

7 (Exhibit 126 marked for identification.)

8 BY MR. ROSS:

9 Q Mr. Pitkin, I have handed you a diagram, which
10 I'll represent to you is an actual run of the BSTLM model
11 representing an arrangement in West Palm Beach, Florida.
12 Do you see that?

13 A (By Mr. Pitkin) I see in the front of me, yes.

14 Q And this is the central office terminal I.D.
15 number for this particular run from the BSTLM is 2218.
16 And in this arrangement you have central office in West
17 Palm Beach serving three different remote terminals, which
18 I've labeled A, B, and C; do you see that?

19 A I do.

20 Q And in each remote I have labeled the number of
21 DSOs that are served by that particular remote terminal;
22 do you see that?

23 A I do.

24 Q Now, under your proposed modifications to the
25 BSTLM, am I correct in assuming that remote terminal C

1 will be served by vendor A, remote terminal B will be
2 served by vendor B, remote terminal A would be served by
3 vendor A, and the central office would be served by vendor
4 A; is that correct?

5 A I don't think that's correct. It's true that
6 remote terminal A and remote terminal C would be served by
7 vendor A and that those two should have the central office
8 equipment as vendor A. But remote terminal B would be
9 served by vendor B and should have central office
10 equipment back at the -- the COT equipment back at the
11 central office; that is -- I'm sorry, the central office
12 equipment for vendor B as well. So, there should be
13 consistency between the remote terminal vendors and the
14 COT vendors.

15 Q Could you show me the changes to the model in
16 your Exhibit 17, which would ensure that you actually have
17 two different DLC equipment being placed in the central
18 office by two different vendors?

19 A Page 1 through 11 are all of the calculations
20 for the remote terminal. And starting on line 116 on page
21 11, discusses central office terminal equipment. It would
22 actually be a lot easier if I could see the Excel
23 spreadsheet that does these calculations, but they both
24 use a criteria of less than 449.

25 And since these are done RT by RT basis; in

1 other words, the model brings in a remote terminal, costs
2 it, and determines the central office terminal
3 requirements for that remote terminal, and then it brings
4 in another remote terminal, costs it. So, the same
5 criteria is used for both the central office terminal part
6 and the remote terminal part.

7 Q So, you're putting in two remote -- your
8 testimony is -- your logic in this change that you're
9 making actually places two digital loop carrier systems in
10 the central office where, under BellSouth's system, only
11 one would be placed; is that correct?

12 A No, that's not true. BellSouth would be putting
13 40% of vendor A, I believe, and 60% of vendor B in the
14 central office. So, they would -- and it's the way the
15 model works. They would, in effect, be putting two
16 terminals in the central office, no different than we are
17 here.

18 Q I'm sorry. Can you point to where in the model
19 logic or where in BellSouth's methodology it,
20 specifically, says that it's going to place two different
21 DLC equipment in the central office for vendor A and
22 vendor B?

23 A Sure. If you look at proprietary Exhibit
24 JCD/BFP-10, and I won't mention the exact numbers,
25 BellSouth has a mix of vendor A equipment and a mix of

1 vendor B equipment. The way that gets used in the model
2 is it builds out vendor A equipment, both at the remote
3 terminal and at the central office terminal, and it builds
4 out vendor B equipment, both at the remote terminal and
5 the central office terminal, and it uses a mix.

6 So, not only is BellSouth saying that --
7 essentially, they are saying that they are mixing
8 equipment at each specific RT type between two different
9 vendors, and they're doing the exact same thing back at
10 the central office. "X" percent is going to be vendor A,
11 "X" percent is going to be vendor B. So, each specific
12 site and back in the central office is going to have two
13 vendors.

14 Q I'm sorry, maybe my question was unclear. I
15 understand the concept there's going to be a mix of vendor
16 A and a mix of vendor B. My question is can you point to
17 something in Ms. Caldwell's testimony, something in
18 Mr. Stegeman's testimony, something in the methodology of
19 the model where you can convince this Commission that
20 BellSouth's model puts in two DLC systems in the central
21 office, one for vendor A and one for vendor B?

22 A I could ask this Commission to look at logic of
23 the model and look to see how these vendor inputs are used
24 in the model. For obvious reasons, I understand why
25 Ms. Caldwell and Mr. Stegeman didn't directly address this

1 topic and how each RT site has two different vendors at
2 it.

3 Q Your testimony is that Mr. Stegeman did not
4 address this issue in his rebuttal testimony?

5 A I don't remember him addressing the issue of the
6 mix at each RT site. And vendor A's there and vendor B's
7 there, and they mix the cost, which overstates the cost of
8 every individual site.

9 MR. ROSS: Mr. Chairman, I'm about to move on to
10 something else. I don't know if you wanted to -- I've got
11 just a few more questions, probably about another 15
12 minutes.

13 CHAIRMAN DEASON: Continue. Are you requesting
14 a break?

15 MR. ROSS: No, I was just asking -- I'm just
16 getting ready to change subjects.

17 CHAIRMAN DEASON: We're going to take an early
18 lunch today.

19 MR. ROSS: Very good.

20 BY MR. ROSS:

21 Q Mr. Pitkin, your supplemental rebuttal testimony
22 addresses other topics regarding spanning road tree
23 routing; is that correct?

24 A (By Mr. Pitkin) Yes, it does.

25 Q But you don't propose any specific adjustments

1 to BellSouth's cost studies to address either of those
2 issues, do you?

3 A I think what I say, and if I can turn to it, and
4 if I don't say it in this testimony, I certainly say it in
5 the rebuttal, that the Commission should order BellSouth
6 to correct the model because the way it is implemented is
7 incorrect and overstates investment.

8 Q Let me just make it clear. Do you have any
9 specific adjustment for either of the two issues I just
10 asked you about in the way of reducing BellSouth's cost?

11 A Specifically, to the land and building, yes, I
12 do. I suggest that this Commission order BellSouth to
13 adjust the land and building cost to allocate the land and
14 building investments, either on a per-pair basis or a
15 per-card basis or a size of equipment basis, because the
16 methodology used right now -- if you think, for example,
17 that an advanced services card may cost \$500 per service
18 while a POTS card may cost \$100 per service, that advanced
19 service card is going to get five times the land and
20 building investment than the POTS card, even though they
21 take up about the same space. It doesn't make any sense.
22 And that methodology should be modified so the land and
23 building investment is attributed based on the amount of
24 land and building actually used by the different
25 equipment.

1 Q Let me ask you to look at your testimony,
2 Mr. Pitkin, page 12 of your supplemental rebuttal, lines
3 11 through 16, where you state that the Commission and the
4 parties are not able to adjust the BellSouth cost
5 calculator to correct this problem and that you've not
6 been able to find the satisfactory solution to implement a
7 correction to this problem, correct?

8 A That's correct. And in my rebuttal testimony,
9 page 44, lines 7 through 13, we state that this Commission
10 should require BellSouth to use a more appropriate
11 methodology for allocating land and building investment.
12 Two possible options would be to calculate land and
13 building investments based on equipment size --

14 CHAIRMAN DEASON: Excuse me. You need to slow
15 down. Start over.

16 A (By Mr. Pitkin) On page 44 of the rebuttal
17 testimony, it's actually lines 9 through 13, we state that
18 this Commission should require BellSouth to use a more
19 appropriate methodology for allocating land and building
20 investment. Two possible options would be to calculate
21 land and building investment based on equipment size or to
22 apply a fixed land and building investment per line.

23 BY MR. ROSS:

24 Q Let me ask it this way, Mr. Pitkin. The
25 proposed rates that BellSouth -- I'm sorry, that AT&T and

1 MCI are proposing in this proceeding do not reflect any
2 adjustment that you have made for this land and building
3 issue that you have raised, correct?

4 A No, they don't, because BellSouth has refused to
5 provide the parties with a version of the source code that
6 we could modify and actually implement these
7 modifications.

8 Q This is the source code to the BellSouth cost
9 calculator; is that correct?

10 A This one, specifically, is which we did not
11 request, but we did request a source code to the BellSouth
12 Telecommunications loop model, which addresses the minimum
13 spanning road tree algorithms that we were not able to
14 adjust.

15 Q So, when you just testified that BellSouth
16 refused to provide the source code to the BellSouth cost
17 calculator, what you meant to say is that AT&T and MCI
18 never requested the source code to the BellSouth cost
19 calculator; is that correct?

20 A We never requested it to the cost calculator.
21 We did request it to other portions of the model, and it
22 was refused.

23 Q And again, going back to my original question,
24 when it comes to the issue about the minimum spanning road
25 tree issue, the rates that MCI and AT&T are proposing do

1 not reflect any specific adjustment for that issue; is
2 that correct?

3 A That's correct, because we haven't been able to
4 get into the source code and modify it, as we would have
5 liked.

6 Q And with respect to both of those issues, you
7 identify them to illustrate your view that the BSTLM
8 results are, quote, too high and, quote, do not truly --
9 and are not truly the least cost solution; is that
10 correct?

11 A That is correct.

12 Q And the results that you are referring to are
13 the results that AT&T and MCI have generated using the
14 BSTLM with the other adjustments that you have made to the
15 model; is that correct?

16 A Well, actually, I'm suggesting that any rates
17 developed by -- any investments developed by this model
18 would not truly be the least cost investment. So, they
19 are somewhat conservative in their estimates of
20 investments.

21 Q Fair enough. So, you would agree -- so, your
22 position would be that the results that MCI and AT&T are
23 reflecting in their rate proposals are conservative; is
24 that correct?

25 A Somewhat.

1 Q Let's look at the 2-wire voice-grade loop. Do
2 you know what AT&T and MCI are proposing in the way of a
3 statewide average for that particular element?

4 A I don't have that number on me. I believe, it's
5 an exhibit to Mr. King's testimony.

6 Q You'd agree, subject to check, according to
7 Mr. King's revised Exhibit JAK-1, the cost of a 2-wire
8 voice-grade loop is \$6.76?

9 A That would make sense.

10 Q And it's your view that that rate is
11 conservative, too high, and not truly the least cost
12 solution?

13 A That's correct.

14 Q Mr. Donovan, you are on the outside plant
15 engineering team that has been involved in the development
16 and sponsorship of the Hatfield model or the HAI model; is
17 that correct?

18 A (By Mr. Donovan) That's correct.

19 Q And you've been a member of the Hatfield
20 engineering team for a number of years; is that fair?

21 A That's fair.

22 Q And, in fact, we have several witnesses who --
23 at least one of the witnesses who serves on the Hatfield
24 engineering team with you, Mr. Riolo?

25 A That's correct.

1 Q Now, you testified in your deposition that the
2 Hatfield model is an effective means by which the costs of
3 unbundled network elements can be determined using least
4 cost forward-looking technology, correct?

5 A Yes.

6 Q Likewise, Mr. Pitkin, you have appeared in
7 several proceedings, such as this one, to support use of
8 the Hatfield model; is that correct?

9 A (By Mr. Pitkin) I was -- in those proceedings,
10 I was actually critiquing the benchmark cost proxy model
11 and comparing it and contrasting it to the HAI model. I
12 was not sponsoring the HAI model.

13 Q My question wasn't in sponsoring. You have
14 appeared in several proceedings in which you have
15 supported the use of the Hatfield model to establish rates
16 for unbundled network elements, correct?

17 A Relative to the benchmark cost proxy model,
18 that's right.

19 Q And in docket 980696-TP, you told this
20 Commission that the Hatfield model, in relation to BCPM
21 was the most reliable means to model a basic local
22 exchange network using most efficient forward-looking
23 costs; is that correct?

24 A That's correct.

25 Q Mr. Pitkin, do you recall the cost of a loop in

1 Florida using the Hatfield model, which you endorsed in
2 docket 980696-TP?

3 A No, I do not.

4 Q Would you accept, subject to check, that MCI and
5 AT&T filed the docket 980696 in August 1998 that generated
6 a monthly loop cost of \$9.39?

7 A Subject to check. And given the results of the
8 BCPM relative to the HAI model, that doesn't necessarily
9 surprise me. The BSTLM constructs significantly less
10 route miles than the HAI model and also places fewer DLCs
11 in the HAI model. So, while the BSTLM does construct more
12 efficient outside routes than the HAI model, at least in
13 the state of Florida --

14 Q I just want to be clear here. If the Hatfield
15 model generated a loop cost of \$9.39 in August of 1998
16 rate or the costs that AT&T and MCI are proposing in this
17 proceeding is \$6.76, which is a couple bucks difference,
18 correct?

19 A It is a couple dollars difference, and it makes
20 perfect sense. The HAI model, as it was filed in this
21 proceeding, used geocoded customer locations to the extent
22 that they could, but a lot of those customer locations, as
23 you may recall, were estimates. Essentially, they were
24 evenly distributed. What that methodology does is places
25 customers as far apart from one another as possible, if

1 they couldn't otherwise, be geocoded.

2 So, the fact that BellSouth now has actually
3 geocoded locations in the model, it should also
4 significantly reduce the costs that would have resulted
5 from the HAI model in that proceeding.

6 So, you have to take this whole thing as a whole
7 and understand the advancements that have gone on and the
8 types of information that BellSouth has that were not
9 using that model. It makes perfect sense that this model
10 would result in less cost.

11 Q Would you agree that in its January order in the
12 universal service docket, the Commission declined to adopt
13 the Hatfield model results because, at least in part, it
14 had a downward bias in costs?

15 A I don't remember that quote in the order. I do
16 remember several discussions of the minimum spanning road
17 tree. And, in fact, you know, I thought the HAI model was
18 better than relative to the BCPM. And what the BSTLM is
19 showing here really supports the conclusion that the BCPM
20 was much more overstated than the HAI model in terms of
21 efficient network routing.

22 Q Would you agree that the universal service
23 proceeding the Commission concluded that the HAI model
24 tends to understate amount of outside plant facilities
25 required?

1 A Obviously, BellSouth tends to agree closer with
2 the HAI model than the BCPM, based on just the amount of
3 facilities placed. I don't recall any testimony submitted
4 by Mr. Stegeman refuting the number of DLCs placed by the
5 BSTLM versus the BCPM or the HAI model. It was in our
6 rebuttal testimony, and he didn't file any comments on it,
7 so...

8 COMMISSIONER JABER: Mr. Pitkin, I don't think
9 that's what his question was. Can you repeat your
10 question for me?

11 MR. ROSS: Yes, Commissioner.

12 BY MR. ROSS:

13 Q Mr. Pitkin, you aware that the Commission
14 concluded that the Hatfield model tended to underestimate
15 the amount of outside facilities required?

16 A (By Mr. Pitkin) I'd have to go back and review
17 the order.

18 Q Assume, subject to check, that the Commission
19 concluded that the Hatfield model tended to understate the
20 amount of outside plant facilities and tended to have a
21 downward bias in its results, that model generated a cost
22 of \$9.39 for a loop, correct?

23 A Subject to check.

24 Q Yet, a \$6.76 cost for a loop is, quote, too
25 high, quote, conservative, and may not reflect least cost

1 technology; is that your testimony?

2 A Yes, based on the model submitted by BellSouth
3 in this proceeding, which places far less facilities.

4 MR. ROSS: Mr. Chairman, to the extent I haven't
5 done so, I would ask the West Palm Beach diagram be marked
6 as the next Exhibit, 127.

7 CHAIRMAN DEASON: Yes, Exhibit 127.

8 (Exhibit 127 marked for identification.)

9 MR. ROSS: And I have no further questions for
10 either of the witnesses.

11 CHAIRMAN DEASON: Staff?

12 MR. KNIGHT: Staff has no questions.

13 CHAIRMAN DEASON: Commissioners? Redirect?

14 MR. LAMOUREUX: I have a few questions.

15 REDIRECT EXAMINATION

16 BY MR. LAMOUREUX:

17 Q I'm going to go back in reverse order. As
18 between the three models, BCPM -- this is to Mr. Pitkin,
19 BCPM, HAI, BSTLM, which model places fewer facilities?

20 A (By Mr. Pitkin) The BSTLM places far fewer
21 facilities than either model. And, I guess, the point I
22 was trying to make is that, apparently, the numbers in our
23 rebuttal testimony aren't refuted and are actually agreed
24 with.

25 So, all I can assume by BellSouth putting forth

1 this model in this proceeding, a model which produces far
2 fewer facilities, it goes to show that the BCPM, as filed
3 in the universal service proceeding, placed way too much
4 facilities. And actually, BellSouth's model now shows
5 that the HAI model, in the universal service proceeding,
6 overstated the amount of equipment that was necessary in
7 the outside plant network.

8 COMMISSIONER JABER: Mr. Lamoureux, is your
9 microphone on? Staff is telling us they can't hear.

10 MR. LAMOUREUX: That was an ergonomic failure,
11 not an electronic failure.

12 BY MR. LAMOUREUX:

13 Q What is the relationship between the amount of
14 facilities and the amount of cost that come out of a cost
15 model?

16 A (By Mr. Pitkin) The way investments are
17 developed is taking the amount of facilities, multiplying
18 them by the cost of those facilities that generate total
19 investment. The total investment is then used to
20 determine the rate necessary to recover the investment
21 portion of the total cost.

22 There's an investment recovery portion, then
23 there's an operating expense portion. To the extent fewer
24 facilities are placed, you're going to have less
25 investment that needs to be recovered, and it's going to

1 have a direct downward impact on the rates.

2 Q Talked about source code and, in particular,
3 source code for the cost calculator. Do you have much
4 experience in reviewing cost models, either for USF or for
5 UNE cases?

6 A I've been doing it for four years now, pretty
7 much full time.

8 Q In your mind, in that experience, is the source
9 code important to allow a reviewer of the models to
10 identify key assumptions underlying the cost model?

11 A Yes. Well, you can review source code and
12 follow the logic and see what happens. It's source code
13 the way it's written. It's, essentially, text that --
14 and some sort of language tells you what's going on, but
15 it jumps all over the place.

16 And it's often very difficult to see what's
17 going on, unless you can isolate certain portions of that
18 code and test it to see if you take this piece of code,
19 put something in, what comes out. Without the ability to
20 do that, it makes it very difficult to look at specific
21 activities that go on in the model, and it makes it very
22 difficult to do a thorough review.

23 Q Do you consider source code to be important to
24 be able to trace the sequence of calculations that
25 culminates in the cost studies?

1 A Absolutely. That's what I was trying to get to
2 is while, in general, you may have an idea of what's going
3 on, without the ability to edit and recompile the source
4 code, it's virtually impossible to determine exactly what
5 impact a set of algorithms is going to have on the model
6 results.

7 Q Let's change subjects a little bit, move to the
8 question of DLC equipment placement at DLC sites.

9 The changes that you made, Mr. Pitkin, to the
10 BSTLM, do they in any way render or allow for inconsistent
11 placement of DLC equipment between the remote terminal and
12 the central office?

13 A No. I used the exact same criteria for the
14 remote terminal and the central office terminal. And the
15 way it works is it brings in a remote terminal at a time
16 and it determines the cost of the remote terminal piece
17 and the central office piece at the same time. So, by
18 using this criteria, it does treat them both the same and
19 makes sure there's a match between the remote terminal
20 piece and the central office piece.

21 Q Mr. Donovan, you were asked a question by
22 Mr. Ross about proprietary nature of DLC equipment. Given
23 the nature of that equipment, would it be possible, given
24 the proprietary nature, to use equipment from vendor A and
25 equipment from vendor B at the same DLC site?

1 A (By Mr. Donovan) No. And as I mentioned, in my
2 opening summary, my criticism of the BellSouth model in
3 that regard is they use what I describe as a homogenized
4 high-density and low-density, it's kind of like either
5 putting milk in your coffee or cream, and they use half
6 and half. You really just can't do that.

7 And the right way that an engineer designs the
8 network is to put the right terminal there. I can
9 understand for modeling purposes why one might be tempted
10 to use half and half, but it really distorts the way the
11 model can price this.

12 And Mr. Pitkin has been able to create a repair
13 for that. And I fully support that, because it's how an
14 engineer would actually engineer it. It's the most
15 accurate way to do it, and it doesn't distort cost.

16 Q Could you describe, please, how it is possible
17 to have equipment from vendor A and vendor B, one set at
18 each site, but a combination of the two on the same SONET
19 ring route?

20 A Yes. I think, I could probably use the
21 diagramed exhibit of West Palm Beach as an example. And
22 I'll go to the easel pad.

23 The way an engineer would design this network
24 would be to have, in the central office, vendor A
25 equipment and vendor B equipment. This equipment is

1 connected with fiber patch cords to a fiber patch panel in
2 the central office.

3 Now, in this particular example, we have three
4 remote sites in which the correct type of remote terminal
5 would be a type A at RT site A and RT site C. This is
6 site A, B, and C on my diagram here, as I'm drawing. It
7 runs counterclockwise with the central office at the top
8 and then counterclockwise, site A, site B, site C.

9 The correct remote terminal type would be vendor
10 A in location A and C and vendor type B at site B. Now,
11 BellSouth sizes the cable as a -- minimum size is a
12 12-fiber cable. Well, what's actually needed for a
13 multiplexer in the central office to communicate with
14 these devices is a transmit fiber and a receive fiber.

15 So, what occurs is two fibers, you have a
16 transmit and a receive. In a SONET configuration, what
17 occurs is that signal is then regenerated by this
18 particular remote terminal site A. And what it did on
19 receive it now drops and adds and transmits to the next
20 site. What it transmitted is just the reverse direction
21 and it uses a receive.

22 If you notice, I've swung these fibers passed
23 site B, but didn't connect them to site B. What I also
24 have coming out of this patch panel is some more fibers in
25 a 12-fiber cable that would be dedicated -- which would be

1 dropped off at site B. And then, of course, additional
2 fibers in that 12-fiber cable, we just go on so that an
3 engineer can put in a future remote terminal cabinet.

4 Normally, you designate fibers in the cable
5 sheath by fiber numbers. And as an engineer, I'll
6 probably designate this as fiber number 1 and fiber number
7 2. I'd designate this as fiber number 3 and fiber number
8 4.

9 Keep in mind, these fibers are in a cable shape
10 that are as thick as my thumb and they're 1/2 an inch in
11 diameter, they're not especially expensive. And the
12 entire point here is that you can't have vendor A
13 equipment talking to vendor B remote. We all agree on
14 that.

15 Our point is that there's sufficient fiber in
16 this model to allow a vendor A and a vendor B in the
17 central office, because as Mr. Pitkin explained in his
18 direction, he generates central office equipment everytime
19 he generates a remote terminal.

20 So, when he's got a vendor B remote, he
21 generates a piece of vendor B in the central office, and
22 the same with that, he generates a piece of that. So,
23 that's taking care of the loop costing. There's enough
24 fibers in the cable that make this practical from a
25 technical engineering point of view, and this is exactly

1 how I would engineer it as an outside plant engineer.

2 Q Mr. Pitkin, there was a good deal of discussion
3 about inflation. Hopefully, I won't ask a question that
4 necessitates another trip to the easel. Are you
5 recommending that there be no inflation at all in the cost
6 model?

7 A (By Mr. Pitkin) No, absolutely not. It's
8 necessary to compensate BellSouth for inflation, but the
9 nature of the way these cost models work in treating the
10 cost of capital, the nominal cost of capital, which
11 includes inflation as a direct cost that BellSouth is
12 entitled to recover, they are already recovering for
13 inflation in that nominal cost of capital. And any
14 additional adjustment for inflation is a double counting.

15 Q So, are the nature of your changes to eliminate
16 the potential of double counting inflation?

17 A That's exactly right. We are all -- I think,
18 all parties are sponsoring a nominal cost of capital,
19 which includes inflation. So, all I am doing is removing
20 a double count of inflation.

21 Q Last question deals with the subject of DSO
22 equivalents. There was some discussion from Mr. Ross
23 about the BCPM model being used in Florida, the synthesis
24 model being used in Georgia, and the BSTLM model being
25 used here in Florida.

1 Does the question of which model is being used
2 for which type of proceeding change the fundamental
3 question of whether you should allocate on a per pair or a
4 DSO-equivalent basis?

5 A No, it really doesn't. In all of the
6 proceedings, whether directly or indirectly, the models
7 are taking a count for all of the services. That's why
8 you have special access lines included in the synthesis
9 model and the BCPM and the HAI model to capture the
10 economies of scale and scope of those services, so all of
11 the models are including all of that investment.

12 And similarly, all of the models need to
13 determine how to allocate out that investment. And what
14 we're talking about here is how that investment should be
15 allocated out.

16 And although, in the HAI model and the BCPM,
17 that is determined by whether you put into the model the
18 number of pairs or the number of DSOs. And this model is
19 determined by what you're using in your allocation method,
20 which is a different kind of input into the model, but
21 fundamentally, they are exact same things.

22 MR. LAMOUREUX: I have no further questions.

23 CHAIRMAN DEASON: Exhibits.

24 MR. ROSS: Mr. Chairman, BellSouth would move
25 Exhibits 126 and 127 into evidence.

1 CHAIRMAN DEASON: Without objection, --

2 MR. LAMOUREUX: I'm going to object to 126, the
3 hypothetical. Mr. Pitkin had problems with the
4 assumptions underlying that hypothetical. So, I don't
5 think there is a foundation for that being entered into
6 the record as evidence.

7 MR. ROSS: Mr. Chairman, I don't think the
8 witness has to agree with the assumptions of a
9 hypothetical before it can become evidence in the record.

10 CHAIRMAN DEASON: I think that the discussion on
11 the record and the reservations the witness expressed are
12 adequate in that it would be permissible to include
13 Exhibit 126. So, Exhibit 126 and 127 are admitted.

14 (Exhibits 126 and 127 admitted into the record.)

15 CHAIRMAN DEASON: Other exhibits?

16 MR. LAMOUREUX: I think, we need to move 123,
17 124 and 125.

18 CHAIRMAN DEASON: Without objection, Exhibits
19 123, 124 and 125 are admitted.

20 (Exhibits 123, 124 and 125 admitted into the
21 record.)

22 CHAIRMAN DEASON: We're going to recess for
23 lunch at this time. We will come back at 1:00.

24 (Transcript continues in sequence in Volume 15.)

25

1 STATE OF FLORIDA

2 : CERTIFICATE OF REPORTER

3 COUNTY OF LEON)

4

5 I, KORETTA E. STANFORD, RPR, Official Commission
6 Reporter, do hereby certify that the Hearing in Docket
7 No. 990649-TP was heard by the Florida Public Service
8 Commission at the time and place herein stated.

7

8 It is further certified that I stenographically
9 reported the said proceedings; that the same has been
10 transcribed under my direct supervision; and that this
11 transcript, consisting of 221 pages, Volume 14 constitutes
12 a true transcription of my notes of said proceedings and
13 the insertion of the prescribed prefiled testimony of the
14 witness(s).

11

12 I FURTHER CERTIFY that I am not a relative, employee,
13 attorney or counsel of any of the parties, nor am I a
14 relative or employee of any of the parties' attorneys or
15 counsel connected with the action, nor am I financially
16 interested in the action.

14

DATED THIS 25th DAY OF SEPTEMBER, 2000.

15

Koretta E. Stanford

16

KORETTA E. STANFORD, RPR

17

FPSC Official Commissioner Reporter

18

(850) 413-6734

19

20

21

22

23

24

25