


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 060658-EI

In the Matter of:

PETITION ON BEHALF OF CITIZENS OF THE
STATE OF FLORIDA TO REQUIRE PROGRESS
ENERGY FLORIDA, INC. TO REFUND CUSTOMERS
\$143 MILLION.



ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 6

Pages 697 through 866

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN LISA POLAK EDGAR
COMMISSIONER MATTHEW M. CARTER, II
COMMISSIONER KATRINA J. MCMURRIAN

DATE: Tuesday, April 3, 2007

TIME: Commenced at 2:00 p.m.
Concluded at 5:55 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: JANE FAUROT, RPR
Official FPSC Reporter
(850) 413-6732

APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER-DATE

03135 APR 12 5

FLORIDA PUBLIC SERVICE COMMISSION

FPSC-COMMISSION CLERK

I N D E X

WITNESSES

3	NAME :	PAGE NO.
4	WAYNE TOMS	
5	Direct Examination by Mr. Burnett	700
	Prefiled Direct Testimony Inserted	702
6	Cross Examination by Mr. McGlothlin	729
	Cross Examination by Mr. Twomey	741
7	Cross Examination by Mr. Young	744
	Redirect Examination by Mr. Burnett	746
8		
9	J. MICHAEL KENNEDY	
	Direct Examination by Ms. Triplett	754
10	Prefiled Direct Testimony Inserted	756
	Cross Examination by Mr. McGlothlin	789
11	Redirect Examination by Ms. Triplett	794
12	JON FRANKE	
13	Direct Examination by Ms. Triplett	797
	Prefiled Direct Testimony Inserted	800
14	Cross Examination by Mr. Burgess	840
	Cross Examination by Mr. McWhirter	845
15	Cross Examination by Mr. Twomey	849
	Cross Examination by Mr. Brew	856
16	Redirect Examination by Ms. Triplett	863
17		
18		
19		
20		
21		
22		
23		
24		
25		

	EXHIBITS		ID.	ADMTD.
1	NUMBER:			
2	125,126			754
3	223	Excerpt, Application For Test Burn	790	796
4	224		790	796
5	127 - 134			795
6	135 - 143			864
7				
8				
9				
10				
11				
12				
13				
14				
15				
16				
17				
18				
19				
20				
21				
22				
23				
24				
25				

P R O C E E D I N G S

(Transcript follows in sequence from Volume 6.)

CHAIRMAN EDGAR: We will go back on the record.

Mr. Burnett, I think before break we were at your next witness.

MR. BURNETT: Yes, ma'am. We call Mr. Wayne Toms.

WAYNE TOMS

was called as a witness on behalf of Progress Energy Florida, and having been duly sworn, testified as follows:

D I R E C T E X A M I N A T I O N

BY MR. BURNETT:

Q Mr. Toms, will you please introduce yourself to the Commission and provide your address?

A My name is Wayne Toms, Clifford Wayne Toms. My address is 15760 West Power Line Street, Crystal River, Florida.

Q And have you already been sworn as a witness?

A Yesterday.

Q Who do you work for and what is your position, please?

A I work for the plant manager at Crystal River, the Fossil Plant Manager, Bernie Cumbie (phonetic). And what do I do?

Q Yes. What is your position?

A I'm the Manager of Shift Operations.

1 Q Have you filed prefiled direct testimony and exhibits
2 in this proceeding?

3 A Yes.

4 Q And that is what you have with you today?

5 A Yes.

6 Q Do you have any corrections to your prefiled
7 testimony and exhibits?

8 A I do not.

9 Q If I asked you the same questions in your prefiled
10 testimony and exhibits, would you give the same answers that
11 are in your prefiled testimony?

12 A Yes.

13 MR. BURNETT: Madam Commissioner, we request that
14 Mr. Toms' testimony be entered into the record as if it were so
15 read today.

16 CHAIRMAN EDGAR: The prefiled testimony will be
17 entered into the record as though read.

18

19

20

21

22

23

24

25

**IN RE: PETITION ON BEHALF OF CITIZENS OF THE
STATE OF FLORIDA TO REQUIRE PROGRESS ENERGY
FLORIDA, INC. TO REFUND CUSTOMERS \$143 MILLION**

FPSC DOCKET NO. 060658

DIRECT TESTIMONY OF

CLIFFORD WAYNE TOMS

1 **I. INTRODUCTION AND QUALIFICATIONS**

2

3 **Q. Please state your name and business address.**

4 **A. My name is Wayne Toms. My business address is 15760 West Power Line St.,**
5 **Crystal River, Florida 34428.**

6

7 **Q. Please tell us how you are employed and describe your background.**

8 **A. I am employed by Progress Energy Florida ("PEF" or the "Company"), currently**
9 **serving as the Manager of Shift Operations for the Crystal River fossil units. Prior to**
10 **this role, I was the operations and maintenance superintendent at Anclote Power**
11 **Plant, the superintendent of technical services for Crystal River fossil units, and the**
12 **training manager for Florida Power Corporation. I have a Bachelors of Science in**
13 **Human Resources and management and an MBA. I have been employed by PEF**
14 **since 1992.**

15

16

1 **II. PURPOSE AND SUMMARY OF TESTIMONY**

2

3 **Q. What is the purpose of your testimony?**

4 **A. I will explain the current and historical operation of Crystal River Units 4 and 5**
5 **(“CR4” and “CR5”) as part of PEF’s generation system. CR4 and CR5 are base load**
6 **units and as such they are important to PEF’s generation fleet and to PEF’s**
7 **customers. I will also discuss the generation output from these units, how these units**
8 **have historically performed, and how they are expected to perform. I will explain**
9 **that the historical and current performance and Company expectations for the**
10 **performance of CR4 and CR5 are dependent on the quality and efficiency of our**
11 **operation and maintenance of the units and the quality of the coal product put in the**
12 **units.**

13 I will also describe the process that PEF uses when it considers burning a new
14 type of coal in CR4 and CR5. From our perspective, with the operational obligations
15 at the plant, we will require some demonstration of the probable performance impacts
16 of any new coal and especially a new coal type at CR4 and CR5, so that we can
17 evaluate those impacts and make a decision about the coal. Typically, this means a
18 “test burn” needs to be conducted. I will explain why test burns are needed from an
19 operational and safety perspective. I will also explain our goals with respect to any
20 such test burn.

21 Finally, I will discuss issues raised by the potential use of PRB coal blends at
22 CR4 and CR5. These issues have been addressed by expert consultants retained by

1 the Company, first Sargent & Lundy and now Rod Hatt, but I will again provide a
2 perspective from fossil operations.

3

4 **Q. Are you sponsoring any exhibits with your testimony?**

5 **A.** Yes. I am sponsoring the following exhibits that I prepared or that were prepared
6 under my supervision and control, or they represent business records prepared at or
7 near the time of the events recorded in the records, which records it was a regular
8 practice for me or those who worked with me to keep to perform our responsibilities:

- 9 • Exhibit No. ___ (CWT-1), which is an aerial map of the Crystal River Energy
10 Complex; and
11 • Exhibit No. ___ (CWT-2), which are the original Babcock & Wilcox boiler
12 design documents for CR4 and CR5.

13 These exhibits are true and correct.

14

15 **Q. Please summarize your testimony.**

16 **A.** CR4 and CR5 are base load, coal-fired units that have historically operated at
17 overpressure to produce between a gross 750 megawatts (MW) and 770MW at full
18 capacity when called on to provide that level of capacity and energy to customers.
19 The original boiler and turbine design was 665MW gross energy production at full
20 capacity. The design and construction of the units, in particular the large boilers, and
21 the high quality, high Btu content bituminous coal historically used by PEF, have
22 allowed PEF to achieve these levels of gross energy production. Customers have

1 benefited from this level of production by receiving additional base load generation
2 capacity and energy at a lower relative cost to other generation on PEF's system.

3 We are, as a result, concerned with changes in the quality and type of coals for
4 CR4 and CR5. Such changes can impact the safe and efficient operations at the units
5 and their performance. Before coals with different qualities or of a different type than
6 what we have specified and used are burned, we will want to evaluate the impact of
7 those differences on the operations at and production in the units before making any
8 commitment to purchase such coals. This is particularly true with respect to sub-
9 bituminous coals from the Powder River Basin (PRB), which are dusty, volatile,
10 difficult to handle, low Btu content, and high moisture content coals. We will want to
11 know how these PRB coals affect our responsibility to safely and efficiently operate
12 the units, affect their commercial availability when called upon to produce energy,
13 and affect their production at between a gross 750MW and 770MW when called upon
14 to produce at full capacity to meet customer load.

15 There are safety issues, cost issues, and performance issues with PRB coals at
16 CR4 and CR5. Capital upgrades are necessary to safely and efficiently handle such
17 coals on site. Capital upgrades are also necessary to ensure that the coals can be
18 safely and efficiently burned in the units. De-rates or loss of load can be expected.
19 Finally, there will additional training of employees to handle PRB coals and
20 additional maintenance at all points on site affected by the PRB coals. Time is
21 required to implement the additional capital and maintenance necessary to safely and
22 efficiently handle the PRB coals and operate the units with PRB coal blends. An

1 estimate of the time to accomplish the necessary changes for PRB coals is between 18
2 months and 30 months.

4 III. CR4 AND CR5 OPERATION

6 **Q. What are Crystal River Units 4 and 5?**

7 **A.** CR4 and CR5 are two of four coal-fired units located at the Crystal River Energy
8 Complex. They are located north of the other units, coal-fired units 1 and 2 and unit
9 3, the nuclear unit, and thus are sometimes referred to as Crystal River North. They
10 were built and operational in 1982 and 1984, respectively, and have been providing
11 PEF and its customers with base load electrical capacity and energy ever since then.
12 An accurate aerial photograph of the Crystal River Energy Complex showing the
13 location of CR4 and CR5, as well as the other units and related facilities at the site, is
14 Exhibit No. ___ (CWT-1) to my testimony.

16 **Q. What are base load units?**

17 **A.** Base load units are those units that are called on first to meet the load or customer
18 demand for electrical energy on the system. They are called on first because they
19 have a relatively low incremental cost for producing electrical energy. All units are
20 placed in the dispatch stack and called on by the Energy Control Center (ECC) based
21 on the incremental cost of producing energy from the unit.

22 ECC is responsible for ensuring that the production of energy is equal to the
23 load, or demand for energy by PEF's customers, every hour of every day. The unit

1 with the lowest incremental cost will be called on first, followed by the next lowest
2 cost unit on the system, and so on until the customers' energy needs are met. CR4
3 and CR5 are very low in the dispatch stack, typically following only the nuclear unit.

4 Base load fossil units like CR4 and CR5 generally operate all hours over the
5 course of the year except for forced outages due to equipment issues or failures or
6 scheduled outages for maintenance.

7
8 **Q. When Units 4 and 5 are called on, how much electrical energy do they produce?**

9 **A.** Units 4 & 5 regularly produce at full capacity between 750MW and 770MW. These
10 are gross numbers, however, representing the total production of electrical energy at
11 full capacity. The units also supply the power to operate the units themselves and
12 provide power for use at the Crystal River Energy Complex. If these power needs are
13 accounted for, the production from the two units will typically produce about 735MW
14 and 732MW at full capacity. This is called the net MW production and is what PEF
15 customers receive.

16
17 **Q. What were the boilers for Units 4 and 5 designed to produce?**

18 **A.** The original Babcock & Wilcox design of the boilers and associated turbine was for a
19 gross production of 665MW for each unit at full capacity, under perfect conditions.
20 This design guaranty was based on a coal blend of western sub-bituminous coal and
21 eastern bituminous coal with a heating value of 10,285 Btu/lb. The Btu content per
22 ton measures the amount of energy that is derived from burning a ton of that coal. A

1 copy of the Babcock & Wilcox design documents is Exhibit No. ____ (CWT-2) to my
2 testimony.

3

4 **Q. How can PEF obtain up to 770MW from Units 4 and 5 at full capacity if the
5 design guaranty was only for 665MW at full capacity?**

6 **A.** The design guaranty for the CR4 and CR5 boilers was for an equal blend of
7 bituminous and western sub-bituminous coal. Bituminous coal has a higher Btu
8 content than western sub-bituminous coal. The boiler design took this lower Btu
9 content of western sub-bituminous coal into account by providing for larger boilers
10 than you find in a boiler design for only bituminous coal. In other words, CR4 and
11 CR5 were designed and built with over-sized boilers by industry standards for
12 pulverized coal units that burn only bituminous coals.

13 Other elements of the units were also included in the design for this same
14 reason, namely to accommodate burning the design blend of sub-bituminous and
15 bituminous coals, and many but not all of these elements were included in the
16 construction of the two units. These attributes of CR4 and CR5, in particular the
17 large boilers, set the units apart from other pulverized coal units of the same vintage
18 that were designed with smaller boilers to handle bituminous coals. The Company
19 can burn large quantities of bituminous coal in the boilers because they are large
20 boilers and, as a result, the Company can generate more thermal energy by burning
21 more coal than other boiler units of the same vintage that were designed only for
22 bituminous coals.

1 Another important contributing factor for the Company to obtain up to
2 770MW at full capacity in the units is the quality of the coal that PEF has burned at
3 CR4 and CR5. PEF has typically burned a high Btu, low moisture, low volatility,
4 bituminous compliance coal with good ash characteristics. For example, only
5 recently has the Btu content dropped below 12,000 Btu/ton for the bituminous coals
6 used at the plant, and historically the units have received bituminous coals above
7 12,500 Btu/ton. A higher Btu/ton content coal means more energy is generated per
8 ton of coal burned than a lower Btu/ton content coal. CR4 and CR5 have also
9 received low moisture bituminous coals, which means less thermal energy is
10 necessary to dry and burn the coals, which also contributes to the energy per ton of
11 coal burned. These quality characteristics have been incorporated into the coal
12 specifications for the units and there is no doubt that a quality coal product, in
13 particular a high Btu, low moisture content coal, plays a significant role in the ability
14 of CR4 and CR5 to exceed their design basis in energy production.

15 With more thermal energy generated by the boilers from large quantities of
16 high quality bituminous coals, the CR4 and CR5 units are capable of operating at
17 "overpressure" on a sustained basis, thereby producing more steam and more energy.
18 CR4 and CR5 typically operate at overpressure at full capacity and have done so for
19 years. The result is sustained energy production at full capacity of between 750 and
20 770MW.

21 If PEF were burning a blend of even a high quality, high bituminous coal --
22 for example, a 12,500 Btu/ton bituminous coal -- and a high, 8,800 Btu/ton sub-
23 bituminous coal at CR4 and CR5, however, the Company could not go to

1 overpressure and generate the gross 750MW to 770MW at full capacity that it has
2 historically produced at the units.

3

4 **Q. What do you mean by "overpressure?"**

5 **A.** Overpressure is the term we use to designate when we have deviated from the design
6 bases pressure setpoint of 2,400 pounds pressure at the first stage steam turbine.

7 When we have all the critical equipment in operation, we are allowed by Babcock &
8 Wilcox to operate the boiler at 105 percent of design bases pressure setpoint.

9 Applying 105 percent times 2,400 pounds pressure equals 2,520 pounds pressure at
10 the first stage turbine blades. Once this pressure is reached by the boiler and turbine,
11 the units are producing around 750MW. As I mentioned though, all critical
12 equipment must be operable. We must have all six pulverizers, both condensate
13 pumps, both high pressure and low pressure heater drain pumps, and all eight feed
14 water heaters in service to be able by the technical manual to go to overpressure.

15

16 **Q. Is it safe?**

17 **A.** Absolutely. It merely reflects the ability to operate above what was considered
18 "normal" operation of the units but still well within the design capabilities from a
19 safety perspective. The units have been consistently operating at overpressure at full
20 capacity for years; in fact back to the late 80's, and producing more energy than
21 contemplated under the original design.

22

1 Q. You mentioned that some but not all of the design elements were included in
2 CR4 and CR5. Was something included in the design that was needed that was
3 not built?

4 A. No, nothing that was needed to operate the units safely and efficiently in the design
5 documents for the units was excluded when the units were built. However, several
6 years passed between the design and construction of the units. During that time, I
7 understand that the Company determined a sufficient supply of bituminous coals
8 existed and that it was economical to commence operations with bituminous coals.
9 As a result, certain design elements that were necessary only if the units commenced
10 operation with an equal blend of bituminous and sub-bituminous coals, such as, for
11 example, a seventh pulverizer and the inert steam to the pulverizer, were not built.

12 This is not unusual. The actual construction of power plants often differs
13 from the design because any number of factors can affect the expected actual
14 operation of the units and lead to construction changes. There is no reason to
15 construct and charge the utility customers for something in the design of the units, for
16 example, that is not expected to be needed for the actual safe and efficient operation
17 of the units.

18 There is, however, space at CR4 and CR5 to add these additional design
19 elements should the Company decide to go to operation with an equal blend of sub-
20 bituminous and bituminous coals. But the units were not constructed with everything
21 that would be needed to safely and efficiently operate with an equal blend of sub-
22 bituminous and bituminous coals because that was not the expected operation of the
23 units at the time of construction.

1 **Q. Has PEF relied on the extra megawatts of energy production from CR4 and CR5**
2 **for its generation system?**

3 **A.** Yes. The Company has three expectations for the CR4 and CR5 units. First, we are
4 expected to safely and efficiently handle the coal and operate the units. Our
5 employees are our most valuable resource so their safety is a primary concern. Of
6 course, safety issues can affect unit operation as well if a problem with safely
7 handling the coal product requires us to take the unit off line to deal with the problem.

8 Second, the units are expected to be commercially available all the time when
9 they are not out of service for maintenance. This means that they are expected to
10 respond when called upon by the ECC for service. As I mentioned, the ECC controls
11 the order of bringing units on line and up to the required production to meet the load
12 24 hours a day, every day of the year. ECC will call on units based on their
13 incremental cost of energy production. Because CR4 and CR5 have a low relative
14 incremental cost of producing energy to most other units on PEF's generation system,
15 they are expected to be commercially available most of the time during the course of
16 the year. This is what it means for them to be base load units.

17 Additionally, the Company expects CR4 and CR5 to produce energy at
18 between 750MW and 770MW when called on by ECC. More recently the units have
19 been generating 768MW and 763MW, respectively, when called on by ECC for
20 commercial availability at full capacity. This gross energy production is necessary
21 for the Company to meet its expected net production. I understand that the
22 Company's resource planning group relies on the production today of 735MW and
23 732MW, respectively, from CR4 and CR5. These are the net energy production

1 numbers if the units produce 768MW and 763MW, respectively, on a gross basis at
2 full capacity.

3 It is my obligation as the Manager of Shift Operations for the fossil units,
4 including CR4 and CR5, to ensure that the Company's expectations for CR4 and CR5
5 are met.

6
7 **Q. What do you need to satisfy the Company's expectations for CR4 and CR5?**

8 **A.** I must continue to maintain and operate the units as efficiently and effectively as we
9 have been doing for years to continue to meet the expectations for base load energy
10 production that the Company has for CR4 and CR5. Any changes in the coal product
11 or units themselves that alter the maintenance and operation of the units will have an
12 impact on the ability to maintain the energy production that is expected from the
13 units.

14 The quality of the coal product will have an impact on the ability to meet the
15 expectations for energy production from CR4 and CR5. Changes in the Btu content,
16 moisture content, or other characteristics of the coal procured for the units will affect
17 the maintenance, operation, and energy production at CR4 and CR5. We know, for
18 example, that if the Btu content of the coal burned at CR4 and CR5 falls below a
19 range between 11,000 Btus/ton and 11,300 Btus/ton, we will not be able to operate at
20 overpressure and meet the expected energy production requirements at full capacity.
21 Other changes in the quality of the coal burned at CR4 and CR5, such as higher
22 moisture content than specified and generally expected, will also have an adverse
23 impact on the energy production from the units. As a general rule, then, from an

1 operational perspective we prefer to have a coal product that more closely matches
2 the typical specifications that we have historically burned at the units.

3

4 **Q. Do customers benefit if the Company's expectations for CR4 and CR5 are met?**

5 **A.** Yes, they do. As I have explained, CR4 and CR5 are base load units because they are
6 relatively more economical than other generation alternatives on PEF's system.

7 Therefore, more production from a base load unit, like CR4 and CR5, to meet the
8 load means less energy production is needed from more expensive production sources
9 available to PEF to meet customer energy needs. By producing energy at
10 overpressure at full capacity on a consistent basis, PEF has provided its customers
11 with a more economical source of energy production than they otherwise would have
12 had at the production level the units were originally designed to achieve at full
13 capacity.

14

15 **IV. CHANGES IN COAL PRODUCTS AT CR4 AND CR5**

16

17 **Q. Are you concerned about changes in the type and quality of coal products for**
18 **CR4 and CR5?**

19 **A.** Yes. From an operational perspective, we always want to understand what is being
20 procured for CR4 and CR5 and how it will affect the maintenance and operation of
21 the units and the production of energy from the units. So, we will want to know what
22 the supplier considers to be the "typical" quality of the coal offered and how that
23 "typical" coal offered varies from our coal specifications and historical experience.

1 We have even been wary when existing suppliers of bituminous coals switch mines or
2 new bituminous suppliers are added. In those situations, we have asked for smaller
3 shipments of their coals to be brought on site and evaluated those limited shipments
4 before the full shipments of what has been purchased is brought on site. This is
5 because there can be variations in the quality of the coal product provided, even from
6 existing suppliers with new mines, from what they have provided to the Company in
7 typical specifications for their coal products.

8 When the quality of the coal or type of coal changes on the typical
9 specifications offered by the supplier from what we have specified and historically
10 used, we will want to evaluate the impact of those changes on the units and the
11 production from those units before any commitment is made to purchase coal of that
12 quality or type. We have required this evaluation even for significant changes in the
13 quality of bituminous coals. In the past few years, we have been offered import
14 bituminous coals that had a lower Btu and higher moisture content from our
15 specification and experience with domestic bituminous coals. Before those low Btu
16 content, higher moisture content import coals were purchased we requested and
17 performed a test burn of the coals at one of the units to evaluate the impact of those
18 coals on operation and energy production.

19
20 **Q. What are "test burns?"**

21 **A.** A test burn is a process where PEF obtains a small quantity of a new quality or type
22 of coal that it is considering burning on a long-term basis and burns that coal in one
23 of the units for which the coal is being considered. During this time, PEF monitors

1 handling and safety issues, unit operation and performance, and environmental
2 emissions. The test burn can either be on a short-term or long-term basis. Typically,
3 when first evaluating a coal product of different quality or type, a short-term test of
4 two to three days will be conducted. The purpose of a short-term test burn is to see if
5 any immediate handling, performance, environmental, or safety issues are present.
6 Short-term test burns are also sometimes required for environmental permitting.

7 A long-term test burn can last anywhere between three and six months. The
8 purpose of a long-term test burn is to see how the unit will perform over a sustained
9 period of operation and under variations in environmental conditions that the units
10 typically experience over a longer period of time. With long-term test burns, PEF can
11 get a good idea of whether a new type of coal will be suitable for PEF to use in the
12 plants on an extended basis.

13
14 **Q. Why is it important for PEF to conduct test burns prior to introducing a new**
15 **type or quality of coal into the units?**

16 **A.** Certain equipment in the plants, such as the boiler and electrostatic precipitator for
17 example, are especially sensitive to changes in coal quality and types. It is important,
18 therefore, for PEF to know how the plants will react to new types and qualities of coal
19 on a short- and long-term basis. New coal products may cause de-rates (or loss of
20 energy production or load) or forced outages in the units. Either way, the units are
21 not producing the energy that is expected from them. Test burns allow PEF to
22 identify any such operational and production issues prior to making a full-scale
23 commitment to switch to or use a new coal product.

1 The Company further needs to know if changes in the quality or type of coal
2 will affect the cost of handling the coal or operating the units. Coals with higher
3 moisture content than historically specified and used at the units, for example, create
4 handling and operational issues. Additional effort will need to be made on the coal
5 piles in handling the coal to assist in drying it out, and more heat will need to be used
6 at the pulverizers to dry the coal out before it is blown into the boilers to be burned.
7 This will increase the maintenance costs and increase the wear and tear on certain
8 equipment, like the pulverizers, in the units. These impacts are important to know
9 because they may lead to additional forced outage and maintenance time and cost.

10 Test burns can also be important from a safety perspective because certain
11 types of coal require different handling and use procedures. This is particularly true
12 for sub-bituminous coals from the PRB, which are dustier, more volatile, and thus
13 more difficult to handle from a safety standpoint than bituminous coals. Test burns
14 allow PEF to become accustomed to such changes in use and handling procedures,
15 and to adjust them as necessary from actual experience, prior to full-scale use.

16

17 **Q. What are your goals with respect to test burns for new coal products at CR4 and**
18 **CR5?**

19 **A.** I want to know how the new coal product is going to affect my responsibilities to
20 safely and efficiently operate CR4 and CR5, make CR4 and CR5 commercially
21 available for ECC, and to achieve full capacity production at between 750MW and
22 770MW when called upon to do so to meet customer load. If there is an impact on
23 our ability to safely and efficiently handle the new coal product, or our ability to

1 operate the plants and meet our performance obligations, we would expect our
2 concerns and costs to be taken into account in any decision weighing the costs and
3 benefits of using the new type or quality of coal at CR4 and CR5.
4

5 **V. PRB COALS AT CR4 AND CR5**
6

7 **Q. Are you aware that the Company has considered PRB coals for CR4 and CR5?**

8 **A.** Yes. I am aware of and I have had some involvement with the Company's evaluation
9 of a possible switch to a PRB coal blend at Crystal River.
10

11 **Q. Was a test burn conducted for PRB coals?**

12 **A.** Yes, a short-term test burn was conducted at CR5 with a small blend of PRB with
13 bituminous coals in May 2006. I also am aware of an earlier test burn at CR4 in 2004
14 using a blend of PRB and bituminous coals.
15

16 **Q. Has the Company evaluated the use of PRB coals at CR4 and CR5?**

17 **A.** Yes. The Company has designated internal engineers and other employees from
18 various operational groups in the Company to focus on evaluating the issues
19 surrounding the use of a PRB blend of coal at CR4 and CR5, and the Company hired
20 an outside consultant, Sargent & Lundy, to assist the Company in this evaluation. I
21 further understand that the Company has hired a recognized PRB coal expert, Mr.
22 Rod Hatt, to look at the issues surrounding the use of PRB coals at CR4 and CR5.
23 The retention of such experts to assist the Company in evaluating potential fuel and

1 other changes that impact the operation and performance of the Company's fossil
2 units is typical Company practice and consistent with the utility industry practice.

3

4 **Q. What do you know about PRB coals?**

5 **A.** I know that PRB coals have different qualities from the bituminous compliance coal
6 products we are used to handling and burning at CR4 and CR5 that will present a
7 number of safety, handling, operational, and performance issues for us at CR4 and
8 CR5. PRB coals are more volatile and dustier, they have a higher moisture content
9 and are more susceptible to absorbing moisture, they have a lower Btu content, and
10 they have a lower ash quality than the bituminous coal products we have historically
11 used at CR4 and CR5.

12

13 **Q. What are your issues with PRB coals?**

14 **A.** I have a number of issues with the use of PRB coals at CR4 and CR5. First, the
15 volatility and dustiness of PRB coals presents significant safety and handling issues
16 for the operational group at CR4 and CR5. PRB coals can spontaneously combust.
17 As a result, additional care and maintenance will have to be taken with the PRB coals
18 from the moment they arrive on site at the barge unloader, to their placement on the
19 conveyors to the north yard for blending, to the coal piles and blending operations,
20 and to their placement on conveyors to the units for storage and burning. As you can
21 see from Exhibit No. ___ (CWT-1) to my testimony, the use of PRB coals in CR4 and
22 CR5 would involve nearly the entire Crystal River site.

1 This is a safety issue and a cost issue. We would have to improve the barge
2 unloader, conveyors, and transfer stations on the conveyors to suppress the dust and
3 control spillage. We would have to have additional employees trained specifically in
4 handling PRB coals to monitor and control for dust and spillage to prevent potential
5 fires. We would also need additional equipment and trained employees to monitor
6 and take care of any PRB coal pile for the same reason. This would require constant
7 packing of the PRB coal on the pile and maintenance of the pace of the PRB coal use
8 in the yard and to the plants.

9 Our current equipment on site is inadequate to handle PRB coal piles and
10 blend PRB coals. The existing dozers and stacker reclaimers were acquired and are
11 used for dealing with less volatile and dusty bituminous coals. Stacker reclaimers are
12 large pieces of equipment with spinning buckets to move coal from piles onto
13 conveyor belts. The stacker reclaimers are not and never were intended to be
14 precision blending equipment since their real purpose is simply to move coal quickly
15 from the piles on the ground onto the conveyors. We would need equipment for pile
16 maintenance and blending specifically designed for handling and blending PRB coals.

17 I have similar safety and cost issues when the PRB coal is transported to the
18 cascade rooms in the units and then to the silos until the coals can be sent to the
19 pulverizers for grinding and burning in the units. Dust and fire suppression upgrades
20 and additional maintenance by employees trained to deal with PRB coals are
21 necessary there too in order to prevent PRB dust and coals from spontaneously
22 combusting and causing fires.

1 There are also a number of operational and performance concerns with
2 burning a PRB coal blend. The higher moisture and lower Btu content of PRB coals
3 means that there will be problems pushing enough coal through the pulverizers,
4 drying and crushing it, and blowing it into the boilers on a consistent basis to
5 maintain our load at overpressure. We can expect de-rates then from the units if an
6 equal blend of PRB coals and bituminous coals are used. Also, the PRB coals are a
7 higher slagging and fouling coal than bituminous coals, which means that we may
8 also suffer de-rates from additional time off line to clean the boilers. These issues
9 also mean that all boiler-related equipment in the units used to generate energy, from
10 the pulverizers to the soot blowers to the boilers themselves, will have to work harder
11 and require more maintenance because PRB coals are being used. This adds
12 additional wear and tear and additional maintenance costs to these internal parts of
13 the units if PRB coals are used.

14 These are some of the issues that I am concerned about if PRB coals are used
15 at CR4 and CR5. Sargent & Lundy and Mr. Hatt have addressed some of these same
16 issues, and additional issues, in greater detail. In sum, though, I can say that PRB is a
17 maintenance and operational nightmare from my perspective as the person
18 responsible for the operation and performance of CR4 and CR5. In addition, the units
19 will be scrubbed in 2009 and 2010 so I am not sure if it makes sense to continue to
20 consider PRB coals for CR4 and CR5. With scrubbers on the units we will be able to
21 move to higher sulfur coals and burn them at the units.

22

1 Q. **Have you reviewed the modifications that Mr. Hatt says are necessary to safely**
2 **handle and burn PRB coals at the Crystal River site?**

3 A. Yes, I have.
4

5 Q. **How would you go about making these modifications if you had to do them?**

6 A. Before making any modifications to the coal handling and operational systems at CR4
7 and CR5, a significant amount of planning must be done to ensure that the work can
8 be done efficiently so that the base load units are taken off line for as short a time as
9 possible. Scheduled maintenance for the units, for example, occurs during the
10 "shoulder," not the "peak" months of the year. The "peak" months are the months
11 where the customer demand for energy is at its highest, in the winter and summer
12 months, and the units are needed to produce energy to meet the load. The "shoulder"
13 months occur in the spring and fall when temperatures and conditions in Florida are
14 mild and not all generation units are needed to meet customer demand for energy.
15 Still, care is taken to ensure that both base load units are not down at the same time,
16 even in the "shoulder" months, because they are still base load units and generally
17 needed whenever there is customer demand for energy on the Company's system.

18 As a result, the necessary work to handle and operate with PRB coals at CR4
19 and CR5 will probably occur sequentially at the units so that they are not off line at
20 the same time. Additionally, there are other operating units at the site, including the
21 nuclear unit, which present issues regarding the scheduling of work for CR4 and CR5
22 to handle and operate on PRB coals. Careful planning will be necessary to ensure
23 that any work for CR4 and CR5 does not interfere with the operation of these other

1 units, which are also base load units. The fact that there is a nuclear unit on site will
2 also present security issues that must be taken into account in any construction project
3 at the site requiring off-site employees, material, and equipment being brought onto
4 the site.

5 Finally, there are always the issues of including the time to design or identify,
6 order, and purchase necessary equipment and material for the work and to identify
7 and contract for the necessary labor and contractors. All of this needs to be included
8 in developing any timeline for the work contemplated to ensure that the PRB coals
9 can be safely and efficiently handled and burned in the CR4 and CR5 units.

10

11 **Q. How long would it take to make the modifications?**

12 **A.** No determination has been made because no decision has been made for a fuel
13 switch. The Company, however, has engaged in other large construction and
14 maintenance projects at the fossil units at the Crystal River Energy Complex in the
15 past and, based on that experience, I have provided a rough estimate of the time to
16 make the modifications recommended by Mr. Hatt to the units in order for them to
17 handle and burn PRB coals at the site. That estimate is anywhere from 18 months to
18 30 months.

19

20 **Q. Does this conclude your testimony?**

21 **A.** Yes.

22

1 BY MR. BURNETT:

2 Q Sir, do you have a summary of your prefiled
3 testimony?

4 A I do.

5 Q Would you please read it now.

6 A Yes.

7 My name is Wayne Toms, and I'm employed by Progress
8 Energy as the Manager of Shift Operations for the Crystal River
9 fossil units, including Crystal River 4 and 5. Crystal River
10 4 and 5 are base load units that have historically operated at
11 overpressure to produce between a gross of 750 megawatts and
12 770 megawatts at full capacity when called on to provide that
13 level of energy to customers.

14 Base load units are those units called on first to
15 meet the load or customer demand on Progress Energy's system.
16 Units 4 and 5 regularly produce at this gross 750 megawatts and
17 770 megawatts. But since they provide the energy that runs the
18 units themselves, the net capability or capacity received by
19 the customers is about 732 and 735 megawatts.

20 We are able to get this kind of overpressure output
21 from these units because we burn high quality, high Btu
22 bituminous coal. In addition, by taking advantage of the
23 larger boiler that was built for these units, we are able to
24 push more coal through the units to get more megawatts output.

25 The units were originally designed for a 50/50

1 bituminous/subbituminous coal blend. This explains the
2 difference in the boiler size. Progress Energy's ratepayers
3 have gotten the benefit of this larger boiler by Progress
4 Energy Florida using this higher quality coal to generate more
5 output and from the units' ability to burn a variety of coal
6 types. The quality of the coal product will have an impact on
7 Crystal River 4 and 5's ability to produce the expected
8 megawatts. Changes in Btu and moisture of the coal, among
9 other things, can drastically affect the maintenance,
10 operation, and energy production at Crystal River 4 and 5.

11 For example, if we fall below the range of 11,000 and
12 11,300 Btu, we will not be able to operate at overpressure and
13 meet the expected energy production. I know this because I
14 have seen such derates happen in real life when subpar coal has
15 been sent to Progress Energy by coal suppliers. I base my
16 knowledge on what these units can do on running them 365 days a
17 year and not what documents from the late 1970s allegedly say.
18 I have also seen these units operate in various conditions and
19 in situations where equipment was down for maintenance, and I
20 know what they are capable of doing in real life, not in
21 theory.

22 Because coal quality is so important to the efficient
23 operation of Crystal River 4 and 5, we are always wary when
24 there are significant changes in the coal specs, even for
25 changes with other bituminous coal. For example, in the past

1 few years, we have closely evaluated foreign bituminous coal.
2 Because these coals had lower Btu and higher moisture than the
3 domestic bituminous coals, as part of that evaluation we
4 requested a test burn be done to monitor the new coals'
5 performance in the units. A test burn can be done on a
6 short-term basis, two or three days, or a long-term basis,
7 three to six months.

8 Short-term test burns are done to see if any
9 immediate handling, performance, environmental or safety issues
10 are present. The long-term test burn is to see how well the
11 unit will perform over a sustained period of operations and
12 under various environmental conditions.

13 Now I'm going to specifically discuss the use of a
14 PRB bituminous blend of coals at CR4 and 5. PRB coal has
15 significantly different qualities from the bituminous coal
16 Progress Energy currently handles and burns at these units. It
17 is dustier and more volatile. It has a higher moisture content
18 and has a lower Btu content, and also has a lower ash quality.

19 I have a number of issues with the use of PRB coal at
20 Crystal River 4 and 5. The volatility and dustiness of PRB
21 coal presents significant safety and handling issues. PRB coal
22 can spontaneously combust if the proper equipment is not used
23 and if additional care is not taken to control the dust and
24 pack down the PRB coal piles.

25 Additional equipment is necessary from every point at

1 the plant, from the barge unloader, along the conveyor belts,
2 transfer stations, and into the cascade rooms in the units.
3 Because the stacker reclaimers are ill-suited to do the sort of
4 precise blending required for PRB/bituminous coal blends, new
5 equipment for blending PRB coal is necessary.

6 There are also a number of operational and
7 performance concerns with burning a PRB coal blend. The high
8 moisture and low Btu content of PRB coal means that there will
9 be more problems pushing enough coal through the pulverizers.
10 If an adequate amount of coal cannot get into the boilers,
11 Crystal River 4 and 5 will not be able to maintain
12 overpressure, and we will experience a derate. Also, the PRB
13 coals cause more slagging and fouling in the boilers than
14 bituminous coals, which mean more off time to clean the
15 boilers. Overall, I can say that PRB is a maintenance and
16 operational nightmare from my perspective as the person
17 responsible for the operation and performance of Crystal River
18 4 and 5.

19 Beyond the handling characteristics, the biggest
20 concerns for me in terms of operation of Crystal River 4 and
21 5 is a potential derate. The company's energy control center
22 expects me to be able to run these units and to get 732 and
23 735 net megawatt output. The PRB coal blend asserted by OPC
24 witnesses has a heating value of 10,285 Btus. I can tell you,
25 based on the quality of coals I have seen going into the units,

1 that Progress Energy most certainly would not reach 750 to 770
2 megawatt output on that low of a Btu value. If I put that low
3 Btu content coal into those units, we would most definitely see
4 a derate of the units.

5 I have reviewed the modifications that Mr. Hatt say
6 are necessary to safely handle and burn PRB coals at the
7 Crystal River site. I agree with his assessment of the types
8 of equipment we would need, including the dust suppression
9 devices, the blending equipment and the fire protection
10 systems. To make the modifications he suggests, I anticipate
11 that it would require careful planning to ensure that the
12 operation of the other units at the Crystal River site are not
13 interrupted. The modifications to Crystal River 4 and 5 would
14 also likely need to be done sequentially to limit the amount of
15 down time of a base load capacity. Given these constraints, I
16 estimate that these modifications would take anywhere from 18
17 to 30 months.

18 In summary, the safe use of PRB coal at Crystal River
19 4 and 5 require substantial upgrades to all aspects of the
20 units' operating systems and would most assuredly cause a
21 significant derate in megawatt production. As the person
22 responsible for making sure that these essential base load
23 units supply energy to our customers, I would not want to do
24 anything that would compromise the safe and efficient operation
25 of these units, and the use of PRB coal as OPC suggests would

1 do just that.

2 Thank you.

3 MR. BURNETT: We tender Mr. Toms for cross
4 examination.

5 CHAIRMAN EDGAR: Mr. McGlothlin.

6 CROSS EXAMINATION

7 BY MR. MCGLOTHLIN:

8 Q Mr. Toms, I will begin with a question regarding your
9 statement at Page 12 of your prefiled testimony. You say there
10 we know, for example, that if the Btu content of the coal
11 burned at CR4 and CR5 falls below a range between 11,000 Btus
12 per ton and 11,300 Btus per ton, we will not be able to operate
13 at overpressure. Do you see that statement?

14 A I do. On Lines 18 and 19?

15 Q Yes. First of all, should that read 11,000 Btus per
16 pound as opposed to ton?

17 A Yes.

18 Q Now, as I understand the situation from subsequent
19 conversation with you during your deposition, with respect to
20 these incidents, you were able to return to overpressure, were
21 you not, after adjusting feeder speeds to supply more coal to
22 compensate for the lower Btus?

23 A Yes. We increased the feeder speeds from around
24 65 percent up to 70 percent, and that allowed us to achieve the
25 overpressure rating of 750 megawatts.

1 Q So, in that situation, it was a matter of adjusting
2 the Btus being input to the boiler in compensation for the
3 lower Btus per pound, is that correct?

4 A Yes.

5 Q If you will turn to your Exhibit CWT-2, and Page 7 of
6 13, there is a nameplate rating of 665,000 kW. Do you see
7 that?

8 A I do.

9 Q That rating applies not to the boiler, but to the
10 turbine that actually generates the megawatts, is that correct?

11 A That is the turbine rating, yes.

12 Q And would you agree that the 665 output of the
13 turbine would be -- the anticipated megawatt output when steam
14 is supplied to the set point indicated, regardless of the type
15 or quantity of coal that is being consumed at the time?

16 A Say that again.

17 Q Yes. Would you agree that the 665 nameplate rating
18 is a function of the steam being supplied from the boiler to
19 the turbine?

20 A Yes.

21 Q And it doesn't matter which type of coal being burned
22 to supply the steam, if the steam is at the set point
23 indicated, then the turbine would generate the nameplate
24 rating?

25 A If you are producing that amount of steam, yes, you

1 would produce 665 megawatts. That amount of steam is 4.7
2 million pounds mass per hour.

3 Q And, similarly, the overpressure condition that has
4 been referred to in this hearing is also a matter of steam
5 pressure, is it not?

6 A Yes, it is.

7 Q And for purposes of this particular unit, are these
8 units, that is defined to be 105 percent of the normal set
9 point?

10 A Of 2500 pounds, yes. It equates to 2640 pounds of
11 steam at the super heater output.

12 Q And if steam is supplied in that quantity and in that
13 pressure to the turbine, the nameplate rating of which is 665,
14 the additional pressure will cause the turbine to generate more
15 than 665, is that correct?

16 A That is correct.

17 Q And that is why you see gross numbers in the
18 750 range, is that correct?

19 A Yes.

20 Q And, again, the overpressure situation which -- and
21 perhaps this is a good time to make this observation. We use
22 the term MCR, or maximum continuous rating, is that synonymous
23 with the overpressure situation or condition?

24 A It is.

25 Q Would you agree with me that if steam is being

1 supplied in that quantity, at that pressure, to meet the
2 definition of MCR, or maximum continuous rating, the output of
3 the turbine will be the 750 megawatts or thereabouts,
4 regardless of whether the fuel being burned is 100 percent
5 bituminous coal or a blend of coals?

6 A Yes.

7 Q And over time Progress Energy has been able to
8 achieve and maintain this maximum continuous load with those
9 units when burning bituminous coal, is that correct?

10 A Yes, we have.

11 Q So in terms of the physical capability of the unit to
12 hold together while that amount of steam is being supplied from
13 the boiler to the turbine, that capability has been established
14 with the bituminous coal?

15 A Yes.

16 Q You have described Crystal River Units 4 and 5 as
17 base load units, have you not?

18 A I did.

19 Q But isn't it true that the extent to which they are
20 called upon to produce the megawatt output is a function of the
21 load on the system at any given point in time?

22 A Yes. They are right after CR-3. CR-3 we maintain at
23 100 percent, and then CR4 and 5 fluctuate, dependent upon the
24 load, and then it goes down dependent upon the incremental cost
25 of the fuel being burned.

1 Q And do I understand correctly that the nature of the
2 load on the units or on the system typically means that during
3 the nighttime hours and, perhaps, also seasonally, the output
4 of each unit is not 750, but perhaps is in the vicinity of
5 300 megawatts?

6 A It could be anywhere from 300 to overpressure of 750,
7 760, yes, dependent upon the season, the temperature outside,
8 winter, summer, if people are using their heaters or their air
9 conditioners.

10 Q If you will turn to Page 14 of your testimony.
11 Beginning at Line 13 you describe an experience with purchasing
12 and burning imported bituminous coals that have a lower Btu and
13 higher moisture content from the Appalachian coals that you
14 usually burn, do you not?

15 A Yes.

16 Q And you say at Lines 17 and 18 that before those
17 coals were utilized, you performed a test burn of the coals at
18 one of the units, is that correct?

19 A Yes.

20 Q And is it also correct that the duration of the test
21 burn that was performed was four days?

22 A It doesn't say that here. We would do different test
23 burns dependent upon the coal that we were bringing in. We
24 could do it up to four days, yes.

25 Q And following the four-day test burn, Progress Energy

1 did begin to use the imported coal in those units, correct?

2 A We did. We used Colombian, Venezuelan.

3 Q Now, if you will turn to your Exhibit CWT-2, Page
4 9 of that exhibit. And this page is one of several pages
5 that -- excuse me, time out.

6 My error, sir. Please refer to Page 6 of 13. This
7 page is one of several that comprise some contract information
8 sheets supplied by Babcock & Wilcox in conjunction with
9 providing the boilers for the units, are they not?

10 A Are we on Page 6 or Page 9?

11 Q Page 6.

12 A Okay. And your question?

13 Q This page and the balance of this particular exhibit
14 comprise the contract information sheets provided by Babcock &
15 Wilcox in conjunction with supplying the boilers for Units
16 4 and 5?

17 A Yes.

18 Q Would you agree that the values listed on the
19 performance summary sheets are expressed in pounds of steam per
20 hour?

21 A Can you tell me where on the page?

22 Q In the column for steam flow, which is one, two,
23 three, the fourth -- the very top of the fourth column from the
24 left. It is difficult to -- under the column called predicted
25 performance?

1 A Okay. Predicted performance.

2 Q Would you agree that those are expressed in terms of
3 pounds of steam per hour?

4 A The top two rows?

5 Q Yes.

6 A Yes, those are pressures.

7 Q Would you agree with me that with respect to the
8 value shown for steam flow under predicted performance, the
9 last two columns correspond to the maximum continuous rating of
10 the unit?

11 A The last two in that -- the whole column of predicted
12 performance?

13 Q The right-most or the right -- the one that has the
14 value of 5,240?

15 A There are two that have 5,240.

16 Q Yes, sir. Would you agree that those values
17 correspond to the overpressure condition, also called MCR?

18 A Yes.

19 Q And, let's see. Would you agree that the efficiency
20 listed under the column for MCR is 87.67 percent?

21 A I would agree that it's 87.67 percent for the blend
22 coal at the 5,240. It is 88.34 for the Illinois coal.

23 Q Yes. I was speaking in terms of the blend. Thank
24 you for the clarification.

25 And when in your answer you refer to the blend,

1 Mr. Toms, let me refer you to the upper left-hand part of the
2 page, and the entry that says 50/50 blend of eastern and
3 western. And is that the blend that you were assuming when you
4 pointed me to the MCR value?

5 A Yes.

6 Q And would you agree with respect to the column for
7 which we identified the MCR value of 5,240 to the right-hand
8 side of predicted performance, that there is an entry, a steam
9 pressure entry for each of the places under the 5,240, that
10 there is a complete representation of the MCR condition there?

11 A I don't know what you're asking.

12 Q I'm asking you to agree simply that there's -- for
13 every predicted performance setting or condition, there has
14 been a value entered for each of those columns?

15 MR. BURNETT: Joe, are you asking him is there
16 writing on the page in those columns?

17 MR. MCGLOTHLIN: I'm asking him to agree that there
18 is a representation of a value that corresponds to each of the
19 conditions, leaving super heater, leaving super reheater,
20 entering reheater, all of those various points have a value
21 corresponding to the MCR condition?

22 A Except for a few rows, they have numbers in them,
23 yes.

24 Q Now, on the same page, Mr. Toms, on the right-hand
25 side under equipment per unit, in the middle of the page, there

1 is an entry for pulverizers of coal. Do you see that?

2 A I see pulverizers.

3 Q And do you see that it also indicates that for a
4 capacity of five pulverizers is the 5,240 pounds for steam
5 associated with the MCR condition, and assuming that the blend
6 is being burned?

7 A I see the type of NPS, the size of 89G, or golf, the
8 number of six, capacity five pulverizer is 5,240, and it looks
9 like there is something there and then pounds steam. Yes, that
10 is what it says.

11 Q Would you agree then that this is Babcock & Wilcox's
12 representation that with five pulverizers the units are capable
13 of maintaining the overpressure condition?

14 MR. BURNETT: Objection, calls for speculation as to
15 what Babcock & Wilcox is intending.

16 MR. MCGLOTHLIN: Well, this is the contract
17 information sheet and the witness has testified to his belief
18 as to the capabilities of the unit. This is the supplier of
19 the boilers expressing in quantitative terms the capacity of
20 the pulverizers and the steam condition that will be realized
21 at that point. So I think he is capable of agreeing or
22 disagreeing.

23 CHAIRMAN EDGAR: The witness can answer the question
24 if the witness can answer the question.

25 THE WITNESS: I didn't hear it. I can answer the

1 question?

2 CHAIRMAN EDGAR: Yes, sir.

3 THE WITNESS: This sheet of paper, it looks like that
4 is what it is saying. I know that with five pulverizers, I
5 cannot achieve 750 megawatts with a 12,500 Btu coal.

6 BY MR. McGLOTHLIN:

7 Q Well, are there any other conditions with that
8 scenario -- for instance, you have indicated earlier that you
9 lose megawatts if you supply fewer Btus and don't change feeder
10 speed. Are you saying that there is no adjustments that you
11 could make to compensate for the presence of five pulverizers
12 that would still get you to the MCR condition?

13 A I think Mr. Hatt testified that you could do that if
14 you reduced the grindability and allowed larger particle coal
15 sizes to go into the boiler, which would slag the boiler and
16 screw up your combustion. So I guess you could do that. That
17 is what Mr. Hatt had testified.

18 I'm telling you that when I lose a pulverizer, my max
19 load is around 680 megawatts. When I have a pulverizer in a
20 rebuild -- I just rebuilt 503 pulverizer. I was derated. ECC
21 knew that I was derated on Unit 5 to 680 megawatts. That's
22 what I run.

23 Q And did you make any adjustments to particle size in
24 that situation?

25 A No, not at all. The pulverizers --

1 Q Did -- go ahead.

2 A The pulverizers are set up to grind the coal to a
3 specific fineness, and then the primary air fans pick up that
4 coal, and it blows it through the nine coal pipes to the
5 burners at the front and the back of the boiler. That is
6 all -- that is all set. When we change the feeder speeds to
7 burn the different Btu coal, that was a -- you know, the
8 engineers came in and said we are going to make some
9 adjustments. We are going to increase the feeder speed to
10 allow more coal to go to the pulverizers so that we could get
11 the output that we expected.

12 We found that for a number of years Crystal River 4
13 and 5 had been -- have had a steady supply or diet of 12.5 Btu
14 coal, and that coal supply is going away, as Mr. Weintraub
15 indicated. We are not finding that. We are finding the lower
16 value coal, so we are having to find a way to maintain the high
17 pressure -- I mean the high load, the 750 megawatts with the
18 boiler that we have. I know that we have burned down to 11,000
19 Btu coal. At 11,000 Btu coal, I was just making the
20 750 megawatts.

21 And then coal isn't homogeneous. I was pulling the
22 coal out of a barge, and the barge is a big, you know, vessel
23 with a tug boat that is at the end, and it has four holes in
24 it, and it is filled up with coal. And as we dig out the
25 barge, the holes from the barge, you know, the top part of that

1 hole could be 11,200, and then the middle of that it could be a
2 10.9 or something. But, you know, it is not homogeneously all
3 the way spread out at 16,000 pounds of the same value coal. So
4 I could actually see a dip in the megawatt output based on the
5 coal I was burning at that time, and it is instantaneous as it
6 goes onto the conveyor and up through to Crystal River 4 and
7 5 to be burned.

8 MR. MCGLOTHLIN: If I could have a second, I think I
9 am about through.

10 BY MR. MCGLOTHLIN:

11 Q Mr. Toms, are you familiar with the reports of the
12 test burns performed during 2004 and 2006?

13 A I am only a little bit familiar with 2004. I was at
14 the plant for the 2006 test burn.

15 Q Well, answer it, if you know. Isn't it true that the
16 reports indicated that pulverizer capacity was not a constraint
17 to carrying the amount of load in those tests?

18 A I think if you look at the Btu value it was very
19 high. I know in the test in May of 2006 the Btu value was
20 11.7.

21 Q But in those tests pulverizer capacity was not a
22 limitation?

23 A Right. But go back to the Btu value of the coal,
24 that is what determines what your load is going to be. The
25 lower the Btu value the lower your load will be.

1 Q I believe you mentioned Btu value, but isn't it true
2 that the equation is the number -- the tons of coal you put in
3 will determine, and the Btu value will determine the megawatt
4 output?

5 A It is. But you have to be able to put the amount of
6 tons that you are talking about in.

7 MR. MCGLOTHLIN: Those are all my questions.

8 MR. McWHIRTER: No questions.

9 CHAIRMAN EDGAR: Mr. Twomey.

10 MR. TWOMEY: Thank you, Madam Chair.

11 CROSS EXAMINATION

12 BY MR. TWOMEY:

13 Q Good afternoon, Mr. Toms.

14 A Good afternoon.

15 Q I just have a question or two. At the very outset of
16 Mr. McGlothlin's cross-examination of you, he asked you a
17 question related to the feeder value or the feeder speed, do
18 you recall that?

19 A I do.

20 Q And he referenced it to a portion of your testimony.
21 Was that on Page 12, do you recall? Or do you recall where it
22 was?

23 A I do not recall where it was.

24 Q I think it was Page 12. If you would turn to Page
25 12.

1 And I tried to make a note at the time, but I want to
2 ask you if you recall if it was. At 12, starting at Line 17
3 there is the statement in your testimony, we know, for example,
4 that if the Btu content of the coal burned at CR4 and CR5 falls
5 below a range of 11,000 Btus per ton and 11,300 Btus per ton,
6 we will not be able to operate at overpressure and meet the
7 expected energy production requirements at full capacity. Was
8 that the portion of your testimony that he questioned you
9 about, do you recall?

10 A Say the last thing.

11 Q Was that the portion of your testimony that he asked
12 you the question about in relation to feeder speed?

13 A I'm not sure if that was related to feeder speed at
14 that time.

15 Q Well, let me ask you this way. If you increase the
16 feeder speed -- what is the typical feeder speed when you are
17 burning bituminous coal of your 12.5 range to get your maximum,
18 to get your overpressure?

19 MR. BURNETT: Object as ambiguous. Which feeders are
20 you talking about, Mike?

21 MR. TWOMEY: What I thought was the feeder speed that
22 feeds the coal to the pulverizers.

23 THE WITNESS: Each pulverizer has a silo above it,
24 and each silo comes down to a feeder, and that feeder feeds a
25 mill, a pulverizer. The feeder speed of the 12,500 Btu coal

1 was set up at around 65 percent feeder speed. That allowed
2 enough coal to go into the pulverizer, the pulverizer spins its
3 wheels around to crush that coal, and you didn't flood out the
4 pulverizer. You could keep that amount of coal, 65 percent of
5 the coal dropping on that belt could drop into the pulverizer,
6 and that pulverizer could grind that up and take it up to the
7 boiler. That was all engineered and set up, and the veins and
8 everything was put together with that 12.5. As we started to
9 experience the lower Btu coal coming in that we had to start
10 burning, we had to start adjusting that feeder speed up a
11 little bit. We've adjusted it up to around 70 percent now.

12 Q From 65 to 70?

13 A Yes, sir.

14 Q To compensate for having fallen down to what level of
15 Btu per ton?

16 A Down to the 11,300, which is on Page 12 here.

17 Q I see. So the feeder speed, in a crude sense, is
18 almost like an accelerator?

19 A Almost, yes.

20 Q Okay.

21 A You could actually put more coal in the pulverizer
22 than the pulverizer has the capacity to grind, at which time
23 you lose that pulverizer. You lose 100 megawatts. You are
24 derated rate then and there until you grind out that coal to
25 start it back up.

1 Q I see. Is 70 percent, the 70 percent rate the
2 maximum?

3 A Dependent upon what operator is sitting on the board,
4 yes. They don't like to even go up to 70 percent. We push
5 them to the 70 percent level. It's safe, it's okay, but some
6 operators they -- you know, if they get a sense that this thing
7 might flood out, they don't want to go into a big plant shakeup
8 where they lose 100 megawatts, and then they could lose the
9 entire plant.

10 MR. TWOMEY: That's all I have. Thank you.

11 CHAIRMAN EDGAR: Mr. Brew. No questions.

12 Mr. Bradley. No questions.

13 Questions from staff?

14 MR. YOUNG: Yes, Madam Chair. Three to
15 four questions.

16 CROSS EXAMINATION

17 BY MR. YOUNG:

18 Q Mr. Toms, you mentioned particle size. Can you
19 please explain the importance of the particle size in the
20 combustion process for CR Units 4 and 5?

21 A The smaller the better.

22 Q Okay.

23 A Do you need more than that?

24 Q That's fine.

25 A Okay.

1 Q You also mentioned -- you talked about feeding more
2 coal into -- if you can feed more coal, can the boilers use it
3 to achieve the maximum continuous rating?

4 A Say that again, please.

5 Q If you can feed more coal, can the boilers use it to
6 achieve the maximum continuous rating for CR4 and 5?

7 A Yes. If we had another pulverizer, yes, we could do
8 that.

9 Q Okay. And the final question is did Babcock & Wilcox
10 guarantee that CR4 and 5 would gross 750 to 770 megawatts using
11 50/50 blend of PRB coal?

12 A No, sir. They did guarantee 665.

13 Q One final question. Earlier you mentioned that you
14 can hit 750 using 1100 Btu coal, correct?

15 A Yes.

16 Q If that is the case, why is PEF or PFC's
17 specifications of the RFP call for 12.3, 12,300 Btus per pound
18 coal?

19 MR. BURNETT: Objection, it's a mischaracterization.
20 I believe Mr. Pitcher testified on the nature of that
21 specification earlier with respect to the RFPs and bids, and
22 made it clear that that was not a minimum requirement. That
23 that simply was the basis by which the economic evaluations
24 were made. Maybe you want to ask the question a different way,
25 but I object to it as asked.

1 MR. YOUNG: We withdraw the question. Thank you.

2 CHAIRMAN EDGAR: Thank you.

3 Mr. Burnett.

4 MR. BURNETT: Thank you, Madam Chairman.

5 REDIRECT EXAMINATION

6 BY MR. BURNETT:

7 Q Mr. Toms, one of the last questions you were just
8 asked was about guarantees. Mr. Young just asked you that, do
9 you recall that?

10 A I do.

11 Q I want to ask you a couple of questions with regard
12 to your CWT-2. Do you have that in front of you?

13 A I do.

14 Q Now, you were asked some questions about this earlier
15 with Mr. McGlothlin, and I want to ask you, this is the column,
16 correct me if I'm wrong, but this was the column Mr. McGlothlin
17 was asking you questions about, about MCR and the steam value
18 there of 2640, is that correct?

19 A Yes.

20 Q And I believe by answering Mr. McGlothlin's questions
21 you identified this 2640 in MCR as being synonymous with the
22 overpressure condition, am I correct or incorrect?

23 A You are correct.

24 Q Okay. And that overpressure condition, am I correct,
25 that it was established by Mr. McGlothlin's question, that is

1 what will lead to the 770 megawatts in your experience?

2 A Say that again.

3 Q The steam value of 2,640, is that the overpressure
4 condition that let's these units produce enough steam to turn
5 the turbine to produce the megawatts you are used to getting?

6 A The steam value of 5,000,240?

7 Q Yes.

8 A Yes.

9 Q Okay. Now, with respect to guarantee, do you see
10 that column right there? Can you read what that says?

11 A That column is on the 4.7 million pounds mass steam
12 with a blend, and there is the guarantee.

13 Q Do you see guarantee there?

14 A I see -- well, I see G-U-A-R.

15 Q Okay. And what, if anything, do you interpret that
16 G-U-A-R to mean?

17 A I don't think you can interpret it from this. You
18 have to go back to page --

19 Q Well, let me ask you this, did you just testify that
20 you interpret that G-U-A-R to mean guarantee, is that right or
21 wrong?

22 A That is right.

23 Q Do you see G-A-U-R (sic) in the column that
24 Mr. McGlothlin was questioning you about?

25 A No.

1 Q And this value of 2500 under the column with the
2 G-U-A-R in it, is that the psig value that you associated
3 earlier with the nameplate rating of 665 megawatts?

4 A It is.

5 Q Okay. I would like you to turn to Page 7 of 13 of
6 your prefiled testimony. Now, here we see that 2640 again and
7 maximum continuous load again. Is that the same figure we were
8 just talking about on the other page?

9 A Yes.

10 Q Now, here we see that G-A-U-R (sic) load again.
11 What, if anything, do you interpret those words to mean?

12 A Guaranteed load.

13 Q And I just highlighted the 2500 psig, do you see
14 that?

15 A I do.

16 Q And, again, that was the nameplate associated psig of
17 665 megawatts?

18 A Yes.

19 Q Turning the page again, I believe that you saw -- you
20 established earlier with Mr. McGlothlin that the term MCR is
21 equal to overpressure, correct?

22 A Right.

23 Q And you see that there?

24 A I do.

25 Q Do you see the term G-A-U-R (sic) that I just

1 highlighted there?

2 A G-U-A-R, yes.

3 Q G-U-A-R. And do you interpret that as meaning the
4 same thing as MCR or something different?

5 A No, I think the G-U-A-R is standing for the guarantee
6 or the nameplate data of 665.

7 Q And, again, over to Page 11 of 13 of your prefiled
8 testimony. Basically, are we seeing the same distinctions
9 here?

10 A We are.

11 Q Have you seen Mr. Barsin's testimony?

12 A I have.

13 MR. MCGLOTHLIN: If he is going to question about Mr.
14 Barsin's testimony, I object as beyond the scope of
15 cross-examination.

16 MR. BURNETT: It goes to guarantees. Some of the
17 guarantee documents that were put forward by Mr. Barsin were
18 put forth as guarantee documents. They've opened on cross the
19 issue of what the units were guaranteed and specified to do.
20 So I would like to use the documents that Mr. Barsin calls the
21 guarantee documents to question the witness on.

22 MR. MCGLOTHLIN: My question on cross related to this
23 witness' exhibits, Mr. Toms. I did not broach Mr. Barsin's
24 testimony. Counsel will have an opportunity to cross-examine
25 Mr. Barsin when he takes the stand.

1 CHAIRMAN EDGAR: I will look to staff.

2 MR. YOUNG: Madam Chairman, I think you should
3 sustain the objection. It's beyond the scope of
4 cross-examination.

5 CHAIRMAN EDGAR: On the recommendation of staff, we
6 will sustain the objection.

7 MR. BURNETT: Fair enough.

8 BY MR. BURNETT:

9 Q I think one final question with respect to the
10 documents in your prefiled testimony. Bear with me one second.

11 Mr. Toms, other than where I have highlighted here
12 the letters G-U-A-R and the columns Mr. McGlothlin was
13 questioning you about, do you see G-U-A-R anywhere else?

14 A On the second column, one, two, three, four, five,
15 six rows down, it says over to the left, right there, I see
16 guarantee -- or G-U-A-R there.

17 Q And is that the psi value associated with the G-U-A-R
18 there, 2500?

19 A Yes.

20 Q And, again, that is the same 2500 associated with the
21 nameplate rating that you told me about earlier?

22 A Yes.

23 Q And that is 665 megawatts?

24 A Yes.

25 Q You were also asked a couple of questions about your

1 belt speeds earlier. Let me ask you some questions related to
2 that. What, if anything, do you need to put into a boiler to
3 make steam?

4 A Put into a boiler to make steam? Heat.

5 Q And how do you get that heat in there?

6 A The coal and the air chemical reaction.

7 Q Is the amount of heat value that coal produces rated
8 by any sort of scale?

9 A British thermal unit.

10 Q And the British thermal unit what, if anything,
11 happens if you don't put enough British thermal units into your
12 boiler with respect to steam?

13 A I won't make the amount of steam that I need to turn
14 the turbine.

15 Q In the instances that you were telling me about --
16 telling Mr. McGlothlin about where you increase feeder speeds,
17 what was the Btu value or British thermal unit value of the
18 coal you were using then?

19 A It was between 11,000 and 11,300.

20 Q 11,000 and 11,300. And what is the Btu value of the
21 coal that OPC suggests we should use in this case?

22 A 10,285, I want to say.

23 Q So, Mr. Toms, irrespective of feeder speeds, is
24 11,300 the same number as 10,285?

25 A No, sir.

1 Q Have you ever seen your plants, Crystal River 4 and
2 5, operate with coal that had a British thermal unit value of
3 less than 11,000 Btus per pound?

4 A I have.

5 Q What, if anything, happened?

6 A We reduced load below -- we were around 750, 755, and
7 we peeled off, I don't know, 10, 12 megawatts. And when we
8 checked later, we found out that that portion of the barge --
9 we were feeding directly from the barge into the plant, and we
10 found out that -- remember I told you that the coal shipment
11 isn't homogeneous. We found that we had a lower Btu value of
12 coal in that portion of the barge, and that's why we had peeled
13 off the load. But, subsequently, when you go above that value,
14 the 11,000, 11,300 you could increase your Btus -- I mean, your
15 megawatts, sorry.

16 Q Earlier Mr. Young asked you if you could get
17 750 megawatts if you put more coal into the boiler, and I
18 believe you said yes if you had six pulverizers. Was that your
19 answer?

20 A I said if I had the seventh pulverizer.

21 Q An additional seventh pulverizer?

22 A One more, yes.

23 Q And what, if any, coal were you assuming with respect
24 to Btu value were you talking about?

25 A Say that again.

1 Q With respect to the coal that would be moving through
2 those pulverizers, what Btu value, if any, were you assuming
3 when you answered that question?

4 A Oh, lower than the normal diet that we burn right
5 now, 12,000.

6 Q And that would be the need for the seventh
7 pulverizer?

8 A I think his question was could I raise -- could I
9 have more load coming out -- is there another way I could get
10 more load coming out? And I said, yes, I could put more fuel
11 into the boiler. I'm limited with the six pulverizers I have.
12 If I have the seventh pulverizer, then I could -- I actually
13 could put more fuel in there and make the steam.

14 Q And do you have that seventh pulverizer now?

15 A No, I don't.

16 MR. BURNETT: No further questions.

17 THE WITNESS: However, the pulverizers, it's
18 interesting to note, are labeled. You have Unit 4 and you have
19 Unit 5. Unit 4 the pulverizers are labeled 402, 403, 404, 5, 6
20 and 7. They don't have a 401. There is a spot for it, and the
21 one right next to it is labeled 402, and the same thing with
22 Unit 5. They start off 502. So, I mean, everyone believes
23 that there is a space, we were going to have one. It was going
24 to be because it was -- that boiler was designed for a 50/50
25 blend with a lower Btu value, it needed more fuel to go in

1 there to make the load.

2 MR. BURNETT: Thank you, sir. No further questions.

3 CHAIRMAN EDGAR: Exhibits.

4 MR. BURNETT: We would move Mr. Toms' exhibits into
5 evidence, and, unfortunately, I have lost my list.

6 CHAIRMAN EDGAR: I've got mine. 125 and 126 will be
7 entered into the record as evidence.

8 (Exhibits 125 and 126 admitted into the record.)

9 CHAIRMAN EDGAR: And the witness is excused.

10 MR. BURNETT: Thank you. May he be dismissed?

11 CHAIRMAN EDGAR: He may be dismissed.

12 MR. BURNETT: Thank you.

13 CHAIRMAN EDGAR: Thank you.

14 Okay. Let's push forward for a little while longer.

15 Mr. Burnett, your witness.

16 MR. BURNETT: I'm turning it over to Ms. Triplett.

17 MS. TRIPLETT: I call J. Michael Kennedy.

18 J. MICHAEL KENNEDY

19 was called as a witness on behalf of Progress Energy Florida,
20 and having been duly sworn, testified as follows:

21 DIRECT EXAMINATION

22 BY MS. TRIPLETT:

23 Q Would you please introduce yourself to the Commission
24 and provide your address?

25 A Yes. My name is J. Michael Kennedy. I am a

1 Principal Environmental Specialist employed by Progress Energy
2 Services Company, P.O. Box 14042, St. Petersburg, Florida.

3 Q And have you filed prefiled direct testimony and
4 exhibits in this proceeding?

5 A Yes, I have.

6 Q And do you have those with you?

7 A Yes, I do.

8 Q Do you have any changes to make to your prefiled
9 testimony and exhibits?

10 A No, no changes.

11 Q And if I asked you the same questions in your
12 prefiled testimony today, would you give the same answers that
13 are in your prefiled testimony?

14 A Yes.

15 MS. TRIPLETT: We request that the prefiled testimony
16 be moved into evidence as if it was read in the record.

17 CHAIRMAN EDGAR: The prefiled testimony will be
18 entered into the record as though read.

19

20

21

22

23

24

25

**IN RE: PETITION ON BEHALF OF CITIZENS OF THE
STATE OF FLORIDA TO REQUIRE PROGRESS ENERGY
FLORIDA, INC. TO REFUND CUSTOMERS \$143 MILLION**

FPSC DOCKET NO. 060658

DIRECT TESTIMONY OF

MIKE KENNEDY

1 **I. INTRODUCTION AND QUALIFICATIONS**

2

3 **Q. Please state your name and business address.**

4 **A. J. Michael Kennedy, P.O. Box 14042, St. Petersburg, Florida 33733.**

5

6 **Q. By whom are you employed and in what capacity?**

7 **A. I am employed by Progress Energy Service Company as a Principal**
8 **Environmental Specialist.**

9

10 **Q. What do you do?**

11 **A. In my current role, which I assumed in August 2005, my responsibilities include**
12 **working on emerging air legislative and regulatory issues for Progress Energy**
13 **Florida (“PEF” or the “Company”) and Progress Energy Carolinas. Prior to that, I**
14 **managed the environmental permitting and compliance activities in support of**
15 **Florida Power Corporation’s and then PEF’s generating fleet, including air**
16 **permitting and Title V issues. For ease of reference I will refer to Florida Power**

1 Corporation and PEF together as PEF except when circumstances may warrant a
2 distinction between the two companies.

3

4 **Q. What is the purpose of your testimony?**

5 A. My testimony will address OPC's expert's claims regarding PEF's ability,
6 pursuant to its environmental permits, to burn Powder River Basin ("PRB") sub-
7 bituminous coal at Crystal River Units 4 and 5 ("CR4 and CR5"). My testimony
8 will explain the development of the various environmental permit requirements,
9 as they apply to CR4 and CR5. Finally, I will demonstrate that Mr. Sansom's
10 claims that the lack of inclusion of sub-bituminous coal into PEF's Title V permit
11 was imprudent are inaccurate.

12

13 **Q. Please describe your education background and professional experience.**

14 A. I earned a Bachelor of Science degree in Meteorology from Purdue University in
15 1978. Before coming to work at then-Florida Power Corporation, from January
16 1990 to June 1992, I was a Senior Environmental Scientist at Indianapolis Power
17 & Light Company, where my responsibilities included support of generating
18 plants in the area of air permitting and compliance. From August 1986 to
19 December 1989, I was the Permitting and Planning Manager for the Indianapolis
20 Air Pollution Control Division. I managed the areas of air operating and
21 construction permits, air quality modeling and planning, and regulatory
22 development for Indianapolis/Marion County, Indiana. From June 1978 to July
23 1986, I worked as an Air Quality Planner for the Indianapolis Air Pollution

1 Control Division. There I helped develop the State Implementation Plan for
2 compliance with the 1977 Clean Air Act Amendments. I also reviewed air
3 operating and construction permit applications and assisted with compliance
4 inspections at the major sources in the county.

5

6 **Q. Are you sponsoring any exhibits with your testimony?**

7 **A.** Yes. I am sponsoring the following exhibits that I prepared or that were prepared
8 under my supervision and control, or they represent business records prepared at
9 or near the time of the events recorded in the records, which records it was a
10 regular practice for me or those who worked with me to keep to perform our
11 responsibilities:

- 12 • Exhibit No. ___ (JMK-1), which is a copy of the Conditions of
13 Certification for CR4 and CR5;
- 14 • Exhibit No. ___ (JMK-2), which is a copy of the Conditions to Approval;
- 15 • Exhibit No. ___ (JMK-3), which is the opinion letter regarding the
16 enforceability of the long-term Massey contract and the transmittal letter
17 to the DEP;
- 18 • Exhibit No. ___ (JMK-4), which is the initial stack test performed at CR4
19 using bituminous coal;
- 20 • Exhibit No. ___ (JMK-5), which is the proof of publication of the public
21 notice of intent to issue Title V air operation permit;

- 1 • Exhibit No. __ (JMK-6), which is the Final Determination regarding
2 PEF's Title V permit modification request, including proof of publication
3 of the public notice of intent regarding the same;
- 4 • Exhibit No. __ (JMK-7), which is PEF's application for an air
5 construction permit for a short-term trial burn of a sub-
6 bituminous/bituminous mixture; and
- 7 • Exhibit No. __ (JMK-8), which is the Notice of Final Permit for the short-
8 term test burn of PRB coal blend at CR4 and CR5.

9 All of these exhibits are true and correct.

10

11 **Q. Please summarize your testimony.**

12 **A.** PEF was granted site certification for CR4 and CR5 in 1978. As part of that
13 certification process, PEF had to comply with certain environmental restrictions
14 regarding the emission of various pollutants, including particulate matter and
15 opacity limits. Prior to the passage of the Title V amendments to the Clean Air
16 Act, PEF only burned bituminous coal in CR4 and CR5 and was able to stay
17 within the emission limits. Sub-bituminous, or PRB, coal, which Mr. Sansom
18 asserts PEF should have been burning at CR4 and CR5, has a different
19 composition and thus is more likely to result in increased particulate matter and
20 opacity. It is possible that burning PRB coal would have caused PEF to violate
21 the limits set by the site certification process. And if a violation could just
22 possibly occur when burning a coal, then PEF would not have burned that coal
23 without taking some additional steps to convince itself and the DEP that the limits

1 would not be violated. Thus, despite Mr. Sansom's assertions that PEF had the
2 authority to burn sub-bituminous coal in CR4 and CR5 prior to the Title V
3 amendments, PEF did not have the unconditional authority to burn sub-
4 bituminous coal during this time period.

5 So when applying for its Title V permit, PEF did not, as Mr. Sansom
6 suggests, "abandon" any authority to burn sub-bituminous coal at CR4 and CR5.
7 Rather, to comply with the new, much more rigorous regulatory regime, PEF
8 submitted its application and included the only type of coal for which it could
9 provide reasonable assurance that the emission limits would be met: bituminous
10 coal. This is because bituminous coal was the only coal that CR4 and CR5 had
11 burned and PEF knew that the bituminous coal would meet the emission limits.

12 In addition, the fact that PEF did not apply for a Title V permit to burn
13 sub-bituminous coal at some prior point in time is not imprudent. It takes
14 approximately 14 months to apply for and obtain a Title V permit modification.
15 The capital changes that must be made in advance of a long-term test burn, which
16 is prudent and necessary before burning a PRB coal blend, would take at least 18
17 months to install. So even if the Title V permit had been in place, PEF would
18 have still needed to wait for the capital upgrades and the long-term test burn
19 before switching to PRB coal. In essence, not having a Title V permit in place
20 resulted in "no harm, no foul," in terms of timing.

21 Finally, the fact that the Company is planning to install scrubbers on CR4
22 and CR5 is relevant to any decision regarding the use of PRB coal at the units.
23 PEF decided in 2004 to add scrubbers to comply with the new mercury

1 regulations passed by the Environmental Protection Agency ("EPA"). With a
2 scrubber, CR4 and CR5 can burn cheaper, high-sulfur coal and still maintain
3 compliance with other emission limits. But the PRB coal, given its chemical
4 composition, is resistant to the removal of mercury. In fact, even with the
5 scrubbers, if PEF were to burn PRB coal in the units, additional equipment would
6 be needed to remove the mercury from the PRB coal. This information is a factor
7 in the decision whether to switch to a PRB/bituminous coal blend.

8
9 **II. AIR PERMITTING REQUIREMENTS FOR CR4 AND CR5 FROM**
10 **1980's TO 1995**

11
12 **Q. Please explain how air quality was regulated by the state and federal**
13 **governments prior to the passage of Title V for generating units like CR4**
14 **and CR5.**

15 **A.** The passage of the Title V amendments to the Clean Air Act in 1990 ("Title V")
16 was a watershed event that changed the entire landscape of environmental
17 requirements for power plants. Prior to Title V, in the time period in which CR4
18 and CR5 were sited, environmental regulations did not require power plant
19 operators to obtain permits that were as specific and detailed as those that are
20 currently required. Owners of proposed power plants were required to comply
21 with state and federal regulations, but they did not have to apply for and satisfy
22 the substantial technical requirements that now must be met with a Title V permit.

23 The federal permitting process ran concurrently with the state permitting

1 process and involved much of the same information. On the state side, the owner
2 of a proposed power plant submitted a Site Certification Application to the
3 Florida Department of Environmental Protection ("DEP") that was designed to be
4 "one-stop shopping" for all permits, including water and air. If the site
5 application was approved, the DEP then issued Conditions of Certification. These
6 conditions included requirements regarding emission limits within which the plant
7 was required to stay. But the specific manner in which those emission limits were
8 met was not specified, meaning specific types of fuel that could be used in the
9 unit were not enumerated in the site certification Conditions of Certification.

10 In addition to these state certification conditions, the owner of the
11 proposed power plant had to obtain a federal construction permit from the EPA.
12 This permit was known as a new source permit or a prevention of significant
13 deterioration ("PSD") permit, and it required similar information to that required
14 for the air portion of the state site certification process. Pursuant to amendments
15 to the CAA passed in 1977, the EPA was most concerned with improving air
16 quality in geographical areas that were not in compliance with certain ambient air
17 standards. So the federal construction permit, once approved, included
18 "Conditions to Approval," which in many ways were quite similar to the state
19 Conditions of Certification. Importantly, the EPA's Conditions to Approval did
20 not contain specifics regarding the type of fuel allowable in the unit. They merely
21 included emission limitations, much like those found in the state Conditions of
22 Certification.

23

1 Q. When did PEF receive its site certification for CR4 and CR5?

2 A. PEF received the site certification approval order for CR4 and CR5 in 1978.

3

4 Q. So were CR4 and CR5 subject to the pre-Title V regulatory environment?

5 A. Yes, CR4 and CR5 were subject to certain Conditions of Certification issued by
6 the state DEP, as well as Conditions to Approval issued by the federal EPA.

7

8 Q. Please explain the Conditions of Certification that PEF was required to meet
9 to operate CR4 and CR5.

10 A. The Conditions of Certification for CR4 and CR5 provided that stack emissions
11 shall not exceed 1.2 pounds of SO₂ per million BTU heat input, nor shall they
12 exceed 0.70 pounds of NO_x per million BTU heat input. PEF was required to
13 continuously monitor the emissions, as well as the amount and types of fuel used,
14 to ensure the continued compliance with the emission limits.

15 The conditions further required that PEF provide to the Department of
16 Environmental Protection ("DEP") the characteristics of the coal to be fired in
17 CR4 and CR5. PEF also had to provide information about long-term contracts in
18 place to ensure that low-sulfur coal would be available to burn at the plant. A
19 copy of the Conditions of Certification can be found in Exhibit No. __ (JMK-1).

20

21 Q. How did the EPA's Conditions to Approval compare with the DEP's
22 Conditions of Certification?

1 A. The federal and state requirements for CR4 and CR5 were very similar, with the
2 exception of particulate matter emissions. The EPA's Conditions to Approval
3 included a mass emission rate limit of 0.10 pounds per million Btu. These
4 Conditions to Approval also provided that opacity limits from stack emissions
5 could not exceed 20%. This emission limit, like the SO₂ and NO_x limits, was
6 required to be monitored by periodic stack tests. A copy of the Conditions to
7 Approval can be found in Exhibit No. __ (JMK-2).

8

9 **Q. Please explain what opacity and mass emission rates measure.**

10 A. Both opacity and mass emission rates are ways to measure the amount of
11 particulate matter released into the atmosphere upon burning a particular fuel.
12 Opacity is a type of visibility measure that limits the density of emissions. An
13 opacity limit of 20% means that only 20% of the light passing through the plume
14 at the point of discharge (i.e. the stack) is obscured. In other words, the plume
15 must be 80% clear.

16 Mass emission rates actually measure the amount of particulate matter
17 emitted into the air. This limit is enforced by measuring the amount of
18 particulates that are emitted at the stack, as expressed in terms of the amount of
19 heat input to the boiler (which is a measure of the amount of fuel being burned).

20

21 **Q. In terms of compliance by PEF, how did DEP's Conditions of Certification**
22 **and EPA's Conditions to Approval interact?**

1 A. PEF was required to comply with both sets of conditions. While there was much
2 overlap between them, the federal Conditions to Approval also addressed limits
3 not addressed in the state Conditions of Certification.
4

5 **Q. How did PEF comply with the requirements, contained in both the**
6 **Conditions of Certification and the Conditions to Approval, regarding proof**
7 **of availability of coal?**

8 A. PEF provided the DEP with a long-term compliance coal contract, the Massey
9 contract, and an opinion letter verifying the enforceability of that contract. A
10 copy of this opinion letter and the transmittal letter to the DEP are attached as
11 Exhibit No. __ (JMK-3).
12

13 **Q. What kind of coal was contracted for in the Massey contract?**

14 A. The Massey contract gave Electric Fuels Corporation ("EFC") the right to
15 purchase, on behalf of PEF, coal with a maximum of 0.75 percent sulfur and 10.5
16 percent ash, and a minimum of 12,500 Btu. The coal mines from which the
17 Massey contract coal would be mined were located in Boone County, West
18 Virginia. The term of the contract was for 20 years. Given the specifications
19 described in this correspondence, and the location of the coal mines, the Massey
20 contract that was submitted to the DEP to satisfy the Conditions of Certification
21 for CR4 and CR5 was for bituminous coal.
22

1 Q. **And did CR4 and CR5 in fact burn this bituminous coal, some of which came**
2 **from the Massey contract?**

3 A. Yes, CR4 and CR5 burned only bituminous coal from the moment they came
4 online.

5

6 Q. **What other steps did PEF have to take to comply with the Conditions of**
7 **Certification and the Conditions to Approval?**

8 A. PEF was also required to conduct a stack performance test for particulates and
9 SO₂ within 180 operating days after each unit came online. PEF provided the
10 DEP with a written report of the results of each test. A copy of the initial test
11 performed at CR4 is provided in Exhibit No. __ (JMK-4). As seen on page 4 of
12 this exhibit, the sample coal had a Btu level of 12,472. Therefore, the type of coal
13 tested for compliance with the emission limits was bituminous coal.

14 In addition to these initial tests, PEF has conducted annual performance
15 tests for compliance with the particulate matter limits. Because CR4 and CR5
16 have only burned bituminous coal, each of these stack tests, year after year, has
17 only measured particulate matter produced by burning bituminous coal.

18

19 Q. **Was PEF able to stay within the 20% opacity limit set by the Conditions of**
20 **Certification by burning bituminous coal at CR4 and CR5?**

21 A. Yes, during the time period before PEF's Title V permit was issued, PEF
22 maintained compliance with the 20% opacity limit by burning exclusively
23 bituminous coal in CR4 and CR5.

1

2 **Q. Can you determine, based on your experience, whether PEF would have**
3 **complied with the opacity limit if PEF had burned sub-bituminous coal in**
4 **CR4 and CR5 during this pre-Title V period?**

5 **A.** By burning sub-bituminous coal, it is possible I could not guarantee that PEF
6 would not have violated the 20% opacity limit for CR4 and CR5. Sub-bituminous
7 coal tends to have a relatively high ash content, and is a "dustier" coal, potentially
8 resulting in increased particulate matter emissions and opacity levels. That is why
9 a test burn is important to perform. The DEP is aware of these characteristics of
10 sub-bituminous coal as well, which is why the agency now requires a test burn
11 and a specific permit modification in order to obtain approval to burn this type of
12 coal.

13

14 **Q. What would happen if PEF exceeded the 20% opacity limit for CR4 and CR5**
15 **during this time period?**

16 **A.** PEF would be in violation of its Conditions to Approval, and the DEP and EPA
17 could issue Notices of Violation. This could result in a penalty of up to \$25,000
18 for each day of the violation.

19

20 **Q. So is it fair to assert, as Mr. Sansom does, that PEF had authority to burn**
21 **sub-bituminous coal before the Title V amendments were enforced?**

22 **A.** No, it is unclear at best whether PEF could have burned sub-bituminous coal. To
23 comply with its Conditions of Certification, it provided the DEP with an actual

1 contract that indicated a long-term commitment to buy bituminous, not sub-
2 bituminous, coal. The initial stack tests were performed with bituminous coal, not
3 sub-bituminous coal. And the units never burned anything except bituminous
4 coal. Because burning sub-bituminous coal increases particulate matter and
5 opacity levels, and PEF had to adhere to opacity and mass emission rate limits,
6 PEF could not have burned sub-bituminous coal at CR4 and CR5 without at least
7 notifying the DEP and EPA and probably doing a test burn of sub-bituminous
8 coal. PEF did not do such a test burn, thus it did not have the unconditional
9 authority to burn sub-bituminous coal at CR4 and CR5 prior to Title V enactment
10 in 1990, despite Mr. Sansom's assertions.

11
12 **Q. Does the fact that PEF indicated in its Site Certification Application that it**
13 **was designing CR4 and CR5 to use a variety of fuels, including sub-**
14 **bituminous coal, have any effect on the authority to burn sub-bituminous**
15 **coal?**

16 **A.** No, because the statements made by PEF in its Site Certification Application are
17 only examples of what the Company planned to do with the units once they came
18 online. PEF was trying to be as flexible as possible in its options for coal. But as
19 the units were being constructed, and the economics and operational issues
20 associated with burning sub-bituminous coal became clearer, PEF opted to burn
21 only bituminous coal. So the only type of coal actually burned in the units, and
22 actually tested for SO₂ and particulate matter, was bituminous coal.

1 PEF never guaranteed that it would use a blend of sub-bituminous and
2 bituminous coals. And neither the Conditions of Certification nor the Conditions
3 to Approval include any requirement that PEF burn a blend of sub-bituminous
4 coal. The conditions do require that emission levels be met, and that certain tests
5 be conducted to ensure compliance with those levels. And as explained above,
6 because sub-bituminous coal was never actually burned in the units, PEF did not
7 have unconditional authority to burn sub-bituminous coal in CR4 and CR5.

8

9 **Q. By the way, were PEF's initial Site Certification Application and subsequent**
10 **fulfillment of its Conditions of Certification and Conditions to Approval**
11 **matters of public record?**

12 **A.** Yes, both the initial Site Certification Application, and the subsequent
13 proceedings approving the Application, were matters of public record. In fact,
14 there were public hearings involving the siting of CR4 and CR5. And the records
15 associated with the site certification process were, and still are, available for
16 public review at the Department of Administrative Hearings. These records
17 include the various stack testing reports and contract information provided to the
18 Department.

19

20 **Q. Did PEF act in any way to conceal its actions in certifying CR4 and CR5 or**
21 **in reporting the type of coal burned at CR4 and CR5?**

22 **A.** No, PEF did not conceal, and indeed could not have concealed, its actions.
23 Pursuant to the public records law, now found in Chapter 119, every document

1 submittal to the Department, as a state governmental agency, is subject to review
 2 pursuant to a public records request. Accordingly, all the documents and
 3 information described above that were associated with the siting and permitting of
 4 CR4 and CR5 are accessible to any member of the public, including the Office of
 5 Public Counsel.

6
 7 **III. TITLE V AND ITS EFFECT ON CR4 AND CR5**

8
 9 **Q. Please explain the change in the regulatory environment that took place with**
 10 **the passage of the Title V amendments to the Clean Air Act.**

11 **A. The 1990 Clean Air Act Amendments, including Title V, were a watershed event,**
 12 drastically changing the way air pollution was regulated and controlled. This
 13 extensive federal legislation imposed several new limitations on power plants.

14 Specifically, Title V requires owners and operators of existing facilities
 15 that are major sources of regulated air pollutants to obtain an operating permit to
 16 continue to operate the facility. The operating permit issued pursuant to Title V
 17 imposes much more detailed requirements than the previous state air permits and
 18 Conditions of Certification that applied to power plants. The permit imposes
 19 requirements on how much air pollution the facility may emit, how the plant is to
 20 be operated, and the types of pollution control devices required for operation of
 21 the plant.

22 The information that must be provided by the owner/operator to obtain a
 23 Title V permit is also more extensive than the information needed to obtain the

1 previous conditions of site certification. Examples of the additional detail
2 required in the Title V permit applications include: 1) a detailed accounting of all
3 potential air-emitting points through the facility, such as vents, parts washing
4 equipment, and maintenance activities (painting, floor maintenance, etc.); 2) a
5 detailed flow diagram of all significant air-emitting sources at the facility; and 3)
6 detailed fuel specifications and data demonstrating assurance of compliance with
7 all regulatory and permit condition limitations and requirements. The Title V
8 permit process is administered by each state environmental agency, but EPA
9 retains final review over whether a permit will be issued.

10
11 **Q. How did the standard for obtaining a Title V permit change from obtaining**
12 **environmental site certification approval, if at all?**

13 **A.** The application process for obtaining a Title V permit is much more rigorous
14 than that previously required to obtain the federal PSD permit (with the
15 Conditions to Approval) and the state Conditions of Certification. The permit
16 application process significantly changed once the Title V amendments came into
17 effect. For example, before a particular type of coal can be included in the Title V
18 permit, the applicant must be able to provide the DEP with reasonable assurances
19 that the coal can be burned in the unit without violating the emission limits for
20 SO₂, NO_x, and opacity.

21
22 **Q. What must an owner/operator show to provide reasonable assurance to add**
23 **additional allowable fuels, as required in the Title V permit?**

1 A. Each facility is different, but there are several ways to provide reasonable
2 assurance. If the facility has been burning the particular type of coal, it can
3 provide information regarding the historical emissions of that coal. In the
4 alternative, depending on the type of fuel change requested, the owner/operator of
5 the power plant can use engineering calculations to assure the DEP that emission
6 limits will not be violated. Reliance on engineering analyses, however, is only
7 adequate when the proposed change will clearly not affect an emission limits. For
8 any type of change that may increase any of the emission limits, the DEP and
9 EPA will probably require a test burn of the new requested fuel type. Even if a
10 test burn is not required to obtain a permit modification, a trial burn may be
11 advisable to ensure that the unit can handle the new fuel from an operational
12 standpoint.

13
14 **Q. Is the Title V permit application process a matter of public record?**

15 A. Yes. Obtaining any type of Title V permit is a matter of public record. First, the
16 entire application file, excluding confidential information, must be made available
17 for public inspection at a DEP office. The applicant for the permit must also
18 publish a notice that specifies the nature and location of the proposed facility, as
19 well as the location of the DEP office where the application and proposed permit
20 may be reviewed. The notice must be published in a newspaper of general
21 circulation in the county in which the permit activity will take place, and it must
22 also be displayed in the appropriate DEP local office. Further, this notice
23 provides that anyone in the public may, within thirty days of the publication of the

1 notice, send written comments to the DEP about the proposed permit or request a
2 hearing on the proposed permit. So I would certainly characterize the Title V
3 permit process as a matter of public record and open to the public.

4

5 **Q. Once Title V permits are approved after this notice and comment period, is**
6 **the final permit available to the public?**

7 **A.** Yes, for a period of time, all environmental permits were available online at the
8 DEP. More recently, after September 11, the permits can be obtained through a
9 public records request to the DEP, or simply by going to the DEP and requesting
10 to review any permit on file. In fact, the public availability of any environmental
11 permit, in addition to the public nature of the pre-1990 process as I described
12 above, make it hard for me to understand how OPC and Mr. Sansom can contend
13 that PEF did anything to conceal any of these facts.

14

15 **Q. Did PEF apply for a Title V permit for CR4 and CR5?**

16 **A.** Yes, PEF submitted its application for a Title V operating permit on June 14,
17 1996.

18

19 **Q. Was PEF's Title V application in 1996 and subsequent permit concealed**
20 **from the public?**

21 **A.** No, of course not. PEF's application, consistent with the regulations requiring
22 notice and public recordation, was filed in the public record. When PEF's
23 proposed Title V permit was issued by the DEP, the proposed permit was

1 published and interested parties were given an opportunity to request a hearing, as
2 seen in Exhibit No. __ (JMK-5).

3
4 **Q. Once an initial Title V permit has been issued, and circumstances arise in**
5 **which the applicant seeks to modify the permit, how long does it take for an**
6 **applicant to obtain a modification to that existing Title V permit?**

7 **A.** That depends on whether a test burn is required to provide reasonable assurance.
8 Assuming that such a trial burn is necessary, the applicant would actually need
9 two permits. The first is a construction permit, which is issued by the state DEP.
10 A construction permit takes about 3-6 months to obtain. The construction permit
11 allows the holder of the permit to conduct a short term trial burn, normally less
12 than 30 days in length, pursuant to the terms of the construction permit. Usually
13 the permit requires the holder to monitor the emissions during the short term test
14 burn and report the findings to the DEP after the burn.

15 Once the test burn is completed, the applicant then decides whether to
16 seek a permanent modification to the Title V operating permit. A permanent
17 modification allows the applicant to burn the requested fuel on a longer-term
18 basis. The standard for obtaining a permanent modification is the same standard
19 applied to receive the initial Title V air permit. The applicant must provide
20 reasonable assurances that the requested change in fuels will not result in a
21 violation of the unit's emission limits. On average, a permanent modification to a
22 Title V operating permit takes about 6-8 months to obtain.

23

1 Q. **What reasonable assurance did PEF use to support its Title V permit**
2 **application in 1996?**

3 A. PEF supported its permit application with historical data, because bituminous
4 coal had been burned at CR4 and CR5 since the units went online. Because
5 compliance with emission limits was maintained while the bituminous coal was
6 burned, this provided adequate reasonable assurance that CR4 and CR5 would
7 remain in compliance with the limits.

8

9 Q. **Why did PEF only include bituminous coal in its initial Title V permit**
10 **application?**

11 A. PEF had only burned bituminous coal at CR4 and CR5 since the units went
12 online. In addition, no other type of coal was considered economic at the time the
13 permit application was submitted. Other types of coal, including sub-bituminous,
14 also have certain handling and operational issues that make them significantly
15 different from bituminous coal. For all these reasons, PEF only included
16 bituminous coal in its Title V permit application.

17

18 Q. **Do you agree with Mr. Sansom's testimony on pages 19-20, where he**
19 **indicates that PEF abandoned its authority to burn sub-bituminous coal by**
20 **not including that type of coal in its Title V permit application?**

21 A. No, as I explained above, bituminous coal was the only type of coal burned at
22 CR4 and CR5 prior to the Title V permit application. It was also the only type of
23 coal for which performance tests were completed pursuant to the original

1 Conditions of Certification. It was the only type of coal that we knew satisfied all
2 requirements of the Conditions of Certification and Conditions to Approval. PEF
3 did not have the authority to burn sub-bituminous coal prior to the Title V permit
4 application, because the characteristics of sub-bituminous coal render it possible
5 to violate the opacity and particulate emission requirements of the Conditions to
6 Approval and Conditions of Certification. And if a violation could just possibly
7 occur when burning sub-bituminous coal, then PEF would not have burned that
8 coal without taking some additional steps to convince itself and the DEP that the
9 limits would not be violated. And so PEF could not have abandoned something it
10 did not have.

11 In addition, it is like comparing apples to oranges for Mr. Sansom to
12 equate the general "coal" in the original Conditions of Certification to PEF having
13 authority to burn sub-bituminous coal in the more rigorous regulatory
14 environment created by the Title V amendments. As explained above, the
15 requirements to obtain a Title V permit are quite different from what was required
16 to receive the prior conditions of site certification. Because the Title V permit
17 required the reasonable assurance regarding specific types of coal, Mr. Sansom is
18 incorrect to state that PEF had authority to burn sub-bituminous coal in its prior
19 site certification conditions that could simply transfer to the Title V permit.

20
21 **Q. Did PEF modify its original Title V application?**

1 A. Yes, in the spring of 1999, PEF submitted an application to DEP requesting the
2 modification of its existing air construction Title V permit, to also allow units
3 CR4 and CR5 to use a bituminous coal/briquette mixture as an allowable fuel.
4

5 **Q. Was a notice of intent published for this proposed permit?**

6 A. Yes, the public notice of intent was published in the Citrus County Chronicle, the
7 county in which the Crystal River site is located, on June 3, 1999. See Exhibit
8 No. __ (JMK-6).
9

10 **Q. Why did PEF request this modification?**

11 A. I understand that at that time, the briquettes, also known as synfuel, had become
12 an economical choice as a fuel alternative for CR4 and CR5.
13

14 **Q. What reasonable assurances did PEF have to supply DEP to support its
15 modification request for a briquette/coal mixture of fuel?**

16 A. To provide reasonable assurances to the DEP that the use of the briquette/coal
17 mixture would not result in an increase in emissions, PEF guaranteed that
18 emission levels resulting from the briquettes would be limited at CR4 and CR5 to
19 the average emissions from the prior three years at the units. Because PEF had
20 been emitting at less than the allowable emission levels at the units that were set
21 by the initial Title V permit, this guarantee was sufficient because it actually
22 resulted in a lower emissions level at the units. In addition, the synfuel had a

1 bituminous base and was to be burned in a mixture with bituminous coal, so the
2 units would never be burning 100% synfuel.

3

4 **Q. Had PEF ever burned a briquette mixture in the units prior to the**
5 **modification request?**

6 **A.** No, PEF had not burned a briquette/coal mixture at CR4 and CR5 prior to its
7 request for a permit modification. But PEF was able to provide reasonable
8 assurances that emission levels would be met, because briquettes have the same
9 base as bituminous coal. Briquettes are formed by taking a bituminous stock and
10 applying chemicals to that stock. PEF had always burned bituminous coal in CR4
11 and CR5 and thus was quite familiar with how that coal would affect emissions
12 when burned in those units. In addition, as stated above, because the briquettes
13 are formed from bituminous coal (briquettes are 98% to 99% coal and 1% to 2%
14 binder), PEF was able to provide the additional assurance that emission levels
15 would be limited to actual emission output from prior years.

16

17 **Q. Was PEF's requested modification granted by the DEP?**

18 **A.** Yes, on June 29, 1999, the DEP issued a modified Title V air construction permit
19 to allow PEF to burn a coal/briquette mixture at CR4 and CR5.

20

21 **III. PERMIT MODIFICATIONS FOR SUB-BITUMINOUS COAL**

22

23 **Q. Please explain the events surrounding PEF's 2004 test burn.**

1 A. In April 2004, the PEF fuels department began burning a blend of PRB and
2 bituminous coal at CR4. PEF's environmental department learned of the test
3 burn, reviewed the plant's Title V permit, and realized that the units were not
4 specifically permitted to burn sub-bituminous coal. The environmental
5 department then notified the fuels department, which indicated that the test burn
6 was done because the people in the fuels department believed that the units were
7 permitted to burn sub-bituminous blend. The test burn was immediately stopped.
8 PEF then notified the DEP of the test burn. No action was taken by the DEP.

9

10 **Q. What steps, if any, has PEF taken to be able to burn sub-bituminous, or PRB**
11 **coal, at CR4 and CR5 pursuant to its Title V permit?**

12 A. In early 2006, the fuels department notified the environmental department that it
13 wanted to test burn a blend of up to 30% PRB coal with the remainder being
14 bituminous coal. On March 3, 2006, PEF applied for an air construction permit
15 for a short-term trial burn of a sub-bituminous/bituminous mixture for about 226
16 full load operating hours. See Exhibit No. __ (JMK-7).

17

18 **Q. How did the DEP respond to this permit request?**

19 A. The DEP responded favorably. A little more than a month from the date PEF
20 submitted its application, on April 26, 2006, DEP issued its final construction
21 permit for the short-term test burn of sub-bituminous coal at CR4 and CR5. See
22 Exhibit No. __ (JMK-8).

23

1 Q. Did PEF complete a trial burn of the sub-bituminous/bituminous coal
2 mixture at CR4 and CR5?

3 A. Yes, in May 2006, PEF test burned a blend of the sub-bituminous coal.
4

5 Q. What, if anything, did PEF do after this test burn?

6 A. Because PEF may want to explore a more comprehensive review of the sub-
7 bituminous coal in a long-term test burn, PEF applied for a permanent
8 modification to the Title V operating permit to burn a 30% blend of sub-
9 bituminous coal in CR4 and CR5. PEF submitted its application on September 1,
10 2006.
11

12 Q. What is the status of PEF's requested Title V permit application
13 modification?

14 A. The DEP has drafted a permit, which has been submitted for public review. This
15 permit received no comments and was forwarded to EPA for review. Pursuant to
16 discussions with the DEP, PEF expects to have the final permit modification
17 issued during the first quarter of 2007.
18

19 Q. Are you aware of Mr. Sansom's claims regarding early test burns of sub-
20 bituminous coal?

21 A. Yes, on page 45 of Mr. Sansom's testimony, he claims that PEF should have test
22 burned sub-bituminous coal at least during the early 1990s, and possibly even
23 right after the units came online in the early 1980s. This way, according to Mr.

1 Sansom's argument, PEF would have been permitted and ready to buy PRB coal
2 once that coal became more economical.

3

4 **Q. Do you agree with Mr. Sansom's claims?**

5 **A.** No. Even assuming that there came a time when PRB coal looked economical,
6 PEF could not have done a test burn in the early 1990's to include sub-bituminous
7 coal in the permit as a "placeholder." As explained by Rod Hatt, a long-term test
8 burn must be done relatively close in time to when the plant expects to burn the
9 different coal. So any test burn completed a significant amount of time before the
10 plant expected to burn that coal would essentially be a waste. The test burn would
11 have to be repeated for operational purposes.

12 In addition, the length of time in which PEF could have obtained a Title V
13 permit modification is shorter than that needed operationally to complete a long-
14 term test burn. As explained above, it takes approximately 3-6 months to obtain a
15 construction permit to authorize a short-term test burn. After the completion of
16 the short-term test burn, if PEF wanted to consider a long-term burn, it would
17 apply for a Title V permit modification. This permit modification process takes
18 about 6-8 months to complete. So in total, PEF could have obtained a Title V
19 permit modification in approximately 14 months. As Wayne Toms, plant
20 manager at CR4 and CR5, explains in his testimony, the capital improvements
21 necessary to begin a long-term test burn would take a minimum of 18 months, and
22 possibly up to 30 months, to complete. So by the time the capital improvements

1 necessary to do the long-term test burn were operational at the plant, PEF would
2 have been able to complete the entire permitting process.

3

4 **Q. Do you have any other issues to discuss regarding the use of a**
5 **PRB/bituminous coal blend at CR4 and CR5?**

6 **A.** Yes, I would like to mention the impact that the installation of scrubbers on CR4
7 and CR5 may have on the issue of whether PRB coal should be burned in these
8 units.

9

10 **Q. What are scrubbers?**

11 **A.** A scrubber is a pollution control device that is installed at a coal-fired unit to
12 remove sulfur dioxide from the unit's exhaust. Because scrubbers remove 95% or
13 more of the sulfur dioxide, a unit with a scrubber has a great deal of flexibility in
14 terms of the type of coal that it can burn, including higher-sulfur, less expensive
15 coal, and still remain within the limits of its environmental permit.

16

17 **Q. Are scrubbers currently required to operate a coal-fired power plant?**

18 **A.** No, but with the recent promulgation of EPA's Clean Air Interstate Rule (CAIR)
19 and Clean Air Mercury Rule (CAMR), which cap the amount of sulfur dioxide,
20 nitrogen oxides, and mercury that coal-fired units can emit, most utilities will
21 have to install scrubbers on many of their units.

22

23 **Q. What effect, if any, does burning PRB coal have on scrubbers?**

1 A. It is more difficult to remove mercury from PRB coal. Even though there is less
2 mercury in PRB coal than in bituminous coal, the chemical composition of PRB
3 coal reduces the effectiveness of the scrubber in removing the mercury.
4 Therefore, the scrubber can remove a higher percentage of the mercury from
5 bituminous coal than it can from the PRB coal. Other devices, such as sorbent
6 injection and baghouses, may need to be installed to sufficiently remove the
7 mercury from PRB coal.

8
9 **Q. Does the Company have any plans to install scrubbers on CR4 and CR5?**

10 A. Yes, currently PEF will install scrubbers on CR5 by the end of 2009 and on CR4
11 by spring of 2010. The Company is installing these scrubbers to comply with the
12 CAIR and CAMR requirements. It began planning the installation of these
13 scrubbers in 2004, prior to the enactment of CAIR and CAMR, because the
14 Company realized that the rules were being proposed and would likely become
15 requirements.

16
17 **Q. What concerns, if any, do you have with burning a PRB/bituminous coal
18 blend at CR4 and CR5, given the planned installation of these scrubbers?**

19 A. As explained above, with a scrubber a plant can burn cheaper, higher-sulfur coal.
20 If one of the alleged benefits of PRB coal is the reduced SO₂ emissions, the need
21 for lower-sulfur coal is greatly reduced with a scrubber. And the cost of PRB coal
22 must be compared to high-sulfur coal, not to low-sulfur Central Appalachian
23 "compliance" coal. This makes the price of PRB coal appear less economical. In

1 addition, because the scrubbers will be less effective at removing the mercury
2 from the PRB coal, additional equipment may be required to maintain compliance
3 with the new mercury emission limits. These additional costs make PRB coal
4 look even less economical.

5

6 **Q. Does this conclude your testimony?**

7 **A. Yes, it does.**

8

9

10

1 BY MS. TRIPLETT:

2 Q Do you have a summary of your prefiled testimony?

3 A Yes.

4 Q Will you please summarize your prefiled testimony for
5 the Commission?

6 A Yes.

7 CHAIRMAN EDGAR: Mr. Kennedy, were you sworn?

8 THE WITNESS: Yes, I was sworn yesterday.

9 CHAIRMAN EDGAR: Thank you.

10 A (Continuing) Madam Chairman, Commissioners, my name
11 is Michael Kennedy, and I'm employed by Progress Energy Service
12 Company as a Principal Environmental Specialist.

13 PEF did not, as OPC's witness, Mr. Sansom, alleges,
14 have unconditional authority to burn a subbituminous coal blend
15 in CR4 and CR5 prior to the Title V Amendments of the Clean Air
16 Act. Before Title V, PEF was required to comply with the state
17 conditions of certification and the federal conditions to
18 approval, both of which provided for various emission
19 limitations, including particulate matter.

20 From the moment the units came on-line, PEF only
21 burned bituminous coal in CR4 and CR5. In addition, as part of
22 the site certification process, PEF provided the State DEP,
23 Department of Environmental Protection, with a 20-year
24 bituminous coal contract as proof that there was a supply of
25 coal for the units. When the required stack tests for both

1 units were performed, both tests were completed using
2 bituminous coal. PEF was required to meet its emission
3 limitations as set forth in the conditions of certification and
4 conditions to approval. PEF knew it could meet those
5 limitations with bituminous coal, but because it had never
6 tested or burned a subbituminous blend, it could not be assured
7 that burning such a blend would comply with the limitations.

8 Subbituminous coal has a different composition than
9 bituminous coal, which makes it more likely to increase
10 particulate matter and opacity when burned. It is possible
11 that burning PRB coal would have caused PEF to violate those
12 site certification limits. Because of this possibility, PEF
13 would not have burned PRB coal and risked violating these
14 limitations without taking steps to assure that burning it
15 would not result in a violation.

16 Thus, Mr. Sansom is incorrect when he asserts that
17 PEF had the unconditional authority to burn subbituminous coal
18 prior to the Title 5 Amendments. In fact, PEF did not have the
19 unconditional authority to burn the coal. The authority to
20 burn it is conditioned on successful testing in a compliance
21 demonstration. That means that when applying for the
22 Title V permit in 1996, PEF did not, in fact, abandon
23 authority, as alleged by Mr. Sansom, because it did not have
24 such authority.

25 The Title V permitting process is more rigorous than

1 what existed under PEF's site certification conditions. If PEF
2 had wanted to include a subbituminous coal as an allowable fuel
3 in its Title V permit application, it would have needed to
4 provide the DEP with reasonable assurance that the plant would
5 stay within emission limits. Because PEF had never used or
6 tested the subbituminous coal in CR4 and CR5, it could not have
7 provided this reasonable assurance for subbituminous coal.

8 In addition, the fact that PEF did not apply for a
9 Title V permit to burn subbituminous coal at some prior point
10 in time is not imprudent. It takes approximately 14 months to
11 apply for and obtain a Title V permit modification.

12 As testified to by Mr. Toms, the capital changes
13 needed for a long-term test burn would take at least 18 months
14 to make, if not longer. So even if the Title V permit had been
15 in place, PEF would still have needed to wait for the capital
16 upgrades and the long-term test burn before switching to PRB
17 coal. In essence, not having a Title V permit in place
18 resulted in no harm, no foul, in terms of timing.

19 I also note that the company is planning to install
20 scrubbers on CR4 and CR5 by 2009 and 2010. This is very
21 relevant to any decision to make a fuel switch. Scrubbers will
22 enable the plant to burn cheaper, higher sulfur coal. If one
23 of the alleged benefits of PRB coal is the reduced
24 SO2 emissions, sulfur dioxide emissions, the need for lower
25 sulfur coal is eliminated with a scrubber. Comparing the cost

1 of PRB coal to higher sulfur coal will make the PRB coal appear
2 even less economical.

3 In addition, the scrubbers remove mercury from CR4's
4 and CR5's emissions. The characteristics of PRB coal, however,
5 make it more difficult for the scrubbers to remove the mercury.
6 So if the company wanted to burn PRB coal, it may have to
7 install additional equipment to ensure adequate mercury
8 removal. This is another factor that must be taken into
9 account when considering whether the company should switch or
10 should have switched to a PRB coal blend.

11 Thank you.

12 MS. TRIPLETT: We tender Mr. Kennedy for
13 cross-examination.

14 CHAIRMAN EDGAR: Mr. McGlothlin.

15 MR. MCGLOTHLIN: I have only a few questions for this
16 witness. I wonder if I could impose on Progress Energy to use
17 the overhead for a second.

18 MR. BURNETT: Absolutely.

19 MR. MCGLOTHLIN: Chairman Edgar, I do have copies,
20 but they are stapled to a document that has been misplaced or
21 mistakenly included in this. I can provide copies for everyone
22 with just a couple of minutes in place, but to go ahead with
23 the questioning, I thought we could perhaps put it on the
24 projector, and I could follow up with distribution in a moment.

25 CHAIRMAN EDGAR: Okay.

CROSS EXAMINATION

1
2 BY MR. MCGLOTHLIN:

3 Q Mr. Kennedy, we've provided you with a page marked
4 Introduction and Executive Summary. It's taken from the
5 company's application for permission to conduct a test burn in
6 May of 2006. Are you familiar with the document?

7 A Yes.

8 Q And if you would -- and is this the application that
9 was submitted to the Department of Environmental Protection in
10 support of a request for authority to conduct a test burn?

11 A I don't know if this is part of the application or a
12 document that accompanied the application. It's a page from --
13 it's entitled Introduction and Executive Summary, so it would
14 appear to be part of that application package.

15 Q You are familiar with the document?

16 A I am not intimately familiar with the entire
17 document. I was not involved in preparing it.

18 Q If you would read beginning with the second full
19 paragraph, read that first three sentences into the record,
20 please?

21 A As discussed in a meeting with the department on
22 February 7th, 2006, Crystal River Units 4 and 5 were originally
23 designed to burn a 50/50 percent blend of eastern bituminous
24 (Illinois Basin), and western subbituminous coal, PRB. The
25 design specifications provided by Babcock & Wilcox are included

1 in Appendix A of this application. The original site
2 certification language attached as Appendix B allowed for a
3 50 percent blend of PRB coal.

4 MR. MCGLOTHLIN: Thank you.

5 Could I have an exhibit number marked and then I will
6 provide copies.

7 CHAIRMAN EDGAR: I am on -- no. Hold on. 223.

8 (Exhibit 223 marked for identification.)

9 BY MR. MCGLOTHLIN:

10 Q And is it true, sir, that the request for authority
11 to conduct the test burn was received, and the test burn
12 conducted in May of 2006?

13 A Yes.

14 Q And pursuant to the results, the successful results
15 of that test burn, did the company then apply for authority to
16 utilize a blend of bituminous and subbituminous coals on a
17 permanent basis?

18 A Yes.

19 MR. MCGLOTHLIN: I have another document to
20 distribute.

21 CHAIRMAN EDGAR: This will be 224.

22 MR. MCGLOTHLIN: Thank you.

23 (Exhibit 224 marked for identification.)

24 BY MR. MCGLOTHLIN:

25 Q Mr. Kennedy, the exhibit marked 224 is captioned

1 Technical Evaluation and Preliminary Determination. Have you
2 taken a moment to review that document?

3 A Well, I have reviewed the cover, yes.

4 Q Well, is it true, sir, that as a general practice in
5 the course of evaluating an applicant's request for a permit,
6 the Department of Environmental Protection staff will prepare
7 an analysis of the project and the merits of the project in
8 support of its proposed action?

9 A Correct, that is the technical evaluation.

10 Q And do you recognize this to be the technical
11 evaluation that was prepared by the DEP in conjunction with its
12 consideration of Progress Energy Florida's request for
13 authority to utilize a blend of bituminous and subbituminous
14 coals on a permanent basis?

15 A Yes.

16 Q And that particular request became part and parcel of
17 a more -- of a larger project, did it not, including the
18 proposed scrubbers and proposed SCR?

19 A That's correct.

20 Q Now, under -- if you will turn to Page 5 of 27?

21 A Yes.

22 Q Under the paragraph numbered 3 there is a caption
23 low-NOx burners and maximum heat input rates. Do I understand
24 correctly that as a function of the permits governing Units
25 4 and 5 currently, the permits impose a limitation on the total

1 heat that can be input to Units 4 and 5?

2 A Correct.

3 Q And as part of the overall package that include the
4 requests for permission to burn blends of subbituminous and
5 bituminous coal, do I understand correctly that Progress Energy
6 Florida represented that the units have the ability to receive
7 more heat than the present limitation?

8 A Yes.

9 Q And does this part of the technical evaluation treat
10 the representations of the company in that regard?

11 A Yes, it does.

12 Q Now, if you will turn to Page 10 of 27.

13 A Okay.

14 Q In the middle of the page, you will see in bold, fuel
15 blend, request for blend of up to 50 percent by weight of
16 subbituminous coal. Do you see that?

17 A Yes.

18 Q If you will read into the record the second sentence
19 of that paragraph that begins the applicant proposes?

20 A Okay. The applicant proposes to fire a blend of up
21 to 50 percent by weight subbituminous coal with bituminous
22 coal. The maximum sulfur content -- do you want me to
23 continue?

24 Q That's all I need. Thank you.

25 A Okay.

1 Q And is it true, sir, that recently the department
2 issued a permit in response to the application?

3 A Yes, I believe the permit is in draft form. It
4 allows up to 20 percent blend.

5 Q But this correctly states the proposal of the
6 company, which was a request to be allowed to burn up to
7 50 percent by weight, correct?

8 A The original request, yes. I believe that's correct.

9 MR. MCGLOTHLIN: Those are all of my questions.

10 CHAIRMAN EDGAR: Mr. McWhirter?

11 MR. MCWHIRTER: No questions.

12 CHAIRMAN EDGAR: No questions.

13 Mr. Twomey.

14 MR. TWOMEY: No, ma'am.

15 CHAIRMAN EDGAR: No questions.

16 Mr. Brew.

17 MR. BREW: No, ma'am.

18 CHAIRMAN EDGAR: No questions. No questions.

19 Questions from staff?

20 MS. BENNETT: No questions.

21 CHAIRMAN EDGAR: No questions. Commissioners. No
22 questions.

23 Ms. Triplett.

24 MS. TRIPLETT: Just very brief redirect.

25 REDIRECT EXAMINATION

1 BY MS. TRIPLETT:

2 Q Mr. Kennedy, Mr. McGlothlin asked you some questions
3 about Progress Energy's permit application, the exhibit you
4 were just looking at, 224. Can you just clarify what the draft
5 permit will allow Progress Energy to burn in terms of
6 percentage of subbituminous coal?

7 A Yes. We, of course, conducted a trial burn last
8 year, and followed that with a permit application to burn a
9 blend. And the department is allowing -- the DEP is allowing
10 us up to 20 percent, as I understand it, with this draft
11 permit, a 20 percent blend with the ability to test higher
12 amounts if we should so choose to do. And this is along the
13 lines of prior to allowing a change in fuel or, in this case,
14 an increase in the amount of subbituminous coal that's allowed
15 to be burned, that a compliance demonstration and a test burn
16 be performed in order to provide the reasonable assurance that
17 we can attain and maintain compliance with the emission
18 limitations that apply to those two units.

19 Q So would Progress Energy have to do an additional
20 test of a higher -- to burn more than the 20 percent?

21 A Yes.

22 MR. MCGLOTHLIN: Object to leading the witness.

23 MS. TRIPLETT: Pardon?

24 MR. MCGLOTHLIN: That was a leading question. I
25 object to leading the witness.

1 MS. TRIPLETT: I'll rephrase.

2 BY MS. TRIPLETT:

3 Q If Progress wanted to burn higher than a 20 percent
4 blend of subbituminous coal, what would they have to do, if
5 anything?

6 A I believe by terms of this permit, we would have to
7 conduct another test burn at that higher amount to ensure that
8 we could attain and maintain compliance.

9 MS. TRIPLETT: Thank you. No further questions.

10 And we would ask that Exhibits 127 to 134 be admitted
11 into evidence.

12 CHAIRMAN EDGAR: Exhibits 127 through 134 will be
13 admitted.

14 (Exhibits 127 through 134 admitted into the record.)

15 MR. MCGLOTHLIN: I move 223 and the yet to be
16 supplied 224.

17 MS. TRIPLETT: No objection.

18 CHAIRMAN EDGAR: Okay.

19 MS. HOLLEY: Excuse me. Did we ever get a title for
20 Document 223?

21 CHAIRMAN EDGAR: Mr. McGlothlin?

22 MR. MCGLOTHLIN: I'll think of one. Excerpt
23 Application for Test Burn.

24 CHAIRMAN EDGAR: Okay. We will go ahead and admit
25 Exhibit 224.

1 (Exhibit 224 admitted into evidence.)

2 CHAIRMAN EDGAR: And, Ms. Holley, what do we need to
3 do for Exhibit 223?

4 MS. HOLLEY: I understand we are still waiting for
5 the actual copy.

6 MR. MCGLOTHLIN: Yes. I can supply that in the next
7 five minutes.

8 MS. HOLLEY: I think we can -- unless there is an
9 objection from Progress, we can go ahead and enter that into
10 the record.

11 MS. TRIPLETT: No objection.

12 CHAIRMAN EDGAR: Okay. We will go ahead and enter
13 223 into the record as evidence, with the understanding that
14 the copy is forthcoming in a few minutes.

15 (Exhibit 223 admitted into evidence.)

16 MR. MCGLOTHLIN: I appreciate your indulgence on this
17 little paper shuffling snafu.

18 CHAIRMAN EDGAR: The witness is excused. Thank you.

19 MS. TRIPLETT: May Mr. Kennedy be dismissed from the
20 proceeding?

21 CHAIRMAN EDGAR: He may.

22 MS. TRIPLETT: Thanks.

23 CHAIRMAN EDGAR: Mr. Burnett.

24 Ms. Triplett.

25 MS. TRIPLETT: We call John Franke.

1 JOHN FRANKE

2 was called as a witness on behalf of Progress Energy Florida,
3 and having been duly sworn, testified as follows:

4 DIRECT EXAMINATION

5 BY MS. TRIPLETT:

6 Q Mr. Franke, have you been sworn?

7 A Yes, I have.

8 Q And would you please introduce yourself to the
9 Commission and provide your address?

10 A Yes. My name is John Franke. My address is
11 15760 West Power Line Street, Crystal River, Florida. And if I
12 might ask, I have my summary over at my desk, if I can get it.

13 CHAIRMAN EDGAR: Sure.

14 MR. BURNETT: Madam Chairman, apparently
15 Mr. McGlothlin isn't the only one with technical difficulties.
16 May we please stand by one second?

17 CHAIRMAN EDGAR: Sure, we can wait a moment. We'll
18 all get our paper in order. (Pause.)

19 THE WITNESS: I apologize. I didn't anticipate us to
20 be able to move so quickly through the other witnesses, based
21 on the previous experience of the day.

22 CHAIRMAN EDGAR: It is often difficult to predict.

23 THE WITNESS: Yes.

24 BY MS. TRIPLETT:

25 Q Okay. Mr. Franke, who do you work for and what is

1 your position?

2 A I work for Progress Energy Florida. I am the plant
3 general manager of the Crystal River 3 station, which is a
4 nuclear plant.

5 Q Have you filed prefiled direct testimony and exhibits
6 in this proceeding?

7 A Yes, I have.

8 Q And do you have that prefiled testimony with you?

9 A Yes, I do.

10 Q And do you have any changes to make to your prefiled
11 testimony?

12 A Yes, I do. On Page 14, I refer to Information Notice
13 98-64. There was a typo there. It is actually Information
14 Notice 89-64.

15 Q And to your exhibits, are there any changes?

16 A No.

17 Q Okay. And if I asked you the same questions in your
18 prefiled testimony today, would you give the same answers,
19 other than that correction, that are in your prefiled
20 testimony?

21 A Yes, I would.

22 MS. TRIPLETT: We request that the prefiled testimony
23 be moved into evidence as if it were read in the record today.

24 CHAIRMAN EDGAR: The prefiled testimony will be
25 entered into the record as though read with the correction

1 noted by the witness.

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

**IN RE: PETITION ON BEHALF OF CITIZENS OF THE
STATE OF FLORIDA TO REQUIRE PROGRESS ENERGY
FLORIDA, INC. TO REFUND CUSTOMERS \$143 MILLION**

FPSC DOCKET NO. 060658

DIRECT TESTIMONY OF

JON FRANKE

1

2

I. INTRODUCTION AND QUALIFICATIONS

3

4 **Q. Please state your name and business address.**

5 **A.** My name is Jon Franke. My business address is 15760 W. Powerline St., Crystal
6 River, FL 34442.

7

8 **Q. By whom are you employed and in what capacity?**

9 **A.** I am employed by Progress Energy Florida, Inc. ("PEF" or the "Company") in the
10 Nuclear Generation Group and serve as Plant General Manager at Crystal River Unit
11 3 ("CR3"), PEF's nuclear plant.

12

13 **Q. What do you do?**

14 **A.** As Plant General Manager I am responsible for the safe operation of the nuclear
15 generating station. The Operations, Maintenance, Scheduling, Radiation Protection
16 and Chemistry units report to me. Through my management team I have about 300
17 employees that perform the daily work required to operate the station.

18

1 **Q. What is the purpose of your testimony?**

2 **A.** My testimony will explain the impact of bringing Powder River Basin ("PRB") coal
3 to the Crystal River site with respect to PEF's nuclear unit, Crystal River 3 ("CR3").
4 Such a change in coal selection represents a significant challenge to my facility.
5 There are major nuclear plant concerns that must be addressed before PRB coal could
6 even be considered for wide-scale use at the Crystal River Energy Complex. My
7 testimony will discuss those concerns and explain what would be required before any
8 significant amount of PRB coal could be allowed at the Crystal River site.

9

10 **Q. Please describe your education background and professional experience.**

11 **A.** I have a Bachelor's degree in Mechanical Engineering from the United States Naval
12 Academy at Annapolis. I have a graduate degree in the same field from the
13 University of Maryland and a Masters of Business Administration from the
14 University of North Carolina at Wilmington.

15 I have over 20 years of experience in nuclear operations. I received training
16 by the US Navy as a nuclear officer and oversaw the operation and maintenance of a
17 nuclear aircraft carrier propulsion plant during my service. Following my service in
18 the Navy I was hired by Carolina Power and Light and have been with the company
19 through the formation of Progress Energy. My early assignments involved
20 engineering and operations, including oversight of the daily operation of the
21 Brunswick nuclear plant as a Nuclear Regulatory Commission ("NRC") licensed
22 Senior Reactor Operator. I was the Engineering Manager of that station for three
23 years prior to assignment to my present job, approximately five years ago.

1

2 **Q. Are you sponsoring any exhibits with your testimony?**

3 **A.** Yes, I am sponsoring the following exhibits that were prepared by me or prepared
4 under my direction.

- 5 • Exhibit No. __ (JF-1), which is an aerial photograph of the Crystal River site;
- 6 • Exhibit No. __ (JF-2), which is a composite exhibit of pictures of the barge
7 unloader, which were taken from various places at CR3;
- 8 • Exhibit No. __ (JF-3), which is a composite exhibit of pictures of various
9 points along the conveyor belt that would transport PRB coal, which were
10 taken from CR3;
- 11 • Exhibit No. __ (JF-4), which is a picture taken of CR3 from the tripper floor
12 at CR4;
- 13 • Exhibit No. __ (JF-5), which is a picture taken of CR3 from a conveyor belt
14 that would transport the PRB coal;
- 15 • Exhibit No. __ (JF-6), which is a diagram of the transmission lines that
16 provide power to the CR3 nuclear unit;
- 17 • Exhibit No. __ (JF-7), which is a composite exhibit of pictures of
18 transmission lines at Crystal River as they cross over the conveyor belts;
- 19 • Exhibit No. __ (JF-8), which is an analysis of the steps taken to evaluate a
20 proposed change at a nuclear facility;
- 21 • Exhibit No. __ (JF-9), which is a list of the risks that would require analysis
22 pursuant to the CR3 operating license before significant quantities of PRB
23 coal could be brought onto the Crystal River site.

1 These exhibits are true and correct.

2

3 **Q. Please summarize your testimony.**

4 **A.** The use of significant quantities of PRB coal at the Crystal River Energy Complex
5 may cause a reduction in the safety margin at the nuclear plant which would need to
6 be evaluated by the Company. The characteristics of PRB coal are vastly different
7 from the bituminous coal currently handled, burned and stored at the Crystal River
8 Energy Complex. The risk of spontaneous combustion, as well as the increased
9 production of flammable PRB dust, present additional hazards and risks that may not
10 have been previously analyzed in PEF's original nuclear operating license.

11 As the nuclear plant general manager, I believe that the use of significant
12 quantities of PRB coal is not prudent in the vicinity of a nuclear plant. Frankly, I
13 would not want this volatile PRB coal in the vicinity of the CR3 nuclear unit on a
14 long-term basis. I have had my licensing group contact every nuclear plant that is
15 sited with a coal facility. No similar condition, i.e. having PRB coal on-site with a
16 nuclear facility, exists or has been evaluated.

17 If PRB coal was to be used at the Crystal River site on a long-term basis, the
18 NRC would oblige the Company to evaluate whether this change in coal would result
19 in more than a minimal increase in risk. This evaluation is rigorous and will likely
20 require months of engineering analysis and study. The unique nature of the situation,
21 because to my knowledge no other nuclear unit has ever evaluated the risks of PRB
22 coal near the unit, means that this analysis will be that much more time-consuming
23 and difficult. After the evaluation, if the Company finds that, even with mitigation

1 strategies, the use of PRB coal would cause a more than minimal increase in risk to
2 plant safety under 10 C.F.R. 50.59, then the Company would have to submit a license
3 amendment request to the NRC. At this point, because PEF has not completed the
4 extensive evaluation, I cannot say whether a license amendment application and
5 formal NRC approval would be required. Whether formally or informally, I would
6 expect the NRC would want to review this change, along with PEF's proposed
7 solutions.

8 What is clear is that this sort of risk has not been analyzed before by the NRC,
9 and there is no certainty in how the NRC will react to it. Before PEF could bring the
10 PRB coal onto the site, it would have to make any required modifications and
11 upgrades identified by the engineering reviews to ensure the change can be
12 implemented safely.

13 II. GENERAL OVERVIEW OF CRYSTAL RIVER 3 NUCLEAR UNIT

14

15
16 **Q. Please describe the Crystal River Site.**

17 **A.** The Crystal River complex is a 4,700 acre site located in Citrus County, Florida that
18 contains four coal-fired generating units, one nuclear generating unit, and related
19 support facilities, such as fuel transportation and storage facilities.

20
21 **Q. Please describe the Crystal River 3 ("CR3") nuclear unit.**

22 **A.** CR3 is a B&W pressurized water reactor that includes a Primary and Secondary
23 System. It currently produces approximately 838 MWe of electricity. CR3 came
24 online in early 1977. The unit generates power onto the 500 kV grid and receives

1 power from two independent 230 kV lines that come into a switchyard located just
2 north of the CR3 Reactor Building. That switchyard, in turn, is supplied by several
3 230 KV transmission lines.

4 The major physical difference between CR3 and other steam electric plants is
5 the equipment used to create the steam. Rather than having a simple oil or coal
6 boiler, CR3 uses a nuclear reactor and support systems to create heat to produce that
7 steam. Those components are housed primarily in the Reactor Building and
8 Auxiliary Building.

9
10 **Q. Please describe the CR3 nuclear unit, as well as its source of offsite power, in**
11 **relation to the other units and equipment located at the Crystal River site.**

12 **A.** The CR3 nuclear unit is located east of two of the coal-burning units, Crystal River
13 Units 1 and 2 ("CR1" and "CR2," respectively). The three units share a common set
14 of intake and discharge canals. That common intake canal acts as the northern
15 boundary of the south coal yard and the coal receiving area. Barges use that intake to
16 transport coal to the station.

17 CR3's Reactor Building is approximately 1,140 feet from the barge unloader,
18 where OPC alleges that PEF should be offloading 100% PRB coal. The coal pile at
19 which PEF would have to temporarily store PRB coal during offloading is located
20 just south of the barge unloader, about 1,520 feet from the CR3 Reactor Building.
21 This coal yard is approximately 1,900 feet from CR3's switchyard. At the closest
22 point, the conveyor belts that transport the coal from the barge unloader to the north
23 coal yard are located as close as 620 feet from the CR3 Reactor Building. The coal

1 pile used to store the coal for use in Crystal River Units 4 and 5 ("CR4" and "CR5,"
2 respectively) lies 3,000 feet to the northeast of CR3 and approximately 1,500 feet
3 from the switchyard. This coal yard is also where PEF would have to blend the 100%
4 PRB coal with bituminous coal, as alleged by OPC in its Petition.

5 The railcar coal unloader is approximately 950 feet to the southeast of the
6 CR3 Reactor Building. CR4 and CR5, at which OPC contends PEF should have been
7 burning a blend of 50/50 PRB coal, are located 3,450 feet from the CR3 Reactor
8 Building. Therefore, the nuclear plant would be virtually surrounded on three sides
9 by this volatile PRB coal. These distances and the layout of the Crystal River site are
10 reflected in Exhibit No. __ (JF-1).

11 To further illustrate, attached as composite Exhibit No. __ (JF-2) are pictures
12 of the barge unloader, which were taken from various places at CR3. Attached as
13 composite Exhibit No. __ (JF-3) are pictures of various points along the conveyor belt
14 that would transport PRB coal, again taken from CR3. Exhibit No. __ (JF-4) is a
15 picture taken of CR3 from the tripper floor at CR4. Exhibit No. __ (JF-5) is a picture
16 taken of CR3 from a conveyor belt that would transport the PRB coal.

17 Regarding the location of the 500 kV and 230 kV lines that supply power to
18 the CR3 switchyard, these lines run east from the CR3 unit and switchyard and cross
19 directly over the conveyor belts that transport coal to the north coal yard. These lines
20 are only about 20 to 25 feet in the air above these conveyor belts. The northernmost
21 transmission line, a 230kV line, runs only about 100 feet to the south of the north coal
22 yard. A diagram of these transmission lines is shown in my attached Exhibit No. __

1 (JF-6). Composite Exhibit No. ___ (JF-7) shows some of these transmission lines as
2 they cross over the conveyor belts.

3

4 **Q. Is there an agency that regulates nuclear plants like CR3?**

5 **A.** Yes, the federal NRC regulates and licenses nuclear units. NRC enforces strict safety
6 regulations for the operation of nuclear units.

7

8 **Q. Please explain the NRC's licensing process, including how and when an
9 operating license must be modified.**

10 **A.** When applying to receive an initial operator's license, the applicant must present
11 detailed information about the unit, including an analysis of certain types of risks that
12 may affect the unit's safe performance. Included within that analysis is a description
13 of the design basis of the plant and how the plant will respond to and handle each
14 challenge to safe plant operation. The details of plant design, construction, operation,
15 geography, location, geology, environmental hazards and many other factors must
16 meet strict requirements.

17 Important to this analysis is the requirement that the nuclear operator, or
18 licensee, must understand any risks to nuclear plant safety such as those risks
19 imposed by nearby activities. This can include risks created by neighboring industrial
20 facilities or the plant's proximity to natural hazards. After thorough review of the
21 design basis and the various risks that could affect the plant, an operating license is
22 issued. The license includes specifications and requirements that are specific to the
23 nuclear plant. When a change to either the nuclear plant or the plant's surrounding

1 environment is contemplated, the plant operator must evaluate whether the change is
2 something that will affect the safety of the plant.

3 If the plant operator finds that the change may increase the probability of a
4 potential risk, or that the change may increase the severity of a risk, then the operator
5 must engage in a rigorous analysis under 10 CFR 50.59. Subsection (c)(2) of this
6 regulation states that "a licensee shall obtain a license amendment . . . prior to
7 implementing a proposed change, test, or experiment if the change, test, or
8 experiment would: (i) Result in more than a minimal increase in the frequency of
9 occurrence of an accident previously evaluated in the final safety analysis report (as
10 updated); (ii) Result in more than a minimal increase in the likelihood of occurrence
11 of a malfunction [of equipment important to safety as it had previously been reviewed
12 by NRC]; or (iii) Result in more than a minimal increase in the consequences of an
13 accident previously evaluated in the final safety analysis report (as updated)."

14 After the licensee completes this detailed engineering analysis, it must decide
15 whether the proposed change can be mitigated such that there will be no more than a
16 minimal increase in the likelihood or severity of an accident or malfunction. If it
17 finds that it passes the test set forth in 10 C.F.R. 50.59, the licensee does not need to
18 seek a license amendment from NRC.

19 If, however, the licensee concludes that the change would result in more than
20 a minimal increase, then the licensee must submit a license amendment application to
21 NRC pursuant to 10 CFR 50.90. As part of the application, the licensee must identify
22 the proposed change and present all proposed modifications to the plant that are
23 necessary to show no undue risk will be presented to the plant and the plant operator

1 will be subject to lengthy review by the NRC staff prior to the plant being able to
2 implement that change to the facility as described in its license.

3

4 **Q. Is CR3 subject to these licensing requirements?**

5 **A.** Yes, CR3 is licensed and regulated by NRC. PEF's CR3 operating license was issued
6 by the NRC on December 3, 1976.

7

8 **Q. Please briefly explain the nature of PEF's requirements pursuant to its**
9 **operating license.**

10 **A.** There are strict regulations that control the manner in which we maintain, modify, test
11 and operate the nuclear plant. Incorporated into our license are commitments to
12 industry standards and specific federal regulations. In addition to the CFR
13 regulations, the NRC imposes requirements on operating plants as needed through a
14 variety of mechanisms (Bulletins, Generic Letters, and NUREGS). Other operational
15 conditions can be imposed on operators such as those that occurred after the Three
16 Mile Island event, and more recently, the security upgrades that were required
17 following the terrorist activities of 9/11. Many of these requirements are detailed
18 within our Technical Specifications regarding the areas of safety limits, limiting
19 conditions for operation, surveillance requirements, design features, and
20 administrative controls. A part of our licensing basis is the Updated Final Safety
21 Analysis Report (UFSAR) which provides detailed information about the plant
22 design, environment, staffing, surrounding community, and proximate land use, in
23 addition to other details. The original version of the document was the Final Safety

1 Analysis Report, FSAR, which was used extensively by the NRC to justify granting
2 our existing license. This document is required to be maintained as various changes
3 to the facility are implemented.

4 The license basis of the plant covers virtually all aspects of what my staff does
5 on a daily basis. To ensure that the safety systems are working correctly, the
6 technical specifications include hundreds of various surveillance tests that PEF must
7 perform, at various frequencies, at CR3. Many of my employees' normal work day
8 involves the performance of these surveillances. The training of my employees, the
9 educational and experience levels they have, the calibration of instruments, the
10 monitoring of plant equipment, the material used in specific components, the quality
11 standards used in their manufacture, the tests used to validate their construction, the
12 procedures used to repair and operate that equipment and many other things are
13 detailed in CR3's license basis.

14
15 **Q. Can you provide some examples of these regulations and specifications?**

16 **A.** Yes. As required in the regulatory response to Three Mile Island, one NUREG
17 requires nuclear unit licensees to "ensure that control room operators will be
18 adequately protected against the effects of accidental release of toxic and radioactive
19 gases and that the nuclear power plant can be safely operated or shut down under
20 design basis accident conditions." In other words, to safely operate CR3, there must
21 be no hazardous conditions that will cause the evacuation of the operators in the
22 control unit. CR3 must have operators in its control room or special remote operating
23 locations in the plant at all times.

1 To comply with this requirement, PEF must, for example, ensure that the CR3
2 control room has an adequate emergency zone with critical files and a washroom,
3 self-contained breathing apparatus, and is sufficiently shielded from radiation and
4 toxic gases infiltrating into the room. Under this regulation, fires are considered to be
5 a hazard from which the operators must be protected. It is important to note that my
6 operators cannot simply shutdown the unit during a fire and evacuate the plant. They
7 must remain on station or retire to a remote operating station in a separate fire zone.
8 Should a large fire emerge in the vicinity of the plant, the ventilation system for the
9 control building must protect them from the fumes for the expected duration of the
10 fire.

11 Another important area of regulation is the availability of offsite power to the
12 nuclear unit. The offsite power system of a nuclear power plant provides the
13 preferred source of electrical power to all the station auxiliaries. Loss of the offsite
14 source results in a plant upset condition and the start of the backup power sources.
15 Power can be lost by things like smoke and dust interfering with the transmission
16 lines or the switchyard. If offsite power is lost, there is a large amount of equipment
17 which must function to mitigate such an event. The NRC imposes requirements as to
18 that back-up equipment, to ensure that the nuclear unit can be safely operated even
19 when its offsite power source is interrupted. There are also several requirements
20 designed to prevent the loss of the offsite power, including maintenance of the power
21 lines and other offsite equipment.

22 The NRC also regulates each nuclear unit's safety or protection systems.
23 Section 50.55a, "Codes and Standards" of 10 C.F.R. Part 50 requires that protection

1 systems at nuclear units must meet the standards set forth either in IEEE Std. 279-
2 1971, "Criteria for Protection Systems for Nuclear Power Generating Stations," or
3 IEEE Std. 603-1991, "Criteria for Safety Systems for Nuclear Power Generating
4 Stations." Both standards basically define a safety or protection system as a system
5 that is designed to detect conditions at the plant that could cause safety issues or
6 concerns with the operation of the plant.

7 These standards also require that the safety or protection system must perform
8 even in the presence of a single failure within the system. In other words, the safety
9 or protection system must operate even if any one part of it has failed. In addition
10 certain features must be designed so that no single failure could cause inadvertent
11 operation of the safety system. To comply with this requirement, plants employ a
12 redundant safety system, where two trains of the same safety system operate
13 simultaneously to ensure that at least one will function at all times.

14 To maintain the integrity of these systems, plants must prevent common mode
15 failures from occurring. A "common mode failure" is a condition or hazard that
16 affects both trains of systems such that neither of the systems functions to notify the
17 plant of a safety issue. For example, if the two trains of a safety system are located in
18 the same room, the plant must take care to ensure that that room will not be flooded,
19 because this would subject both trains to the same environmental threat. Problems
20 with the operation of one component are reviewed to ensure that similar components
21 on the other train do not present the same problem. Excessive dust must be evaluated
22 against this criteria.
23

1 **Q. Are there any other ways that the NRC communicates with PEF, as an operator**
2 **of CR3?**

3 **A.** Yes, the NRC regularly issues Information Notices to all holders of operating licenses
4 for nuclear power reactors. These notices alert the operators of recent events at other
5 nuclear plants that have resulted in various issues with plant safety or operation.
6 Although the notices are not legal requirements, the holders of the operating licenses
7 are expected to review the information in the notices and determine whether the
8 lessons in the notices apply to their own plants.

9
10 **Q. Can you provide examples of these information notices?**

11 **A.** Yes, on October 20, 1985, the NRC issued Information Notice 93-85 to provide
12 details concerning safety related relays that failed to operate properly due to dirt
13 intrusion into electrical contacts. In another Information Notice, IN – 2002-34, dated
14 November 25, 2002, the NRC noted where the accumulation of dirt and dust within
15 the grease of safety related breaker auxiliary contacts lead to the failure of emergency
16 diesel output breakers at another nuclear plant. In Information Notice ⁸⁹⁻⁶⁴~~98-64~~ the NRC
17 noted examples of electrical bus bar failures, including those in which dirt had
18 contributed to the failure of safety related electrical components leading to bus bar
19 explosions.

20
21 **Q. How would you characterize the operating requirements imposed by the NRC**
22 **on PEF's operation of CR3?**

1 A. The NRC's regulation of all nuclear units, including CR3, is very extensive. NRC's
2 main focus is on operating safety of the nuclear units. The NRC consistently works
3 to evaluate all nuclear units to anticipate most problems that could arise and then find
4 a way to limit the risks of those problems. As time passes, and incidents occur at
5 nuclear facilities, the NRC notifies all operators of nuclear units to evaluate whether
6 that particular incident could be prevented at other facilities. I literally have a library
7 room full of binders and bound copies of the various regulations, interpretations of
8 regulations, and industry standards with which I am committed to comply. My
9 licensing supervisor has estimated there are over 600,000 pages of regulatory
10 guidance which apply to the operation and maintenance of the station. Each engineer
11 is required to demonstrate a basic understanding of the regulatory structure before
12 they are allowed to work without direct supervision. I have a group of six licensing
13 engineers whose only function is to review and prepare regulatory correspondence
14 and support NRC inspection functions.

15
16 **III. SPECIFIC CONCERNS WITH HANDLING AND BURNING PRB COAL AT**
17 **CRYSTAL RIVER**

18
19 **Q. Are you generally aware of the characteristics of handling and burning PRB**
20 **coal?**

21 **A.** Yes, I have been informed that the chemical composition of the PRB coal that OPC
22 proposes PEF should have been burning in its CR4 and CR5 units, unlike the
23 bituminous coal currently used in those units, can cause the PRB coal to

1 spontaneously combust. There is also increased dustiness with PRB coal, and that
2 dust can catch on fire as well. The volatility of the PRB coal is explained in more
3 detail in the testimony of Rod Hatt.
4

5 Spontaneous Combustibility

6 **Q. Taking first the spontaneous combustion characteristic, what concerns, if any,**
7 **do you have regarding handling and storing PRB coal on the same site as the**
8 **CR3 nuclear unit?**

9 **A.** I am very concerned about the risk that piles of PRB coal could go up in flames so
10 close to CR3. The PRB coal would be stored and transported quite close to CR3, at
11 times coming as close as 620 feet. Clearly, the storage of PRB coal significantly
12 increases the chances of coal fires in the vicinity of the nuclear plant. My concerns
13 in addressing that increased plant risk are primarily in three areas. The first area is in
14 the ability to protect the nuclear operators who cannot evacuate during a large fire.
15 The second concern is what effect a coal fire might have on the equipment required to
16 operate the plant safely. Lastly, I am concerned by the possibility that this flammable
17 and potentially explosive coal pile might provide an opportunity to an adversary
18 terrorist group which would challenge our nuclear security.

19 With regard to the ability to protect the operators, this represents an
20 unanalyzed challenge to the control room ventilation system. That system is placed
21 in recirculation, passing the air through charcoal filtration trains in the unlikely event
22 of a release of significant amounts of radiation. The ventilation system must also

1 ensure that the control room staff is protected from potential airborne hazards, such as
2 toxic smoke from burning coal.

3 With regard to the performance of plant equipment, there are numerous
4 concerns. There is operating experience from another facility, where a local grass fire
5 lead to the loss of off site power due to the smoke affecting the plant switchyard. The
6 effect on the switchyard can be especially great when fighting the fire. There have
7 been many examples where fires in the area surrounding nuclear plants have caused a
8 loss of off site power to the facilities. The conveyor belts that will transport PRB coal
9 to CR4 and CR5 are also quite close to the power lines that supply CR3 with its
10 offsite power. Bringing large quantities of PRB coal onto the site would threaten to
11 interrupt CR3's offsite power in the event of a fire in the arriving barge or on the coal
12 pile to the south of the switchyard, or while being conveyed to the north plant as it
13 passes underneath the transmission line.

14 To make matters worse, the plant depends on emergency diesel generators in
15 the event of a loss of off site power. Significant amounts of smoke coming from a
16 coal pile fire would represent a challenge to the operation of those diesels. They are
17 located on the south east side of the reactor building, only a few hundred yards from
18 where the coal would be stored. Should significant amounts of smoke envelope the
19 diesel building, I would be unable to ensure that the diesels would operate at capacity.
20 Their operating margin is relatively small and any reduction in their ability to produce
21 sufficient power in the event of a loss of offsite power would represent a significant
22 challenge to any review by the Company.

1 Vol. 4. Within that document, the accumulation of dirt and dust within breaker
2 components was cited as one of the most significant contributors to breaker failure.

3 With the introduction of large amounts of powdered coal dust, maintenance
4 costs associated with keeping the nuclear unit clean will increase. As part of the
5 design of nuclear plants certain safety features must utilize redundant trains to ensure
6 the failure of one train does not prevent the successful mitigation of a plant event. In
7 this case, however, all trains of every safety system would be subject to the same
8 challenge. That challenge would be the introduction of large amounts of fine coal
9 dust in the air surrounding the components. This represents a potential common
10 mode failure for a wide array of electrical components. In other words, the potential
11 for a common mode failure would have to be evaluated to determine the effect on the
12 safety system trains. Dust problems like this have been the subject of several
13 information notices, as explained above on page 14.

14 Another potential risk posed by the increased PRB dust is that it is flammable.
15 The PRB dust could settle in the cable trays at CR3, which may increase the risk of a
16 fire in those cable trays. Cable trays hold the power cables and logic circuitry for
17 safety and non-safety components necessary for plant operation. A cable tray fire is
18 extremely dangerous to the safe operation of the plant. A fire in the cable tray could
19 cause extensive damage to the plant.

20

21 **Q. Have any other nuclear plants violated NRC regulations for allowing a common**
22 **mode failure?**

1 A. Yes, in one example, at the Fermi 2 nuclear plant operated by Detroit Edison, the
2 utility failed to recognize the potential for ice to cause a common mode failure of
3 critical cooling water pumps. The utility was found to be in violation of NRC
4 regulations. There are other examples of such common mode failures resulting in
5 NRC violations.

6

7 **Steps to Evaluate Bringing PRB Coal to Crystal River on Long-Term Basis**

8

9 Q. **What steps would PEF have to take to analyze this proposed change, to bring**
10 **significant amounts of PRB coal onto the Crystal River site on a long-term**
11 **basis?**

12 A. A summary of the steps taken by a nuclear plant licensee prior to making a change at
13 the plant can be found in Exhibit No. __ (JF-8) to my testimony. Each of these steps
14 is discussed in detail below.

15

16 *Step 1: Does the proposed change require a 50.59 analysis?*

17 Q. **What is the first step in the analysis of the proposed change?**

18 A. Any change to the nuclear plant has to be fully evaluated for its potential impact on
19 safety. As part of that review, The Company must consider whether bringing the
20 PRB coal onsite for long-term use is something that needs to be analyzed pursuant to
21 10 C.F.R. 50.59. To decide this question, PEF must decide whether there is a chance
22 that the proposed change will affect any of the safety systems at the plant, or will
23 affect the likelihood or frequency of an accident occurring at the plant. Given the

1 type of hazards presented by PRB coal, the spontaneous combustibility and the
2 increased dustiness, it is my opinion that a 50.59 analysis would be required.

3

4 ***Step 2: If a 50.59 analysis is necessary, what does such an evaluation involve?***

5 **Q. Please explain the next step in the process.**

6 **A.** The second step required to analyze a change, if the first step shows that it is
7 necessary, is the 50.59 evaluation. Such an evaluation would be difficult and time
8 consuming. The possible effects of the PRB coal on plant conditions would have to
9 be evaluated and a determination made if this change represented a condition which
10 would represent an "un-reviewed safety question." In other words, the Company
11 must determine whether the 10 C.F.R. 50.59 test would be met or not. If it was not
12 met, meaning that the proposed use of PRB coal represented more than a minimal
13 increase in risk, then submittal to the NRC would be required. There are at least three
14 areas I believe would have to be analyzed: 1) a potential increase in the likelihood of
15 a loss of offsite power in combination with a potential degradation of the emergency
16 diesels; 2) an additional hazard to control room habitability; and 3) the potential for a
17 common mode failure to critical electrical components.

18

19 **Q. Taking each of these concerns in turn, please explain the risks that fire and
20 smoke would have to CR3's offsite power.**

21 **A.** As explained above, the CR3 nuclear unit is supplied with offsite power by various
22 transmission lines that connect to the CR3 switchyard. It is important to mention that
23 the reliability of off-site power is one of the most important factors to nuclear safety.

1 The first risk is that all four of these lines cross over the conveyor belts that would
2 transport the PRB coal to the north coal yard. In addition, one of the 230 kV lines
3 comes within about a 100 feet of the north coal yard itself, where OPC alleges that
4 PEF should blend the PRB coal. If a coal fire were to break out in these locations, the
5 resultant fire and smoke could affect the lines and interfere with the supply of power
6 to the CR3 unit.

7 Perhaps the most significant threat to offsite power would be a coal fire that
8 would carry smoke and soot into the switchyard. Industry experience shows that even
9 small fires represent challenges to switchyard components. There are physical
10 connections in the switchyard which act as large scale switches carrying the 230 KV
11 and 500 KV loads. Soot and smoke could cause arc events in a switchyard which
12 could in turn cause the switches to open in a faulted condition. This would result in a
13 loss of offsite power. A similar situation occurred at the Diablo Canyon nuclear
14 power plant when a grass fire erupted near the unit. The dust from that fire caused a
15 loss in offsite power to the plant. The Institute of Nuclear Power Operations, INPO,
16 reported in October of 1982 that there had been six documented forest fires in the
17 preceding 10 years that had resulted in a loss of off site power to the industry. Since
18 that time plants have taken the precaution of preventing and eliminating fire hazards
19 in the vicinity of their offsite power supplies. Undergrowth is controlled near lines
20 and transmission corridors are maintained to significantly reduce the chances of a
21 fire. Bringing PRB coal onto the site would increase the risk of fire and be a
22 hindrance to these efforts to reduce the risk of forest fires interfering with the offsite
23 power supply.

1 In addition, discussed above, this hazard might also challenge the on site
2 emergency diesels. This fact makes this change significantly more complex and
3 risky.

4
5 **Q. How serious is a loss of offsite power to a nuclear facility?**

6 **A.** Losing offsite power is probably one of the worst occurrences that could happen at
7 the unit. If CR3 lost its offsite power, it would have to shut down for several days.
8 The NRC would likely investigate the incident as well. To illustrate, if such an event
9 is caused by unforeseen events like a hurricane, wind storm or wild fire, the response
10 by the NRC would be mild. If it was determined that the fire was caused by actions
11 taken by the Company which created the fire hazard, an NRC special inspection team
12 could be assigned.

13
14 **Q. Regarding the next concern, control room habitability, please explain the risks
15 posed by the characteristics of the PRB coal.**

16 **A.** As I stated previously, the control room staff must remain at the plant under all
17 conditions. This requires a control room envelope which protects them from all
18 potential hazards. For example, there are plants which have large chlorine tank cars
19 stored in the vicinity of the control room ventilation. Their control room ventilation
20 systems are designed to detect and automatically protect the control room staff from
21 the hazard of a tank car failure, which causes a large cloud of chlorine gas. This is
22 done even though these events are very rare. In this case, the likelihood of a coal fire
23 during the life of the plant would be fairly high if PRB coal was used. As such, the

1 engineering staff would have to demonstrate that the toxic smoke from that fire would
2 not represent a significant challenge to the operators. This might be something that
3 can be evaluated, or it might require significant modifications to the systems utilized,
4 similar to those plants with chlorine tank cars.

5
6 **Q. As for the final area of concern, common mode failure, how would this risk be**
7 **analyzed under 50.59?**

8 **A.** As explained above, the increased dustiness of the PRB coal may affect the electrical
9 components in the nuclear plant. This dust increases the risk that safety systems in
10 the unit could experience a common mode failure. The 50.59 analysis would include
11 an evaluation of various ways to control or prevent the dust, such as dust suppression
12 at the coal yard and filters within the nuclear plant. The evaluation would also
13 include an assessment of the amount of risk that a common mode failure of the safety
14 systems would occur, even with the mitigating strategies to control the dust.

15
16 **Q. Have you created a preliminary list of issues that would need to be analyzed and**
17 **resolved pursuant to 10 C.F.R. 50.59?**

18 **A.** Yes, I have created a preliminary list, which is reflected in the attached Exhibit No.
19 ___ (JF-9). This list is an initial assessment of the required analysis. The list may
20 change, however, once the actual evaluations began.

21
22 *Step 3: Does the change pass the 50.59 analysis?*

23 **Q. What is the next step in the overall analysis?**

1 A. PEF must evaluate the results of the 50.59 analysis and determine whether the tests
2 outlined in 10 C.F.R. 50.59 were met or passed. In other words, the Company would
3 have to determine whether there was no more than a minimal increase in risk posed
4 by the PRB coal.

5
6 **Q. What would happen if the Company determined that it passed the 50.59
7 evaluation?**

8 A. The Company would not have to submit a formal application for a license amendment
9 to the NRC. It could bring PRB coal on the site, provided that it made the changes
10 needed for the mitigating strategies that were evaluated (like dust suppression and fire
11 protection). I should note, however, that PEF would be taking the regulatory risk that
12 the NRC could come back and challenge the Company's assessment of the PRB coal
13 hazards.

14

15 *Step 4: Submittal of License Amendment Application to the NRC*

16 **Q. What is the final step in the analysis of the proposed change?**

17 A. The Company would need to submit a license amendment application if the result of
18 the 50.59 evaluation indicated that the proposed change would result in more than a
19 minimal increase in risk. In other words, if PEF did not "pass" the 50.59 test, a
20 license modification would be required.

21

22 **Q. Would PEF be required to submit a license modification request that analyzed
23 the additional risks posed by the PRB coal?**

1 A. It would take a significant engineering effort to know the answer to that question and
2 fully understand what the potential effects of the PRB coal dust and fire hazard on the
3 electrical components. It could take six months to a year and might require special
4 testing of components. This is not a condition that is well understood by the nuclear
5 industry and we would therefore be treading new ground.

6
7 **Q. Does the fact that, as Mr. Hatt testifies, there are certain actions that can be**
8 **taken to control the risk of fire and suppress the dust, affect your assessment**
9 **whether a license modification would be needed?**

10 A. Again, I cannot say at this point whether these mitigation strategies will be adequate
11 for PEF to avoid having to submit a license amendment application to the NRC.
12 What I can say is that the mitigating actions referred to in Mr. Hatt's testimony would
13 have to be thoroughly evaluated by the Company to determine whether an increased
14 amount of risk is posed by the change. When it comes to nuclear power, you do not
15 roll the dice and take unnecessary risks without completely and fully evaluating those
16 risks, including mitigating strategies to control those risks.

17
18 **Q. What would PEF have to do if it decided it needed to apply for a license**
19 **modification after the 50.59 evaluation?**

20 A. As I have described, the Company must evaluate the additional risks that the hazards
21 of spontaneous combustion and increased dustiness would pose to the nuclear unit.
22 To do this, it must conduct an engineering evaluation of the systems that could be
23 affected by the new risks. This is a long process and it involves analysis from several

1 different angles. For each identifiable effect on the plant, as explained above, the
2 Company must provide detailed analysis regarding the solution it suggests to
3 eliminate or mitigate the problem. In order to evaluate these risks, the Company
4 might have to extensively test and conduct studies to assure that a significant
5 reduction in the identified risk could be achieved by the proposed mitigation measure.
6 Since there is significant experience with PRB coal available in the fossil generation
7 industry, the Company would evaluate that experience to see if an increase in risk is
8 still present with the proposed mitigation strategies.

9 For example, consider the risk that a coal fire on a barge or in the temporary
10 coal staging area could introduce a common mode failure for the emergency diesel
11 generators. Such a fire could envelope the diesel building for some period of time.
12 This is not a simple grass fire, like in the example from the other facility I mentioned
13 earlier, but a significant cloud of soot and hazardous gasses. PEF would have to
14 demonstrate that the diesel generators would be capable of supplying the required
15 electrical loads with this cloud serving as the air supply for the diesels. That would
16 most likely require a demonstration test using a diesel of similar construction and a
17 simulated cloud of smoke. Special filters might have to be installed to address both
18 the smoke challenge to the diesels and the effects of the continuous coal dust. An
19 alternative to this might include compensatory measures. We might have to install
20 additional fire suppression systems near the coal storage and handling locations. We
21 might then also have to permanently staff an independent fire brigade for the coal
22 yard which would have significant regulatory requirements for their training,

1 approximately 10 foot wall in front of the diesels to protect them from the wind. The
2 cost of this capital modification was approximately \$1.7 million.

3

4 **Q. Once the application has been submitted, what happens next?**

5 **A.** The NRC then reviews the application and considers whether the capital modification
6 that PEF has suggested will adequately ensure the safe operation of the plant. Again,
7 given the number of different things to be analyzed, and because PRB coal presents a
8 new type of hazard to the nuclear industry, this would not be a simple evaluation.

9

10 **Q. What standard does the NRC apply when considering a license modification**
11 **such as this?**

12 **A.** The NRC is, first and foremost, concerned with the safety of the nuclear unit. Before
13 a license modification request will be approved, the licensee requesting the
14 amendment must show that the requested change will not create any undue risk to the
15 plant's safety.

16

17 **Q. If PEF could demonstrate that the PRB coal would represent a significant**
18 **savings in coal expenditures, would that impact NRC's decision to issue a license**
19 **modification?**

20 **A.** The price of coal is secondary to safety. The NRC is concerned with maintaining and
21 ensuring the safety of the nuclear unit. To prevent accidents at CR3, the NRC strictly
22 enforces its safety regulations. The focus is on safety.

23

1 **Q. Are there any other nuclear plants in the country that are located on the same**
2 **site as a fossil-fuel unit that is burning PRB, sub-bituminous coal?**

3 **A.** No, there are no other nuclear units located near a coal unit that burns sub-bituminous
4 or PRB coal. In fact, CR3 is one of the few nuclear units located near a coal unit
5 burning bituminous coal.

6
7 **Q. What effect, if any, will the fact that no other nuclear plant is located on the**
8 **same site as a PRB-burning coal plant have on NRC's review of an application**
9 **to amend PEF's license to permit long-term use of PRB coal at CR4 and CR5?**

10 **A.** First, this lack of prior nuclear experience with the risks presented by PRB coal will
11 increase the difficulty and length of PEF's evaluation of the change. In addition, the
12 NRC is likely to review the application even more carefully than it would any other,
13 more routine requests. Without any precedent of another nuclear unit being so close
14 to the handling and burning of PRB coal, the NRC may take an even longer amount
15 of time to evaluate the Company's proposed mitigating strategies and the risk.

16
17 **Q. Does the NRC have any special reaction to the risk of fire?**

18 **A.** Yes, the NRC is very sensitive to fires near and within nuclear plants. There are
19 several regulations, most notably Appendix R to Part 50 of the CFR, which are meant
20 to prevent and mitigate fires. Appendix R and other NRC regulations and guidance
21 constitute a lengthy set of compliance-based requirements that provides details with
22 regard to everything from plant design, cable routing, pre-fire planning, fire
23 mitigation strategies and fire fighting capabilities. In addition, as part of the licensing

1 condition of all plants, including CR3, there must not be a reduction in the
2 effectiveness of the plant's ability to prevent and mitigate fires.

3

4 **Q. To speed up the process, could PEF go ahead and make the capital modifications**
5 **suggested in its license modification application, should one be required?**

6 **A.** No, until the NRC gives its final approval of the license modification, the Company,
7 being prudent, would not make any capital modifications. This is because it is quite
8 possible that the NRC will not approve the application as written and will require
9 additional or different types of capital upgrades.

10

11 **Q. Is it possible that, even with the detailed analysis and evaluation, the PRB coal**
12 **could be determined to be unsafe?**

13 **A.** Yes, because the complete analysis has not been done, it is not clear that the
14 Company could convince itself or the NRC that bringing a significant amount of PRB
15 coal onto the Crystal River site on a long-term basis would be safe. Given the
16 characteristics of the PRB coal, even mitigating strategies may not provide adequate
17 assurance that no undue risk will be created.

18

19 **Q. Even if the NRC would approve the use of PRB at the Crystal River site, would**
20 **you feel comfortable with the coal being near the CR3 nuclear unit?**

21 **A.** Absolutely not. As the plant manager, I am most concerned with safety. Given the
22 risks posed by the volatile PRB coal, I do not want large quantities of it in the vicinity
23 of the CR3 nuclear plant. After what I have heard about this coal I would not propose

1 we go through the process of evaluating the effect of the coal on the design and
2 license basis of the plant.

3
4 **IV. EFFECTS ON CR3 DURING 2006 TEST BURN**

5
6 **Q. Were you working at CR3 during the time May 20-23, 2006, when PEF did a test
7 burn of a blend of PRB coal?**

8 **A.** Yes, I was at the plant during that time period.

9
10 **Q. What, if anything, did you notice during this test burn period?**

11 **A.** I and other employees at CR3 noticed a significant increase in the amount of dust at
12 CR3. On Saturday, May 20, when the barge of the PRB coal blend was offloaded,
13 there was a significant and noticeable increase in the amount of coal dust on the floor
14 of the plant. The increased dust was so noticeable that, even after sweeping the floor
15 in the morning, by the afternoon the floor once again had swirling piles of coal dust.

16
17 **Q. Isn't there always some amount of coal dust present at CR3 on a normal basis?**

18 **A.** Yes, but the amount of dust in the plant that day was significantly more than what is
19 usually found at CR3, when bituminous coal is burned and handled at Crystal River.

20
21 **Q. During that time period, was there a particular day on which the dust was
22 heaviest?**

1 A. The increased dust was definitely more noticeable when the barge was being
2 offloaded, on May 20, 2006. But the CR3 plant experienced more dust than normally
3 experienced during the entire trial burn, even after the barge was unloaded.

4
5 **Q. Does the increased level of dust at CR3 give you any concern?**

6 A. The amount of dust experienced during this relatively brief trial burn, especially
7 while offloading the barge, gives me a great amount of concern. As explained above,
8 the presence of dust may give rise to a common mode failure of one of CR3's safety
9 systems, and this failure may result in violations of NRC regulations.

10
11 **Q. Do you have an understanding as to the amount of PRB coal that was used
12 during the trial burn in May 2006?**

13 A. I understand that an 18% PRB coal, 82% bituminous coal blend was used to conduct
14 the test burn. I further understand that the coal was blended off-site, offloaded from
15 the barge, and sent straight to the CR5 unit.

16
17 **Q. Are you aware that OPC's expert, Mr. Sansom, alleges that PEF should bring in
18 100% PRB coal by barge to Crystal River, and blend it on-site with bituminous
19 coal before burning it at CR4 and 5?**

20 A. Yes, I am aware that Mr. Sansom advocates bringing in pure PRB coal by barge into
21 Crystal River.

22

1 **Q. Based on what happened at CR3 during the test burn of an 18% PRB blend, do**
2 **you have any additional concerns with PEF offloading and handling pure 100%**
3 **PRB coal?**

4 **A.** Yes, with CR3 being so close to the barge offloader, I am very concerned with the
5 level of dust that a barge of 100% PRB coal will cause in the CR3 nuclear plant. The
6 amount of dust caused by just an 18% blend of PRB coal was alarming enough; the
7 prospect of Crystal River taking in routine barges of 100% pure PRB coal is a major
8 concern. Likewise, the increased dust from the handling and blending of 100% PRB
9 coal is of great concern to PEF's ability to maintain CR3's safety systems.

10
11 **Q. Do the dust suppression and dust collection mechanisms, as described by Mr.**
12 **Hatt in his testimony, address those concerns?**

13 **A.** Not completely. As Mr. Hatt explains, even with the dust suppression and dust
14 collection mechanisms, it is very unlikely that all the dust can be eliminated. In fact,
15 these dust suppression and collection systems are least likely to be effective during
16 offloading. The most dramatic increase of dust was observed during offloading. At a
17 minimum, the dust suppression and dust collection mitigating strategies must be
18 subjected to the rigorous evaluation I explained earlier in my testimony, to ensure that
19 they would effectively limit the risk to an acceptable level.

20
21 **Q. Please explain why it was not necessary for the Company, from a nuclear**
22 **standpoint, to evaluate the decision to bring PRB coal onto the site for the short-**
23 **term test burn.**

1 A. The trial test burn was for a limited period of time, such that the PRB coal was only
2 on the site for a matter of days. The total amount of PRB coal was relatively small.
3 It was also never stored long-term at the site, because it went straight from the barge
4 to the coal unit. In addition, the blend of PRB/bituminous coal that was brought
5 onsite was so low (only 18% PRB) that the effect on the nuclear plant was not
6 substantial enough to require an analysis. However, the decision, to bring in 100%
7 PRB coal for long-term use, storage, on-site blending, and handling, would have to be
8 evaluated as explained above.

9

10

V. FUTURE TEST BURNS

11

12 **Q. Are you aware that there may be future, longer-term test burns of PRB or sub-**
13 **bituminous coal, at Crystal River?**

14 A. Yes, I am aware that such trial burns are being considered.

15

16 **Q. What, if anything, do you plan to do about these plans?**

17 A. Prior to any significant amounts of PRB coal being off loaded at the site, PEF must
18 evaluate the effect of that coal on the nuclear plant and if required, submit to the NRC
19 to seek an operating license modification for CR3. And, as explained above, the
20 review of this type of change is quite lengthy and there is no guaranty that it can be
21 performed without prior approval of the NRC.

22

1 **Q. Why didn't PEF perform such an analysis years ago when Units 4 and 5 first**
2 **were put into service?**

3 **A.** First, the risks associated with PRB coal and fires and flammable PRB coal dust were
4 not fully known or appreciated by the industry in the late 1970s, when Units 4 and 5
5 were sited. So even if the analysis had been performed then, such an analysis would
6 have been incomplete. In addition, Units 4 and 5 never actually burned PRB coal and
7 in fact the Company entered into two long-term contracts for bituminous coal. The
8 NRC evaluation process is so extensive and rigorous, no utility would undertake it
9 unless it was sure that it would ultimately use the PRB coal. In other words, it is not
10 reasonable to do the evaluation, and seek the license modification if necessary, as a
11 "placeholder" on the chance that the coal may be used at the units.

12

13

VI. CONCLUSION

14

15 **Q. Does this conclude your testimony?**

16 **A.** Yes, it does.

17

18

19

20

1 BY MS. TRIPLETT:

2 Q And do you have a summary of your prefiled testimony?

3 A Yes, I do.

4 Q Will you please summarize your prefiled testimony for
5 the Commission?

6 A Absolutely. My name is John Franke. I'm employed by
7 Progress Energy Florida, Incorporated in the nuclear generation
8 group as the plant general manager at Crystal River Nuclear
9 Plant, Crystal River 3.

10 As plant manager, my main responsibility is the safe
11 operation of the nuclear generating station. As such, it would
12 give me great concern if significant quantities of Powder River
13 Basin subbituminous coal were considered for long-term use at
14 nearby CR4 and 5.

15 PRB coal has characteristics that are vastly
16 different from bituminous coal currently burned at CR4 and 5.
17 The risk of spontaneous combustion, as well as the increased
18 production of flammable PRB dust present additional hazards and
19 risks that I believe were not previously analyzed in Progress
20 Energy Florida's original nuclear operating license. I believe
21 that the use of significant quantities of PRB coal is not
22 prudent in the vicinity of a nuclear plant. Frankly, I would
23 not want this volatile PRB coal in the vicinity of CR3 on a
24 long-term basis. In fact, if we were to start handling and
25 burning PRB coal at the Crystal River site -- too loud?

1 THE COURT REPORTER: Too fast.

2 THE WITNESS: Am I speaking too fast? I'm sorry.
3 I'm trying to catch up for my slow recovery here on getting
4 this.

5 CHAIRMAN EDGAR: Okay. A little slower.

6 THE WITNESS: All right. In fact, if we were to
7 start handling and burning PRB coal at the Crystal River site,
8 the CR3 unit would be the only plant, nuclear plant in the
9 country, and as far as I know in the world, on the same site as
10 a PRB burning unit.

11 What gives me great concern is the path PRB coal
12 would take if Progress Energy Florida was to bring it on-site
13 as alleged in the OPC petition. Looking at this aerial map of
14 the Crystal River site, you can see CR3, the reactor building
15 being outlined by blue is the circular structure in the middle
16 of the blue square. The 100 percent Powder River Basin coal
17 would be offloaded, as proposed by OPC, at the barge unloader,
18 which is about 1,100 feet from Crystal River 3.

19 The PRB coal would then be transported along a
20 conveyor belt below CR3, then reaching a transfer point where
21 it would change directions to travel north to the coal yard,
22 the north coal yard. At the closest point the conveyor belts
23 are as close as 620 feet from the Crystal River 3 nuclear
24 reactor building. The PRB coal would then be stored in the
25 north coal yard, which is just 3,000 feet to the northeast of

1 CR3.

2 Finally, CR4 and 5, where the PRB coal would then be
3 burned, are 3,450 feet from Crystal River 3. As you can see,
4 this volatile PRB coal would almost completely surround Crystal
5 River 3 reactor building. And if it were to catch on fire or
6 have explosions, that result would surround, could surround
7 Crystal River 3.

8 Progress Energy Florida, as the operator of a nuclear
9 unit, must comply with strict safety regulations set forth by
10 the Nuclear Regulatory Commission. Part of those regulations
11 include ongoing analysis of additional and changing risks,
12 including those imposed on us by nearby activities.

13 If Powder River Basin coal was to be used at the
14 Crystal River site on a long-term basis, the NRC would oblige
15 the company to evaluate whether this change in coal would
16 result in a more than minimal increase in risk. This
17 evaluation process is rigorous and would likely take several
18 months of engineering analysis and study. The unique nature of
19 this situation, specifically because no other nuclear unit has
20 done this analysis, means that it would be more time-consuming
21 and difficult.

22 After that evaluation, if the company finds that even
23 with mitigation strategies that the use of Powder River Basin
24 coal would cause a minimal increase in plant risk and safety,
25 depending on the rules of that evaluation, we would have to

1 submit a license request to the NRC. That is a possibility.
2 Because Progress Energy Florida has not completed this
3 extensive evaluation, I cannot say whether license amendment
4 application or formal NRC approval would be required. But
5 nonetheless, whether a formal review would be required, I would
6 expect and am confident that the NRC would review this change
7 along with other -- as part of their ongoing program at the
8 site.

9 What is clear is that this sort of risk has not been
10 analyzed by the NRC before and not analyzed by the industry, as
11 far as I know, and that there is no certainty in how the NRC
12 would react. Before Progress Energy Florida could bring
13 significant quantities of Powder River Basin coal onto the
14 site, it would have to make any required modifications and
15 upgrades identified by engineering reviews to ensure the
16 changes can be implemented safely.

17 Irrespective of what the NRC may do with Progress
18 Energy's application in this matter, I believe the long-term
19 use of Powder River Basin coal at the Crystal River site would
20 unduly compromise the safe operation of Crystal River 3, and I,
21 as plant manager, strongly oppose the use of this coal at my
22 nuclear facility until we can fully evaluate and put in place
23 what might be required based on those engineering reviews.

24 MS. TRIPLETT: We tender Mr. Franke for
25 cross-examination.

1 CHAIRMAN EDGAR: Thank you.

2 Mr. Burgess.

3 MR. BURGESS: Thank you, Madam Chair.

4 CROSS EXAMINATION

5 BY MR. BURGESS:

6 Q Mr. Franke, as I understand it, then, you're the
7 plant manager for the nuclear plant?

8 A That is correct.

9 Q And you are expected to bring forward to the company
10 for its overall strategies the point of view of the operations
11 necessary for the nuclear plant, is that right?

12 A Yes. My mission is, as I described -- my primary
13 responsibility is health and safety of the public. As part of
14 that obligation I oversee the operation of the Crystal River
15 nuclear site. And my obligations to the public, to the
16 ratepayers, quite frankly, is to generate that plant at 100
17 percent as much as possible as the lowest cost producer in the
18 state, and I understand both of those responsibilities.

19 Q But I was interested, it sounds like you are
20 something -- within the company itself you are something of an
21 advocate for one part of the company's operations?

22 A I am an advocate for the nuclear generating site.

23 Q And what you're advocating is -- it sounds like from
24 your testimony this morning, your summary, that you are
25 advocating that PEF not use, not go to permanent burning of

1 Powder River Basin coal. Is that right?

2 A From what I know with the way the Crystal River both
3 the coal yard and my own nuclear unit is currently, I do not
4 think it is wise to go to Powder River Basin coal. Now, it may
5 be -- after extensive engineering reviews, we might be able to
6 find ways to be able to burn that coal safely. But as of
7 today, those reviews have not been conducted, and I see
8 significant problems that have to be overcome from the nuclear
9 aspect of this decision.

10 Q If PEF, if Progress Energy or Power Corp at the time
11 had made the decision in 1996 or thereabouts to attempt to move
12 forward --

13 A Yes.

14 Q -- with permanent burning of Powder River Basin coal,
15 would the same, essentially the same concerns have presented
16 themselves to you?

17 A Well, yes. However, since then, since
18 1996 additional concerns have been brought up. This is an
19 ongoing process. The evaluation of the safety of the nuclear
20 plant does change, and one significant change that I might note
21 is after 9/11, the threat to terrorism and the threat to
22 infrastructure in the country, including nuclear plants,
23 stepped up considerably and obviously. The regulation that we
24 live under today and the rules we live under today have changed
25 since 9/11, as well as they change due to other events, you

1 know, both in the industry and outside. This nuclear
2 regulation is an ongoing process.

3 I believe that this coal does represent an issue that
4 would have to be addressed in nuclear safety -- security space,
5 as well. So yes and no, many of the issues would have been
6 present in 1996. Those issues have gotten larger and changed
7 dramatically since 9/11.

8 Q So, then, if Power Corp had made the decision
9 sometime around 1996 to move forward with permanent burning of
10 Powder River Basin coal, you would have actually had somewhat
11 less concerns, less concern to deal with in 1996 than you have
12 now?

13 A There would be less rigorous issues associated with
14 the nuclear security aspects in 1996 than there would be today.

15 Q And I found on the last page of your testimony and
16 the last answer a question that I had throughout as I was
17 reading it. So it was like a good mystery novel. The answer
18 to the question of when this was being designed, when the CR4
19 and 5 plants were being originally designed, why were these
20 issues not dealt with? And I believe, if I understand the
21 answer that you gave in your prefiled, basically, you are
22 saying we didn't know as much about Powder River Basin coal
23 then as we do now?

24 A That is only a small part of the answer. You have to
25 realize -- and this is from my own review of the design and

1 plans for Crystal River 4 and 5, that when we started putting
2 that plant in operation, we had on hand very long-term
3 contracts for bituminous coal. So there was never an intent to
4 actually run those plants with subbituminous coal once we got
5 them towards operation. So I think it's several issues.

6 I think it is obvious that the industry has learned
7 about subbituminous coal since the early '80s. We are
8 continuing to learn about it. And, in addition, the
9 regulations have changed dramatically. The plants for Unit 4
10 and 5 were, you know, originally conceived and constructed in
11 the '70s. The regulations associated with nuclear plants have
12 changed over the years. I can describe several notable
13 changes. The events of Three Mile Island caused a number of
14 regulatory changes, some of which directly impact the decisions
15 associated with subbituminous coal. And then, once again, you
16 know, in 2001 obviously 9/11. So I guess not only did we learn
17 more about coal, but the regulations have changed over the
18 years.

19 So any review that would have been performed, let's
20 say, in 1982 would not have been complete to today's standards
21 or the standards of 1996. You would have to go back and review
22 that same decision in light of what the regulation was at the
23 time, as well as what we understood of the safety impacts of
24 subbituminous coal at the time that you were making that
25 change.

1 Q And with regard to the qualities of subbituminous
2 coal, didn't in the original site certification application for
3 CR4 and 5 it expound somewhat upon the nature and the qualities
4 of subbituminous coal?

5 A I haven't read those documents.

6 Q Would you agree that subbituminous coal was being
7 used commercially at that time, at the time of the planning of
8 CR4 and 5?

9 A I'm not an expert at the use of coal. From my
10 discussions with those people involved with this case, I do
11 understand there was some subbituminous coal being used in the
12 early '80s, but I also understand that the nature of that coal
13 has changed dramatically as they remove different layers of
14 subbituminous coal. It has changed through the years. It is
15 not even the same coal today that they were burning in 1980,
16 the characteristics have changed. Now, that is secondhand.
17 I'm not an expert at subbituminous coal.

18 Q Do you have any idea how many tons of subbituminous
19 coal had been mined and transported and burned at the time of
20 the addition of --

21 A No, I have no idea.

22 MR. BURGESS: Thank you, Mr. Franke.

23 Thank you, Madam Chair.

24 CHAIRMAN EDGAR: Mr. McWhirter.

25 CROSS EXAMINATION

1 BY MR. McWHIRTER:

2 Q Mr. Franke.

3 A Yes, sir.

4 Q The nuclear plant was built in 1977, or became
5 commercially operable in 1972?

6 A Yes. Actually, construction began many years before,
7 but it came into operation in 1977. We just had our 30th year
8 anniversary.

9 Q And then CR4 was built in 1982, five years later?

10 A That's my understanding.

11 Q And CR5 was built in 1985, two years after that?

12 A Yes.

13 Q And am I correct that both of those plants were
14 designed to burn PRB coal, even though you had contracts in
15 place for ten years for bituminous coal?

16 A I'm not an expert at the design for CR4 and 5. I
17 have heard, as you have, that the boilers were designed for
18 burning subbituminous coal. But I don't know what other
19 equipment at that plant was designed to, no.

20 Q I think I have heard, and you may have not been in
21 the room, but I think I have heard over and over again people
22 say that those plants were designed to burn PRB coal, 50/50
23 blend. Am I totally -- did I mishear that?

24 A The documents that I've reviewed show that the boiler
25 was designed for PRB coal 50/50, but I have also heard and

1 understood from reviewing testimony that there are some
2 components at the coal plant that would have to be upgraded in
3 order to burn that coal.

4 Q Well, let's deal only with the boiler.

5 A Sure.

6 Q In your expert opinion, would it be imprudent to
7 build a boiler to burn something that couldn't be burned?

8 MS. TRIPLETT: Objection, lack of foundation.

9 MR. McWHIRTER: Lack of foundation? I understood
10 that everybody that testified in this case is an expert about
11 what they are testifying to unless we complain about it. And
12 he is an expert and in a position to render an opinion on --

13 CHAIRMAN EDGAR: Mr. McWhirter, include me in this,
14 if you would, please. I'm not sure I see the connection
15 between expert and foundation.

16 MR. McWHIRTER: Well, the foundation is I would have
17 to qualify him as an expert to render an opinion, and I asked
18 him for an opinion as to whether it was prudent to build a
19 plant that you couldn't -- and charge your customers for that
20 plant if you couldn't use it. And I think that must be an
21 expert opinion, because it's dealing with the operation of a
22 plant he is in charge of.

23 CHAIRMAN EDGAR: But I believe the objection was a
24 lack of foundation.

25 Ms. Helton.

1 MS. HELTON: Let me speak to the expert opinion part.
2 Maybe I should have clarified that an expert -- the Commission
3 can hear the opinions of expert witnesses about the subject
4 matter that they have testified. And I believe as I understand
5 the witness that is on the stand now, he is testifying as to
6 the nuclear plant at the Crystal River site and not the coal
7 plants.

8 MR. McWHIRTER: I see.

9 BY MR. McWHIRTER:

10 Q So you don't have an opinion that the coal plant
11 operations would cause a problem the way it is designed
12 presently. You are not talking about the coal plant in your --
13 you don't know anything about the coal plant?

14 A Well, I know quite a bit about the coal plant with
15 regard to how it is operated currently. And how it is operated
16 currently is certainly within the realm of safety with regard
17 to the nuclear plant, and I can testify to that. If you were
18 to make changes to the way that plant is operated that could
19 impact the safety of the nuclear plant, then in my expert
20 opinion we would have to thoroughly review those. And I think
21 there is, in my testimony there are several characteristics of
22 a change involving subbituminous coal that would have to be
23 thoroughly evaluated. Because, quite honestly, they concern me
24 with regard to the nuclear safety. Did I answer your question?

25 Q Well, my question had to do with the prudence of

1 building something you couldn't use, and that was what I had
2 asked you. And she said I didn't lay a foundation for that,
3 but I understood your testimony to be --

4 MS. TRIPLETT: Madam Chairman.

5 CHAIRMAN EDGAR: Ms. Triplett.

6 MS. TRIPLETT: I just want to object to the continued
7 arguments of Mr. McWhirter in his questions.

8 CHAIRMAN EDGAR: Mr. McWhirter.

9 MR. McWHIRTER: Yes, ma'am.

10 CHAIRMAN EDGAR: Why don't we begin here, why don't
11 you pose your question to the witness, and we will go from
12 there.

13 MR. McWHIRTER: All right.

14 CHAIRMAN EDGAR: I have kind of lost the question
15 myself in some of the back and forth. So let's start with the
16 question.

17 BY MR. McWHIRTER:

18 Q You have testified, I believe, that this plant has a
19 boiler that is designed to build a -- burn a fuel that is
20 inappropriate for burning at that plant site, is that correct?

21 CHAIRMAN EDGAR: Ms. Triplett, I know you want to
22 jump in. I can sense it.

23 MS. TRIPLETT: I'm not trying to be a pain, but I
24 believe that Mr. Franke is a nuclear expert and not testifying
25 about what the boiler is designed to do.

1 BY MR. McWHIRTER:

2 Q What did you say about that boiler, sir?

3 A I believe you're trying to get to prudence, and the
4 only thing I can really tell you is that from my expertise, I
5 don't have an expertise with regard to how much money might
6 have been spent unwisely. I don't know enough details about
7 that boiler design to be an expert with regard to that. I
8 think other witnesses have been provided that could have
9 answered that question.

10 Q I see. And you don't know anything about coal plant
11 operations? You are relying on the testimony of others?

12 A No, I do know some things about coal plant
13 operations, but you are asking me a question that I don't know
14 anything about.

15 MR. McWHIRTER: I tender the witness, Madam Chairman.

16 CHAIRMAN EDGAR: Mr. Twomey.

17 MR. TWOMEY: Yes, Madam Chairman. I've got a couple
18 of questions.

19 CROSS EXAMINATION

20 BY MR. TWOMEY:

21 Q Good evening or whatever it is, Mr. Franke.

22 A How are you, sir?

23 Q I'm okay, I think.

24 MR. TWOMEY: If I could ask your attorney, could we
25 have the opening slide back just for a second? Ah, here we go.

1 BY MR. TWOMEY:

2 Q Now, Mr. Franke, during your opening statement, this
3 visual we see here is an aerial photograph of the existing
4 Crystal River station and not an artist rendition, is that
5 correct?

6 A No, that is an actual photo, yes.

7 Q And, in fact, isn't it true that the plant site
8 facilities that you have either surrounded in red or
9 illustrated with red are existing coal yard, coal transfer,
10 coal handling facilities?

11 A Yes, they are.

12 Q That is they are existing facilities now?

13 A Yes, they currently are used to transport and store
14 bituminous coal.

15 Q Bituminous coal, right. Now, were you here during my
16 cross examination of Mr. Hatt?

17 A Yes.

18 Q Okay. And did you hear Mr. Hatt concede that in his
19 Exhibit RH-3 that it is written that spontaneous combustion of
20 coal is a well-known phenomenon?

21 A Yes, there was a statement in his testimony
22 concerning spontaneous combustion of coal, in particular
23 subbituminous coal.

24 Q Okay. Especially subbituminous coal. But you
25 recognize, do you not, Mr. Franke, that the Crystal River

1 3 Nuclear Plant is now surrounded by coal, to the extent that
2 those red illustrations show, by coal, be it bituminous, that
3 is subject to self-igniting?

4 A Here is what I understand. I am familiar with the
5 current bituminous coal that we burn at Crystal River,
6 particularly the CAPP coal which goes along that path to Unit 4
7 and 5. And it has a very low susceptibility to self-igniting,
8 and that occurs at high temperatures typically not experienced
9 on even a hot day in Florida. If we were to follow the
10 suggestions of the OPC submission, the location of that circle
11 would be just below the word CR3. The red circle would be a
12 large 100 percent PRB coal pile. And that coal, 100 percent
13 PRB coal would transfer along that conveyor belt to the
14 transfer point and across up to the north yard.

15 As such, we now would have a significant difference
16 in susceptibility of large coal pile fires, conveyor belt
17 fires, and their potential impact on both my switch yard, which
18 that path goes directly under the transmission lines, my site
19 evacuation route, which that conveyor path goes directly over
20 my only site evacuation path, as well as potential safety
21 systems inside the nuclear plant. What I understand is that
22 change in coal decision represents a significant increase in
23 the susceptibility of spontaneous combustion and large fires.

24 Q When you say significant increase --

25 A Yes.

1 Q -- on what do you base that, do you have a
2 percentage?

3 A No, I don't. It is qualitative based on my own
4 discussions with Mr. Hatt, my reviewings of numerous documents
5 that were prepared for in this proceeding.

6 Q Prepared by whom?

7 A Well, some of them were prepared by, for example, the
8 Sargent & Lundy Report, and other reports talk about the
9 susceptibility of spontaneous combustion for subbituminous
10 coal.

11 Q Yes, sir, and I just want to spend a few more minutes
12 on this.

13 A Sure.

14 Q You concede, do you not, that bituminous coal is
15 subject to self-igniting?

16 A I understand that in certain conditions it can, yes.

17 Q And as I understand your testimony, your concern at
18 least with the self-combustion element of this, that the
19 subbituminous is more volatile and more subject to
20 self-ignition than bituminous coal, is that correct?

21 A There are several features of the subbituminous coal
22 that distinctly make it different than bituminous in my
23 understanding. One is the higher degree of self-ignition; two,
24 when that subbituminous coal does ignite, it quickly expands
25 into a larger fire, hence the pictures that we have seen

1 throughout the testimony. It is not just a small smoldering,
2 which is what is typically experienced with bituminous coal.
3 It rapidly turns into a much larger fire much faster. And also
4 this nature that Rod Hatt discussed which is that it is very
5 difficult to put out. You put water on subbituminous coal, and
6 because of the small fines it tends to actually kind of explode
7 at you while you are doing it. So there is a lot of nature and
8 a lot of issues associated different with subbituminous coal
9 than there is with bituminous coal with regard to fire and
10 ignition.

11 Q Yes, sir, but isn't it true that the self-ignition is
12 a matter of degree. That is the -- as I understand your
13 testimony, you have a greater concern that there is a
14 self-ignition problem with subbituminous than bituminous. It
15 is possible with both. I hear you saying that your concern
16 with subbituminous is that the possibility is greater, is that
17 correct?

18 A It is a matter of degree. The larger the -- if there
19 is a significant change in the degree of a hazard, the 10 CFR
20 code requires that I fully understand that increase in risk.
21 Just because the risk existed prior to, does not mean that I am
22 not required to be very rigorous in my evaluation of that
23 increase in risk. So I do believe that bituminous coal has a
24 small risk of ignition, and it has a -- that has a potential
25 small impact in my coal yard. I now recognize subbituminous

1 coal has a much larger risk, and the consequences of that risk
2 are much greater. And that is what I would have to focus my
3 evaluations on.

4 Q Yes, sir, and I appreciate the fact that you need to
5 analyze this and take all the safety factors in concern. But I
6 want to ask you again, do you have either independently or of
7 your own knowledge any means of quantifying the level of
8 increased risk associated with subbituminous coal as opposed to
9 the current situation in which your plant is surrounded by
10 bituminous coal?

11 A That would be the nature of my review, would be to
12 better quantify that increase in risk.

13 Q Okay. And isn't it possible that that review could
14 turn out to show that the risk would be acceptable with NCR or
15 that it would not be? But you don't know that yet, do you?

16 A I don't know that yet.

17 Q Okay. And is there any other problems you have with
18 the subbituminous coal from your independent knowledge or from
19 Mr. Hatt?

20 A Well, it is probably worth pointing out that in
21 having reviewed and talked to Mr. Hatt and the testimony of him
22 and Mr. Sansom, I do think that there are issues that would
23 have to be addressed at the nuclear plant that would require
24 changes to my systems, modifications, in order to mitigate some
25 known issues that I believe can be mitigated. And that would

1 cost time and money to be able to put those analyses and
2 evaluations in place. There clearly would be a -- from the
3 time at which the company recognized a good economic benefit
4 and the other characteristics that drive us to make a change in
5 fuel choice, I think it would be several months before I could
6 put those evaluations and modifications in place. So, one is
7 the issues of dealing with the evaluation, and, two, I think
8 the second point would be there would be a significant amount
9 of time required in order to accommodate the changes to the
10 plant that might come up.

11 Q Now, one last line of questions. I assume you were
12 here for Mr. McGlothlin's cross of Mr. Kennedy?

13 A Yes.

14 Q And I forget the exhibit number now, it's probably in
15 front of me, where Mr. McGlothlin had Mr. Kennedy acknowledge
16 that in the application with the environmental regulatory
17 agency, that your company was suggesting at least initially
18 that they were seeking permission to burn a 50/50 blend. Do
19 you recall that?

20 A Yes. It did look like they were trying to gain some
21 flexibility from that one review that would be required in
22 order to accommodate the use of subbituminous coal. It looked
23 like they were looking for some greater flexibility in the
24 emission controls.

25 Q And in seeking that flexibility, did they consult

1 with you prior to going ahead with that?

2 A They did not consult with me personally. I do
3 believe from other discussions that people at the nuclear plant
4 were contacted. Some of our concerns were raised. I believe
5 Mr. Pitcher testified to that earlier. But you have got to
6 remember, there is -- you know, there is a lot of hurdles you
7 have to jump over in order to get to this fuel change choice.
8 One of which is the Department of Environmental Protection
9 clearly. Another would be the nuclear hurdle. There are two
10 separate hurdles.

11 MR. TWOMEY: I see. Thank you.

12 CHAIRMAN EDGAR: Questions?

13 MR. BREW: Yes. Thank you.

14 CROSS EXAMINATION

15 BY MR. BREW:

16 Q Good evening, Mr. Franke.

17 A Good evening.

18 Q Your Exhibit JF-9, do you have it?

19 A JF-9? Yes.

20 Q That is labeled the Potential Effects of Electrical
21 Equipment at CR3 From Use of Powder River Basin Coal. Do you
22 see that?

23 A Yes, I do.

24 Q When did you prepare that preliminary list?

25 A This preliminary list was prepared sometime earlier

1 this year. I don't know exactly when.

2 Q As a part of preparation for this proceeding?

3 A That's correct.

4 Q Okay. Now, CR3 went into operation in 1977 and was
5 licensed before that, correct?

6 A Well, it was licensed for construction before that,
7 so yes. The actual license for operation began in 1977, a
8 40-year license.

9 Q The operating license?

10 A That is correct.

11 Q And at the time Crystal River 1 and 2 were at the
12 site?

13 A That's correct.

14 Q And so the nuclear plant was licensed at a site where
15 there were already coal burning plants?

16 A That's correct.

17 Q And subsequent to going into service as you've
18 discussed with Mr. McWhirter, Crystal River 4 and 5 were sited
19 and approved and built, is that right?

20 A That is correct.

21 Q When the fourth and fifth Crystal units were built,
22 did you update your FSAR?

23 A It should have been updated at that time. I do know
24 that the current UFSAR has reference to four coal units. I
25 don't know when that update was done. It should have been done

1 at the time of construction of 4 and 5. I did not pull the
2 date of that update. But there are annual updates required, so
3 it should have been updated with each year to accommodate the
4 changes to the site.

5 Q So when the FSAR, the final safety analysis report?

6 A Yes. The proper term is updated FSAR to reflect the
7 current version.

8 Q And in NRC parlance that is your basic licensing
9 document?

10 A That is one of many. I would call that the
11 foundation basis for our initial operating license. License
12 basis of a plant is actually a large group of documents, and
13 that is a fundamental piece of it.

14 Q Okay. Well, let's just stick to that.

15 A Sure.

16 Q When you updated your FSAR to reflect the presence of
17 Crystal River 4 and 5, did you tell the NRC that it was
18 designed to burn a 50/50 blend of bituminous and subbituminous
19 coal?

20 A No, I don't believe they did. What they reflected
21 was the expected operation of the unit prior to going into
22 service, which was at that time the expectation to use
23 bituminous coal, so the review would have looked for changes.
24 It's probably important to stress what is important is a change
25 from an existing condition, and at that time what was occurring

1 was we were going from two units using bituminous coal to four
2 units using bituminous coal. That would have been the change
3 that would have been reviewed and added to the final safety
4 analysis report.

5 Q So that updated final safety analysis report would
6 have reflected all of the information that is shown up on the
7 photo in terms of coal pile and coal handling and conveyors and
8 its proximity to the reactor building?

9 A Yes. A site layout is a typical component of a final
10 safety -- updated final safety analysis, correct.

11 Q And to burn the subbituminous coal, the analysis you
12 would need to do is there any incremental risk from what you
13 have already told the NRC in terms of coal handling, coal dust,
14 the danger of coal-related fires and so forth?

15 A Exactly.

16 Q Okay. Do you have systems in place to address the
17 possibility of coal fires on the conveyor belts or in the coal
18 pile?

19 A Currently the coal yard has some fire protection
20 equipment, but not a lot.

21 Q Is that addressed in your FSAR?

22 A What's that?

23 Q Is that addressed in your FSAR?

24 A Not that I'm aware of, no.

25 Q Okay.

1 A And the reason for that is primarily because the
2 current coal really isn't subject to that type of a fire like
3 subbituminous coal. As Mr. Hatt testified, it acts more like
4 dirt.

5 Q I didn't ask a question. If you could just wait for
6 the question.

7 A Thank you.

8 Q Does your FSAR have rules in place with respect to
9 dust-related issues, coal dust-related issues?

10 A It does in a matter. If you are asking about the
11 specific FSAR, we are required by our license to have
12 maintenance programs in place that ensure the reliability of
13 the plant. Now, hidden inside those maintenance programs are
14 clearly preventative maintenance tasks associated with
15 maintaining the cleanliness of our electrical gear and
16 electrical components. I think if you were to walk around the
17 Crystal River 3 nuclear site, you would see a different level
18 of housekeeping and cleanliness than you would at a coal unit.

19 Q Okay. You mentioned in response to Mr. Twomey a
20 question that I had asked of Mr. Pitcher, which is whether the
21 Crystal River 3 staff were consulted on the test burn of 2004.
22 And I take it from your comment to him that at least someone on
23 the CR3 plant staff was informed and consulted?

24 A Yes. From speaking with Mr. Pitcher, I understand
25 that the nuclear people were discussed (sic) preliminarily

1 about the 2004 burn. But realize that from my review of the
2 documents associated with that burn, it was clear that the
3 intention was to maintain a product on site that matched
4 bituminous coal with regard to its characteristics, notably a
5 very low enrichment PRB coal. They stipulated very
6 specifically that it be preblended prior to arrival on site.
7 So it never reached that level of review requirements that I
8 have stipulated today.

9 Q Did you also hear Mr. Pitcher say that based on the
10 test -- he had asked for the test burn because it appeared to
11 him that PRB was becoming economic for the plants? Were you
12 here this afternoon when he was crossed?

13 A I was here. I don't remember that question.

14 Q Okay. Were you here for the cross-examination of
15 Mr. Kennedy and the discussion of the applications to allow a
16 20 percent burn of the PRB coal?

17 A Yes, I was.

18 Q Or blend.

19 A Yes.

20 Q And so is it fair to say that the CR3 plant staff has
21 been aware since at least 2004 that Progress Energy has been
22 pursuing the possibility of burning up to a 50/50 blend of
23 subbituminous coal, and yet you have not begun any of the
24 engineering analysis that you claim would be necessary from a
25 CR3 perspective?

1 A I don't think that's a fair statement.

2 Q Have you done any work on analyzing those issues,
3 other than the preliminary list that appears as JF-9?

4 A We have done some preliminary research, but, no, we
5 have not done extensive reviews of the use of Powder River
6 Basin coal greater than, you know, a test burn of a very low --
7 a very low percentage blend.

8 Q On your testimony at Page 24, Line 22, where you have
9 listed Step 3, does it change past the 50.59 analysis, which is
10 the reference to the NRC rules for an amendment --

11 A I'm sorry, what page again?

12 Q Page 24, I'm sorry.

13 A Page 24.

14 Q Line 22.

15 A Okay.

16 Q Do you see Step 3?

17 A Yes.

18 Q Is the answer to does the change pass the 50.59
19 analysis is you don't know because you haven't done that
20 analysis yet?

21 A That's correct.

22 MR. BREW: Okay. That's all I have, Your Honor.

23 THE WITNESS: Nor would I have expected it to.

24 CHAIRMAN EDGAR: Mr. Brew, that is the end of your
25 questions on cross? Thank you.

1 Ms. Bradley. No questions.

2 Questions from staff?

3 MS. BENNETT: No questions.

4 CHAIRMAN EDGAR: No questions.

5 Commissioners. No questions.

6 Ms. Triplett.

7 MS. TRIPLETT: Very brief redirect.

8 REDIRECT EXAMINATION

9 BY MS. TRIPLETT:

10 Q Mr. Burgess asked you whether -- what kind of review
11 you would have to do if you did this review in 1996. And I
12 believe you said that because of 9/11 security regulations the
13 review would be less. But could you just explain to the
14 Commissioners what other issues besides safety would have to go
15 into that kind of review even in 1996?

16 A Yes. There are a number of reviews. The fundamental
17 50.59 review is asking the question has the NRC reviewed this
18 condition as it effects to nuclear safety? And if they have,
19 is the information changed with regard to their decision to
20 allow you to continue to have an operating license? So,
21 specific questions like does this increase the likelihood of an
22 event as described in the FSAR? And in this case I would say
23 it does increase a risk that would have to be fully evaluated,
24 specifically the risk of a loss of off-site power due to fire.

25 Additional questions are questions like does this

1 change as proposed represent a change to the way the plant
2 might respond to an event? And, once again, due to the now
3 possibility of a large coal fire, which I do not believe exists
4 with bituminous coal, but does with subbituminous coal, that I
5 would have to evaluate that fire on the safety systems of the
6 nuclear plant.

7 So an example might be the cloud of soot passing over
8 the diesel building, whether or not that cloud of soot would
9 now pose a challenge to the diesel's ability to provide the
10 power it's required to in my final safety analysis report.
11 This is a common kind of review we do all the time. We have
12 done it in the past for fossil plant activities, and so that's
13 the kind of nature of the questions.

14 MS. TRIPLETT: Thank you.

15 CHAIRMAN EDGAR: We have exhibits.

16 MS. TRIPLETT: Yes.

17 CHAIRMAN EDGAR: I have 135 through 143.

18 MS. TRIPLETT: Yes, ma'am.

19 CHAIRMAN EDGAR: Okay. Show those exhibits to be
20 admitted into evidence.

21 (Exhibits 135 through 143 admitted into the record.)

22 CHAIRMAN EDGAR: The witness is excused. Thank you.

23 MS. TRIPLETT: May he be dismissed?

24 CHAIRMAN EDGAR: And dismissed.

25 MS. TRIPLETT: Thank you.

1 CHAIRMAN EDGAR: Okay. I think it is about time to
2 call it a day. I appreciate everybody working with us. We've
3 covered a lot of ground today. Before we break for the
4 evening, any housekeeping matters, questions, procedural,
5 anything that we need to address or should address before I
6 beat the gavel? No? Okay.

7 Mr. Twomey.

8 MR. TWOMEY: What time will we start tomorrow?

9 CHAIRMAN EDGAR: We will start at 9:30, and I'm
10 optimistic that we can finish. All right. We will call it a
11 night. See you all in the morning at 9:30. Thank you.

12 (Hearing adjourned at 5:55 p.m.)

13 (Transcript continues in sequence with Volume 6.)

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF FLORIDA)

2 : CERTIFICATE OF REPORTER

3 COUNTY OF LEON)

4

5 I, JANE FAUROT, RPR, Chief, Office of Hearing
6 Reporter Services, FPSC Division of Commission Clerk and
7 Administrative Services, do hereby certify that the foregoing
8 proceeding was heard at the time and place herein stated.

9 IT IS FURTHER CERTIFIED that I stenographically
10 reported the said proceedings; that the same has been
11 transcribed under my direct supervision; and that this
12 transcript constitutes a true transcription of my notes of said
13 proceedings.

14 I FURTHER CERTIFY that I am not a relative, employee,
15 attorney or counsel of any of the parties, nor am I a relative
16 or employee of any of the parties' attorney or counsel
17 connected with the action, nor am I financially interested in
18 the action.

19 DATED THIS 12th DAY OF APRIL, 2007.

20



21

22 JANE FAUROT, RPR
23 Official FPSC Hearings Reporter
24 FPSC Division of Commission Clerk and
25 Administrative Services
(850) 413-6732

26

27

28

29

30

31

32

33