

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 070650-EI

In the Matter of:

PETITION TO DETERMINE NEED FOR TURKEY
POINT NUCLEAR UNITS 6 AND 7 ELECTRICAL
POWER PLANT, BY FLORIDA POWER & LIGHT
COMPANY.



VOLUME 5

Pages 449 through 576

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN MATTHEW M. CARTER, II
COMMISSIONER LISA POLAK EDGAR
COMMISSIONER KATRINA J. McMURRIAN
COMMISSIONER NANCY ARGENZIANO
COMMISSIONER NATHAN A. SKOP

DATE: Thursday, January 31, 2008

TIME: Commenced at 9:30 a.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: JANE FAUROT, RPR
Official FPSC Reporter
(850) 413-6732

APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER-DATE

FLORIDA PUBLIC SERVICE COMMISSION 00818 FEB-18

FPSC-COMMISSION CLERK

I N D E X

WITNESSES

	NAME:	PAGE NO.
1		
2		
3		
4	STEVEN D. SCROGGS	
5	Continued Cross Examination by Ms. Fleming	465
6	Cross Examination by Ms. Brubaker	479
7	Cross Examination by Mr. Butler	482
8	DR. NILS J. DIAZ	
9	Direct Examination by Mr. Ross	484
10	Prefiled Direct Testimony Inserted	487
11	Cross Examination by Ms. Krasowski	532
12	Cross Examination by Ms. Brubaker	545
13	Redirect Examination by Mr. Ross	554
14	LEONARDO E. GREEN	
15	Direct Examination by Mr. Huntoon	556
16	Prefiled Direct Testimony Inserted	558
17		
18		
19		
20		
21		
22		
23		
24		
25		

EXHIBITS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NUMBER:

ID.

ADMTD.

23 through 31

483

32 through 39

555

P R O C E E D I N G S

(Transcript continues in sequence from Volume 4.)

STEVEN D. SCROGGS

continues his testimony under Oath from Volume 4:

COMMISSIONER ARGENZIANO: Okay. So, then, it is different, obviously, as to -- your explanation is different than what you perceived previously.

And, Mr. Chair, I couldn't agree more, we need to find out what is really going on.

Thank you.

CHAIRMAN CARTER: Thank you, Commissioner.

That's one of the good things about what we are doing now is we are listening, and we are going into and digging into the details and all like that. And it is great for each one of us to be able to look at this issue from -- because, wherever we go, we are going to have to defend what we do, and it has got to make sense.

So, Commissioner Edgar, you are recognized.

COMMISSIONER EDGAR: Thank you, Mr. Chairman.

If I may be given a little latitude to just get some thoughts together, and hopefully it will all tie together.

You know, in my mind, we have got -- it's a multi-step process, and we have a couple of different proceedings going on within a larger proceeding. And there was, of course, the prehearing conference, prehearing. And

1 from that was issued the prehearing order, which put us in the
2 proper posture in order to come to the next step, the
3 evidentiary hearing.

4 I did have some frustration yesterday, and I
5 apologize to my colleagues for showing that, because I
6 generally try to have a better poker face, but I had some
7 frustration because I felt that we were at an evidentiary
8 hearing and that part of the reason we are here live and in
9 person, or audio, was to be able to ask questions to flesh out
10 the information that we had been provided.

11 And if not, then we would have a paper hearing and we
12 would not have to, you know, spend all this time altogether in
13 this room. So I had some frustration. And part of that was
14 that I was trying to ask what to me seemed to be direct
15 questions, and I didn't feel like, in some instance, I was
16 getting direct answers. Perhaps my questions were not as clear
17 as I thought they were.

18 But that brings me back around to -- I think the
19 prehearing conference appropriately laid out issues for
20 additional record building and questions and discussion at this
21 point in the process. And at this point in the process I think
22 it is appropriate for the parties and for staff and for each
23 Commissioner to ask questions if we have them. So I am pleased
24 that we have been able to have some discussion on this point.
25 I realize that we may seem to be belaboring a fine -- one fine

1 point when there are so many, but I think it is helpful to
2 clarify. I did have some question, and I continue to, as to if
3 this issue were to be approved, if that is the direction this
4 Commission wants to go, whether is that a finding of prudence,
5 and that may be what is the right thing to do. If it is, I
6 just wanted to have a better understanding that, indeed, that
7 is what we would be doing.

8 If, indeed, this Commission deems it appropriate and
9 the best instance in light of the statute and the rule and
10 every other factor that we approve Issue 9, then to me it is
11 helpful for us to have some discussion as to what the actual
12 language means. And maybe, you know, maybe the language needs
13 to be adjusted slightly. And I see that as a good part of the
14 process, and not as a criticism or anything like that. So I
15 thank each of you for your questions that are helping me think
16 through, but in my mind, you know, the prehearing is one step,
17 but we are at just a different step in the process. Thank you.

18 CHAIRMAN CARTER: Thank you very kindly.

19 And, Staff, I'm sorry to interrupt you, but, you
20 know, sometimes when you ask a question, and each one us are
21 kind of listening for certain things, and we hear that. So
22 this was kind of -- I really enjoyed the questions yesterday in
23 terms of looking at this issue from a multi-faceted
24 perspective, and I just wanted to make sure as we go forward,
25 first of all, I want to say, because I don't want anybody to

1 get the wrong idea, we, the Florida Public Service Commission,
2 are not trying to put a chilling impact on any company trying
3 to do the right thing. None of us, none of the five of us are.
4 And I think that if you look at every vote that we have ever
5 taken, it doesn't show that. Our votes show that we are going
6 to be diligent, dutiful, responsible, and we are going to try
7 to ensure that we keep the lights on. So, I do want to say
8 that. And because we are talking about one -- this is like one
9 of, what, one of ten issues. And we are talking about one
10 issue. This doesn't mean that we have an axe to grind, no pun
11 intended, for Japan Steel Works or any other works. It's just
12 that in this process here, when we get into the evidentiary
13 hearing, as we were down in Miami and later on yesterday when
14 we talked to the public and said there is a public hearing
15 where the public comes and they get a chance to say the things
16 that are important to them, and we take that very serious, and
17 then we told the public that after that there is a more
18 formalized hearing, an evidentiary hearing where people are
19 sworn in, have their depositions, we have cross-examinations
20 not only from the parties but also from the Commissioners and
21 our staff.

22 So I think this is a dynamic process. Commissioner
23 Argenziano served many years in the Legislature, so she is well
24 aware of how important it is to have the public, you know, for
25 the public to know what's going on, but, also, making the

1 decisions. And that is the kind of thing about it, we want to
2 make a decision, but we need to have all of the facts. We want
3 to have all of the facts.

4 And I know that sounds like I'm on a soap box, but I
5 just wanted to kind of set the tone for where we are. We are
6 going to work through the process, and as we always do, we are
7 going to have the best possible position one for the ratepayers
8 and two for the companies.

9 Commissioner Skop, you're recognized, sir.

10 COMMISSIONER SKOP: Thank you, Chairman Carter.

11 And touching upon the points that Commissioner Edgar
12 raised, which I think were excellent points. Again, I don't
13 think that necessarily FPL has precluded itself from the issue
14 as written. Because, again, that certainly is one option we
15 have heard. But, again, the secondary option, the fallback
16 option or the option that maybe was not as further definitized
17 via through a vendor or not being able to be readily
18 transferable, I think what I heard from Mr. Scroggs, if the
19 contractual terms could entail reserving a queue directly with
20 Japan Steel Works, that works directly -- and he did say that
21 was one of the options. But, again, I think part of the issue
22 is we don't know what the commercial terms are yet.

23 But, again, if it has gone through the vendor and
24 directed for the benefit of, then the portability of that -- we
25 have had portability used in the news lately for a good reason.

1 But, again, I think that it is equally important to make sure
2 that that is portable, if it is done in the indirect payment
3 method as opposed to the direct. But, again, that's not
4 predetermined to even getting to that issue until we have a
5 determination on need. So, again, I think that this issue is
6 being properly fleshed out. And I do think that if
7 representations were made by FPL to the extent that it would be
8 a direct contractual arrangement with Japan Steel Works that
9 would probably be more on line, or that issue about moving it
10 from one vendor to the other without penalty or harm to the
11 consumer or the ratepayer, that would also be another thing
12 that would probably be consistent with the issue as currently
13 framed.

14 But I am concerned. I do share Commissioner Edgar's
15 concerns, as well as Commission Carter's concerns, and
16 Commissioner Argenziano's concerns, and Commissioner McMurrian
17 may have even chimed in, so my colleagues' concerns about we
18 need to make sure we know with certainty what we are doing to
19 the extent that we are making the right decisions before us.
20 So, again, I still am supportive, but I need to make sure that
21 we haven't substantially departed from the way the issue was
22 framed before us.

23 Thank you.

24 COMMISSIONER EDGAR: Thank you.

25 Commissioner McMurrian.

1 COMMISSIONER McMURRIAN: Thank you. I have, of
2 course, managed to remain quiet on this so far, but I just want
3 to throw out something, I guess, to Commissioner Skop and to my
4 other colleagues about this.

5 Commissioner Edgar mentioned that perhaps there is
6 some way to modify the issue. And I know that we don't
7 normally look at modifying issues at this stage, and I'm not
8 necessarily suggesting that. Given the confusion it seems that
9 we are having, I just wonder is there, and I wanted to pose it
10 to Commissioner Skop, is there some way to -- and I have played
11 with it a little bit myself, but I don't think that it answers
12 all the questions that have been raised about whether or not
13 this issue is asking for a determination of prudence, and
14 perhaps that is something that we deal with in how we answer
15 the issue.

16 I think that it is clear from the prehearing
17 positions that I believe that FPL is seeking a prudence
18 determination. It may be more broad or more limited than
19 exactly what the issue is. But I just wanted to throw out is
20 there some way -- would it be helpful at this point to
21 entertain perhaps making a little more broad, especially with
22 respect to whether the payment goes directly to Japan Steel
23 Works or through another vendor to perhaps take out the
24 language that says to Japan Steel Works. And it just leaves
25 the concept of approximately 16 million in order to preserve

1 the potential for the in-service dates. And perhaps taking out
2 the language about should FPL commit, and just leave it should
3 FPL -- and then you have the phrase set off in commas, and then
4 strike the to, as well, and say make advanced payments.

5 I'm not sure that still clarifies whether or not the
6 Commission is giving them direction to make those payments or
7 not, but it would, perhaps, tone it down somewhat and take out
8 the commit language. But I just throw that out for your
9 consideration. I think it would still leave the ability for
10 all the parties to still make the arguments that they have been
11 making, but at this stage of the process I don't intend to try
12 to confuse it and make the testimony not fit the issue, as
13 well.

14 COMMISSIONER SKOP: And, Commissioner Edgar, may I be
15 recognized?

16 COMMISSIONER EDGAR: Yes, sir.

17 COMMISSIONER SKOP: Thank you.

18 And, again, I think that's an excellent point.
19 Again, it may be a little non-traditional and have to tweak an
20 issue on the fly, but certainly we can make the issue conform
21 to the evidence if we choose to do so. But, again, it is an
22 excellent point that you raised, and I think Commissioner Edgar
23 has touched upon.

24 Just as a point of information, a little background,
25 when this issue came before me, again, it was a difficult

1 decision at best. There was merit, as I explained yesterday,
2 but as the issue originally came, there were some iterations,
3 and there was a potential staff modification floating around
4 out there.

5 My concern was that if we came with broad language,
6 again, it would put us, or my colleagues in a very difficult
7 position to the extent that it was not as definitized as it
8 should be to make this type of thing. And that was my
9 whole-hearted concern is that we are not in the process, nor
10 should we be, nor should I put my colleagues in the position of
11 being forced to consider writing a blank check. So, to me it
12 was very, very, very important to make it as discreetly
13 definitized as possible. We vetted that in detail with the
14 parties, OPC and FPL. So, again, we got to the issue as it
15 stands now.

16 Certainly I'm open to the possibility of tweaking
17 that, to do the right thing for the ratepayer, if that is the
18 direction that we need to do. You know, I am concerned about
19 the portability aspect. The issue may, as written, be properly
20 framed if FPL could figure out in short order whether they are
21 willing to go directly to Japan Steel Works to have the option
22 to use it for either vendor to reserve the queue, then there is
23 no problem as written. But certainly I'm open and flexible to
24 addressing the issue that has cropped up before us to the
25 extent that we are trying, I think, to do the right things when

1 it is necessary to do so. However, we need to make those
2 issues discreetly conform to what is being presented. And so
3 I'm certainly open to that suggestion that Commissioner
4 McMurrin presented, Commissioner Edgar. And I think you and
5 Chairman Carter had some concerns there, too. So I'm willing
6 to work with everyone to get the right result. It is just,
7 again, my concern was I didn't want to present it as broad or
8 it to come in as long lead payments. To me that is pretty
9 nebulous. We need to know discreetly what we are being asked
10 to do, and I would certainly not put my colleagues in that
11 position. So that is why, again, it was supposed to be very
12 discreet. But, again, there is some uncertainty now. So I
13 think I have said enough on that issue, but hopefully that
14 explains it. And, yes, I am willing to entertain that, should
15 we need go there. Thank you.

16 COMMISSIONER EDGAR: Thank you, Commissioner Skop and
17 Commissioner McMurrin. The word collegial is in my mind, and
18 that makes me so happy.

19 A couple of thoughts. Again, and I am repeating
20 myself. I wanted to be clear as to what this issue would mean
21 if we decided to go forward. And having the discussion of the
22 questions, I'm not yet completely clear, but it has helped, it
23 has absolutely helped my thinking. So thank you for that.

24 I do continue, just for me, to have a concern that
25 this issue, as worded, would put this Commission further into

1 management decisions than I am completely comfortable with, and
2 that is still a concern that I have. I also recognize that we
3 have another witness later in this hearing who I think can
4 address some of those points, and I'm looking forward to asking
5 some questions and hearing the other questions and, hopefully,
6 that will flesh that out a little bit more.

7 I also would make the point, again, that one of the
8 questions still in my mind is because it is a new statute, as
9 you have pointed out, Commissioner Skop, and, therefore,
10 whatever we do on this, one way or the other, yes, no, up,
11 down, somewhere in between, I do see as very precedent setting,
12 and, therefore, I want to be all the more clear as to what it
13 really means.

14 So with that, those comments, I would ask if perhaps,
15 you know, Commissioner McMurrian, you have made some
16 suggestions. We do have additional witnesses, and at least one
17 that I think is going to be on point some to this specific
18 issue, in addition to the current witness, that I know that the
19 parties are listening carefully, which I appreciate, and our
20 staff, and perhaps there could be further discussions between
21 the parties and staff. And, again, of course, we do have the
22 additional witness. So, I say we let the process kind of
23 proceed. It generally works, and we will see where it takes
24 us.

25 Commissioner Skop.

1 COMMISSIONER SKOP: Thank you, Commissioner Edgar.

2 And, again, I think those points are extremely well
3 taken. And also, too, I would just add before we went back to
4 staff conducting its questions to round out the record, it
5 would probably help this Commission immensely if FPL in terms
6 of lunch or over the course of this proceeding can kind of
7 definitize which direction they think they may want to go with
8 this. I mean, I'm not hearing -- I'm hearing concerns for the
9 right reasons, and I think Commissioner Edgar has properly
10 raised those, as I think that all Commissioners probably have
11 that in the back of their mind. I do think that it would
12 facilitate the decision-making process substantially if we can
13 get some further definitization of where you guys think you may
14 want to go with this in very short order.

15 COMMISSIONER EDGAR: And, again, we have witnesses
16 for the rest of the day. And although I know some of us had
17 hoped that maybe we would be done today, I don't know that I
18 can optimistically project that. So I think we will be
19 probably gathered together tomorrow, and so I think there is
20 opportunity for some of that, again, those discussions between
21 all parties and staff. So, thank you.

22 Commissioner Argenziano, do you have any additional
23 comment at this point?

24 COMMISSIONER ARGENZIANO: No, Madam Chair, I'm fine.
25 Thank you.

1 COMMISSIONER EDGAR: Thank you.

2 COMMISSIONER SKOP: Thank you, Commissioner Edgar.

3 And, again, I think I have one quick question before
4 we turn it over to staff for Mr. Scroggs.

5 Would it be possible, hypothetically, and, again, I
6 don't want to be thinking for anyone, but, again, the way your
7 testimony is reflected there is currently two options floating
8 around. One is a direct payment to Japan Steel Works based on
9 contractual terms through one of the two respective potential
10 vendors. Is there some reverse notion where it could go
11 directly to Japan Steel Works and then be assigned to the
12 particular vendor for the benefit of?

13 Like, typically, if you were going to go directly to
14 one of your vendors like Westinghouse or GE, that payment would
15 be made to the vendor for the benefit of. And I guess what I'm
16 asking is perhaps the opposite of that. If you made the
17 payment to Japan Steel Works as the issue is framed, then it
18 could be assigned for the benefit of the respective vendor
19 source selection that you chose.

20 THE WITNESS: Yes, sir, that is a possibility, I
21 assume, at this stage. Let me just say that in terms of reason
22 that we might consider going through a vendor would be to
23 leverage the buying power of that vendor who is going to be
24 buying multiple sets, and that we also do business with our
25 existing fleet so that we may be able to get a better deal for

1 the customers in risk mitigation through a vendor than we could
2 being one entity buying one set of forgings from Japan Steel
3 Works. We just haven't fleshed that out at this stage.

4 COMMISSIONER SKOP: And as a quick follow up, again,
5 I think that the concern that Chairman Carter raised as echoed
6 by Commission Edgar, that portability function, I think, is a
7 very, very, very, very important contractual term to flesh out
8 in short order for this Commission to, perhaps, even get more
9 comfortable or go entertain that. Because, again, if it's not
10 portable, I think as Chairman Carter stated and I think
11 Commissioner Edgar has kind of stated, that is an issue. So,
12 again, hopefully we can resolve those in short order.

13 COMMISSIONER EDGAR: Thank you. Questions from
14 staff.

15 MS. FLEMING: Yes, we still have more questions.
16 Thank you.

17 CONTINUED CROSS EXAMINATION

18 BY MS. FLEMING:

19 Q Mr. Scroggs, could I have you turn to your Late-filed
20 Exhibit Number 2 from your deposition, please.

21 A Yes, ma'am.

22 Q Can you explain -- just briefly explain the substance
23 of this exhibit?

24 A This exhibit is this spreadsheet that I relied upon.
25 The first page that is entitled FPL AP 1000 COD July 2018 and

1 July 2020, that page was the information provided directly from
2 Westinghouse. And then --

3 Q I'm sorry, if I may interject for a moment.

4 Commissioners, this is identified as Exhibit Number
5 15 to Staff's Composite Exhibit Bates stamped Number 712 and
6 713.

7 I'm sorry. Go ahead, Mr. Scroggs.

8 A This was the base information that we were provided
9 with from Westinghouse Nuclear, and then the second page where
10 it says summary of long lead would be where I took that
11 information and instead of 2007 dollars, escalated it out in
12 time to years spent dollars, and represented it in a way that
13 is more consistent with how we represented costs in this
14 filing.

15 Q At the table appearing at the top of the FPL API 1000
16 COD July 2018 and July 2020, which is Bates stamped Number 712.
17 Do you see that?

18 A Yes, ma'am.

19 Q This table appears to indicate that Japan Steel Works
20 forging slots, is that correct?

21 A That's correct.

22 Q And this table appears to indicate that it would cost
23 FPL 100 million in 2008 and 2009, is that correct?

24 A That is not correct.

25 Q Okay. Can you explain that for me, please?

1 A You see on the title above the years in that specific
2 table, it reads expenditure schedule, paren, percent of price
3 per year, end paren. That represents that that 100 is an
4 indication of 100 percent of the payment for the forging slots
5 would be required in 2008.

6 Q And is that 100 percent referring to the 16 million?

7 A That is the number that we developed, yes, ma'am.

8 Q Now, below that there are several notes, 1 through 6.
9 Note 2, specifically, has an asterisk and it says forging slots
10 reservation fee applies to SG and RV for 2 AP 1000 units.

11 A That's correct.

12 Q Does SG and RV, does that refer to steam generator
13 and reactor vessels?

14 A Correct.

15 Q Now, in the table at the bottom of that same page, is
16 it my understanding that this also shows the forging slots and
17 the expenditures in 2007 dollars, is that correct?

18 A That's correct.

19 Q And there is a dollar amount there of 12 million for
20 2008?

21 A That's correct.

22 Q And why is there is a dollar amount of 12 million
23 when we have been stating that it's a \$16 million reservation
24 fee?

25 A 12 million was the specific value provided to us by

1 Westinghouse in 2007 dollars.

2 Q And there is a column there that is labeled
3 reservation year. Is that the year where you intend to put in
4 specific forging slots?

5 A That is correct.

6 Q And is it my correct reading that you have -- for
7 2008 reservation year you have RV 1, RV 2, SG 1, SG 2, RCP 1,
8 and RCP 2?

9 A That's correct.

10 Q Now, looking at the table above, you had designated
11 the forging reservation fee, it applies to RV 1, RV 2, SG 1,
12 and SG 2, correct?

13 A Correct.

14 Q What does the RCP 1 and RCP 2 refer to in the bottom
15 table?

16 A These would refer to forgings associated with the
17 reactor coolant pumps for Unit 1 and the reactor cooling pumps
18 for Unit 2.

19 Q And were those costs or expenditures included as part
20 of the table above?

21 A Yes.

22 Q Okay. Can you explain that to me? I guess I'm
23 confused as far as looking at the column in 2008 to 2009 you
24 have asterisk designations. And looking at your note, it says
25 forging slots reservation fees apply for SG and RV for two AP

1 1000 units, but I don't see that designation for RCP 1 and RCP
2 2. Can you explain that for me, please?

3 A This is the specific spreadsheet provided to us by
4 Westinghouse, so this is not my document with my notes. These
5 are notes that were provided to us in discussions with them.
6 We were asking is this reservation fee sufficient for the
7 complete set of all forgings we need for a two-unit project.
8 And the answer we received was yes. So that is how we have
9 represented them to you.

10 MS. FLEMING: Okay.

11 COMMISSIONER EDGAR: Commissioner Skop.

12 COMMISSIONER SKOP: Thank you, Madam Chair.

13 Also, again, this is a point of information. Because
14 I see where staff is rounding this out on the Late-filed
15 Exhibit 2, on the first page of that hearing exhibit where it
16 was the 12,000, and then the subsequent page looks at rounded
17 and escalated pricing. If staff would look at Staff 6th Set of
18 Interrogatories, Interrogatory Number 92, Page 1 of 1. And
19 also followed by Staff's 6th Set of Interrogatories,
20 Interrogatory Number 89, Page 1 of 1. To me, I mean, that's
21 the information I had available, again, when we definitized the
22 issue. Again, this was late-filed. I recognize there may be
23 some variability which we are trying to flesh out. But I think
24 if you correlate what I was seeing on Interrogatory Number
25 92 for costs incurred, the 16,208,000 on this document, you

1 guys probably don't have it, but then it has the breakdown of
2 each item, the forging fee, and the long lead materials that
3 are also kind of articulated on the late-filed exhibits.

4 I think between the two there probably is that
5 correlation and comfort level because at the end of the day the
6 dollar numbers at least to me seem to be somewhat consistent,
7 but I just wanted to point that out as a point of information.
8 Because, again, the Staff's 6th Set of Interrogatories on 89
9 and 92 are the ones I kind of looked at, and I am seeing some
10 sort of consistency. But, again, I will let staff flesh that
11 out. Thank you.

12 COMMISSIONER EDGAR: Thank you.

13 Ms. Fleming.

14 BY MS. FLEMING:

15 Q Mr. Scroggs, with respect to the late-filed exhibits,
16 as we have had different dollar amounts, and on the top of Page
17 713 there is a \$15 million amount in 2007 dollars, correct?

18 A Correct.

19 Q And I guess what I'm trying to reconcile is the
20 \$12 million on the prior page versus the 15 million on the
21 following page. Can you explain the discrepancy to me, please?

22 A There is no discrepancy. Again, we used as an input
23 as information from the vendor an estimate that they gave. And
24 if you will look on that first page, right next to the term
25 forging slots in the lower graph it gives an estimate between

1 8 to 12 million. Okay. And then they used 12 million.

2 Given the uncertainty of this, we wanted to make sure
3 that we covered appropriately the range that could occur. So I
4 made a decision that 15 million would give me an adequate cover
5 over an uncertain price estimate, and recognized we are using
6 the Westinghouse estimate to represent not only the
7 Westinghouse, but if we went with GE, as well. So, again, that
8 was a judgment call on my part.

9 Q Thank you for clearing that up. I appreciate it.

10 Now, earlier you stated that the reservation fee, the
11 16 million, is still subject to further negotiations, is that
12 correct? Is that my understanding?

13 A That is correct.

14 Q So is it fair to assume that the 16 million
15 reservation fee could go up or down at this point?

16 A That's correct, it could. But we feel that we have
17 provided a number that is very representative of what we expect
18 it will turn out to be.

19 COMMISSIONER EDGAR: Commissioner Skop.

20 COMMISSIONER SKOP: Thank you, Madam Chair.

21 And also to staff, again, on Issue 9 it was framed as
22 approximately 16 million. My concern, again, was when I framed
23 that issue is making sure it was very definitized and more of
24 a, kind of, not to exceed number so we are not writing a blank
25 check. But, again, it does say approximately.

1 COMMISSIONER EDGAR: Ms. Fleming.

2 BY MS. FLEMING:

3 Q Mr. Scroggs, earlier you testified that there will be
4 some remarket opportunity in the future if FPL decides not to
5 proceed with this project, is that correct?

6 A That's the information we have available. We believe
7 that there may be remarket opportunity.

8 Q And is that remarket opportunity for the reservation
9 for -- can you explain that remarket opportunity?

10 A Yes, ma'am, associated with the forging slot
11 reservation fee.

12 Q If reservation payment is made and for some reason
13 FPL does not proceed with this project, and the remarket value
14 is less than what FPL paid, would the incremental difference
15 between the price paid and the price you received, would it be
16 borne by FPL customers?

17 A It would be a part of the project costs, yes, ma'am.

18 Q So, conversely, if the incremental difference between
19 the price paid and the price received is higher, then would
20 that flow through for the benefit of the customers?

21 A Absolutely.

22 Q I just want to touch on a few points you made
23 yesterday. You discussed yesterday, you touched on why it's
24 necessary to get a Commission approval now for the advance
25 payment for the forgings. Is it correct that in the past FPL

1 has made advanced procurements or reservations?

2 A If you are speaking of conventional generation
3 equipment, yes, it is practice to make some advance payments.
4 However, the lead time associated with those payments are much
5 smaller than the lead time specifically associated with these
6 long lead components.

7 Q And what were those advanced payments, were they
8 combustion turbines and steam generators?

9 A I believe that is correct, yes, ma'am.

10 Q And if you know approximately, what was the lead time
11 for those?

12 A Those would be measured on the order of months,
13 whereas with the nuclear project we are looking on the order of
14 years.

15 MS. FLEMING: Okay.

16 COMMISSIONER EDGAR: Commissioner Skop, did you have
17 a question?

18 COMMISSIONER SKOP: Thank you, Madam Chair.

19 With respect to those payments in that context, what
20 is the difference in the order of magnitude between, like for a
21 combined cycle plant versus these ultraheavy forgings in terms
22 of what is typically expended for those, or is it different
23 because it is such a short lead time between them? I mean,
24 typically you put a combined cycle plant up in four years, or
25 three years, depending on how quick you get the long lead

1 components. So would it be fair to make any sort of comparison
2 between the order of magnitude of what's necessary to get the
3 forging reserve for the proposed nuclear units, or would that
4 be not a good comparison?

5 THE WITNESS: I would be -- having no specific
6 information in front of me to compare, I would say in general
7 the percentage of project cost being necessary to secure the
8 reservation in the nuclear issue is much less on a percentage
9 basis compared to the final cost of the components being
10 procured.

11 COMMISSIONER SKOP: Thank you.

12 COMMISSIONER EDGAR: And, Ms. Fleming, before I call
13 on you again for questions, let me ask you this question.

14 Chairman Carter had to step away. He had said that
15 he had intended to stop around noon, and I want to, of course,
16 keep us on his time frame. However, I also kind of like to
17 round out witnesses or portions of the proceeding, and we have
18 kept you here for a very long time. Thank you for your
19 patience. About how much longer do you have with questions?

20 MS. FLEMING: Just two questions.

21 COMMISSIONER EDGAR: Oh, okay. Then let's go ahead.

22 MS. BRUBAKER: Actually, if I may, I hate to impinge
23 on Commissioner Carter's time frame, but I also have maybe
24 five, maybe ten, at the most, minutes of questions, if I may.

25 COMMISSIONER EDGAR: Commissioners, are you okay to

1 go ahead, or do you want to break?

2 All right. Then, again, let me just make sure,
3 because he had said that we would break around noon. Is there
4 a problem with anybody else's time frame if we go just a little
5 while longer and take a lunch break? No? Okay. If there is,
6 let me know.

7 Ms. Fleming.

8 MS. FLEMING: Thank you.

9 BY MS. FLEMING:

10 Q Mr. Scroggs, we were just talking about the past
11 projects and how FPL has made advanced payments, and they were
12 something that were on a much smaller magnitude than a nuclear
13 power plant. Of those forging reservation fees that FPL had to
14 make in the past, do you know how many were approved by the
15 Commission in advance of making such commitments?

16 A I do not know.

17 Q Do you know if there is another witness that may be
18 better suited to respond to that question?

19 A I don't know, but I'm sure we could get you that
20 answer.

21 MS. FLEMING: Okay. That would be appreciated.

22 Thank you.

23 COMMISSIONER EDGAR: Commissioner Skop.

24 COMMISSIONER SKOP: Sorry to keep butting in, but,
25 again, I think a technical distinction to staff's question is

1 in order. I think that the components that we are talking
2 about for ultraheavy forging that are pertinent to reactor
3 design are much different from being able to get a forging for
4 a steam turbine casing which, to my knowledge, we still have a
5 U.S. industrial base that is adequate to do that. So I just
6 wanted to point that out as a point of information. I'm not
7 exactly sure and perhaps technical staff, Mr. Ballinger might
8 be able to chime in, but I'm not exactly sure that was a fair
9 comparison, if you will.

10 COMMISSIONER EDGAR: And, Commissioner McMurrian, I
11 think, had a comment or question. So why don't you go ahead
12 and we'll see where we're at.

13 COMMISSIONER McMURRIAN: I did. It was to the
14 witness. And thank you. I didn't mean to interrupt in that
15 flow, but it was going back to the 12 million estimate, or at
16 least the high end of the estimate versus the 16 million that
17 is at least referenced in the issue.

18 Mr. Scroggs, can you help me again. I think you said
19 that 12 million was at the top of the range, and then you
20 essentially added sort of a buffer to get to the 16 in case you
21 went with a different technology. Is there anything in these
22 exhibits that shows what that estimate might be with respect to
23 the GE models?

24 THE WITNESS: No, ma'am. We have received no similar
25 specific information from General Electric.

1 COMMISSIONER McMURRIAN: And then just for follow-up,
2 Chairman, and I'm sorry if I missed something from earlier, so
3 then the 12 from the 16 just, basically, you sort of added a
4 buffer so that if you went with the other design, you believe
5 that would account, at least give a more reasonable estimate
6 considering that that design is a larger design and you believe
7 that the costs would be higher than the estimate for the
8 Westinghouse if you were to go with the GE. Do I understand
9 that correctly?

10 THE WITNESS: That's a reasonable basis behind why I
11 would, you know, add 25 percent essentially to the estimate
12 provided by Westinghouse, yes, ma'am.

13 COMMISSIONER McMURRIAN: And one other one, Chairman.
14 I want to better understand the difference. We were
15 talking about the worst-case scenario and how if there might be
16 a possibility of two \$16 million payments that would get us to
17 the 32 million. Help me understand again what is the case that
18 might lead to that worst-case scenario of two \$16 million
19 payments? And I realize that those are estimates, as well, but
20 can you help me -- go back to that one more time. Thank you.

21 THE WITNESS: Again, in response to staff asking the
22 question, we talked about a very unlikely event that would
23 potentially occur in the case that we chose one reactor vendor,
24 made a decision to pay for long lead components with that
25 vendor, and then chose a different vendor.

1 A lot of things would have to happen for two full
2 payments to need to be made. One, the commercial terms that we
3 would have negotiated with the first vendor, the commercial
4 arrangement would not have allowed for any recovery either via
5 work in kind from that vendor, or other consideration for that
6 vendor, or remarket value from the option purchased through
7 that vendor. So all of those fail-safe mitigation techniques
8 that we would pursue in the contract terms would have to fail,
9 and then we would need to have no portability of the
10 reservation, no rights for assignability would allow us to take
11 that to another vendor, and then we would have to make full
12 payment for the other vendor. So a lot of things that we don't
13 expect to have to happen would have to occur in order for that
14 worst-case scenario to occur.

15 COMMISSIONER McMURRIAN: One more, I suppose, along
16 those lines. If the Commission were to approve the issue that
17 is before us now, and that worst-case scenario developed, do
18 you believe that FPL would have the ability to pass on that
19 worst-case scenario given approval, if that happened, of that
20 issue?

21 THE WITNESS: I believe the decision would be made in
22 the context of the overall benefits that would be coming to the
23 customer from the project. I think we would be able to justify
24 that it would still be in the best interest of the customers to
25 proceed with the project, even if we had to do that. But,

1 again, I don't believe that that would be a likely scenario to
2 occur.

3 COMMISSIONER McMURRIAN: Thank you.

4 COMMISSIONER EDGAR: Commissioner Skop.

5 COMMISSIONER SKOP: Actually, I was going to make a
6 question about the most likely scenario which, again, if I were
7 a betting man, but I think I will withdraw the question. Thank
8 you.

9 COMMISSIONER EDGAR: Ms. Fleming, was that the end of
10 your questions?

11 MS. FLEMING: Yes, ma'am.

12 COMMISSIONER EDGAR: Thank you.

13 Ms. Brubaker.

14 CROSS EXAMINATION

15 BY MS. BRUBAKER:

16 Q Jennifer Brubaker, Legal staff, Mr. Scroggs; just
17 your indulgence for a few quick questions.

18 Now, we have spoken about the selection of
19 essentially the two designs that FPL is considering for this
20 project. And is it correct that design selection is expected
21 to be finalized sometime in the middle of this year?

22 A Yes, ma'am.

23 Q Approximately?

24 A The June time frame.

25 Q Has FPL filed its site certification application with

1 DEP for this project?

2 A We are preparing that application, and it is our
3 intention to file that concurrently or prior to the combined
4 operating license in March of 2009.

5 Q So by the time the site certification application is
6 to be filed, you do expect to have finalized the design?

7 A Absolutely.

8 Q Thank you. A few more.

9 Would you agree, generally speaking, that FPL makes
10 decisions about how and when to spend money for the purposes of
11 providing electric service to its customers essentially every
12 day?

13 A Yes, ma'am.

14 Q And would you agree with the statement that FPL in
15 making its decisions on those expenditures tries to make sure
16 that those expenditures are handled prudently or made
17 prudently?

18 A Yes, ma'am.

19 Q Now, you are a project manager for FPL, so you have
20 worked on a number of different types of plants. Currently,
21 you are on this plant, which is a nuclear plant, but you have
22 also worked on more traditional designs like gas and coal,
23 correct?

24 A Yes, ma'am.

25 Q Now, for those more traditional types of plants --

1 let me rephrase that.

2 For the nuclear plant that is currently under
3 consideration, there is a specific rule, is there not, that
4 contemplates the cost-recovery for the cost associated with the
5 building of that plant?

6 A Yes, ma'am.

7 Q Is there a similar rule that addresses the specific
8 recovery of costs, the annual review and prudence
9 determinations regarding more traditional type of plants like
10 coal or gas?

11 A Yes, ma'am.

12 Q Could you identify what that rule is?

13 A There is a process, but not an annual cost-recovery
14 process. Maybe I misunderstood your question.

15 There is not a similar annual cost-recovery filing
16 for fossil fuel generation or other types other than nuclear.

17 Q With regard to those types of plants, for instance,
18 that you would use gas or coal, or what have you, would you
19 agree that FPL is still expected to make prudent choices in
20 putting forward and constructing that plant?

21 A Yes, ma'am.

22 Q Even though there is not an annual review process
23 specifically contemplated for that recovery?

24 A Yes, ma'am.

25 Q Would you agree that expenditures associated with

1 constructing gas or coal plants could reach \$16 million,
2 hypothetically speaking?

3 A Certainly they are more expensive than \$16 million.

4 Q Now, in your testimony you do address, to a limited
5 extent, the cost-recovery rule for nuclear, correct?

6 A Yes.

7 Q In your opinion, would you agree that the provisions
8 in that rule, to some extent, reduce the financial risk that
9 FPL is exposed to in pursuing the construction of a nuclear
10 power plant?

11 A Yes.

12 MS. BRUBAKER: Thank you. I have no more questions.

13 COMMISSIONER EDGAR: Commissioners, any other
14 questions at this time? No.

15 Any questions from you, Mr. Butler?

16 MR. BUTLER: I do have some brief redirect. Would
17 you like me to do it now, or after the lunch break, your
18 preference.

19 COMMISSIONER EDGAR: Can you give me an approximate?
20 Five minutes? Twenty minutes?

21 MR. BUTLER: I think it is probably less than five.

22 COMMISSIONER EDGAR: Well, then let's go ahead and
23 move forward. Thank you.

24 REDIRECT EXAMINATION

25

1 BY MR. BUTLER:

2 Q Mr. Scroggs, you were asked on several occasions
3 about the issue of portability of the forging reservation that
4 would be achieved if we pay a forging reservation fee. Is it
5 FPL's intent in negotiating to negotiate as much portability of
6 the forging reservation as possible, consistent with other
7 commercial considerations?

8 A Yes. And we would also look for other commercial
9 vehicles that in the lieu of specific portability would
10 compensate us for that potential.

11 MR. BUTLER: Thank you. That's all the redirect that
12 I have.

13 COMMISSIONER EDGAR: Exhibits?

14 MR. BUTLER: Yes, I would move Exhibits 23 through
15 31, I believe it is.

16 COMMISSIONER EDGAR: That is what I have, 23 through
17 31. Seeing no objection, we will show those entered into the
18 record.

19 (Exhibits 23 through 31 admitted into the record.)

20 COMMISSIONER EDGAR: Mr. Scroggs, thank you for your
21 patience. You are excused.

22 THE WITNESS: Thank you.

23 COMMISSIONER EDGAR: Okay. We will go to lunch
24 break. Does 1:30 work? Commissioners, is that -- okay. We
25 will come back from lunch at 1:30, and then it will be your

1 witness. Thank you.

2 (Lunch recess.)

3 CHAIRMAN CARTER: We are back on the record. And the
4 last time we left another witness was called.

5 MR. ROSS: FPL calls Doctor Nils Diaz.

6 CHAIRMAN CARTER: Has the witness been sworn?

7 MR. ROSS: He has not.

8 CHAIRMAN CARTER: Mr. Diaz, would you please stand
9 and raise your right hand.

10 (Witness sworn.)

11 DR. NILS J. DIAZ

12 was called as a witness on behalf of Florida Power and Light
13 Company, and having been duly sworn, testified as follows:

14 DIRECT EXAMINATION

15 BY MR. ROSS:

16 Q Would you please state your name and business
17 address?

18 A My name is Nils J. Diaz. You said my business?

19 Q Your business address, please.

20 A Business address. 2508 Sunset Way, St. Pete Beach,
21 Florida.

22 Q By whom are you employed and in what capacity?

23 A I am employed by the ND2 Group as Managing Director,
24 and by Florida Power and Light as a consultant.

25 Q Doctor Diaz, have you prepared and caused to be filed

1 42 pages of prefiled direct testimony in this proceeding on
2 October 18th, 2007?

3 A Yes.

4 Q Do you have any changes to your prefiled direct
5 testimony?

6 A No.

7 Q If I asked you the same questions contained in your
8 prefiled direct testimony today, would your answers be the
9 same?

10 A Yes.

11 MR. ROSS: Mr. Chairman, FPL requests that the
12 prefiled direct testimony of Doctor Diaz be inserted into the
13 record as though read.

14 CHAIRMAN CARTER: The prefiled testimony will be
15 inserted into the record as though read.

16 BY MR. ROSS:

17 Q Doctor Diaz, are you also sponsoring exhibits to your
18 testimony?

19 A Yes.

20 Q And do those exhibits consist of documents marked
21 NJD-1 through NJD-8?

22 A Yes, sir.

23 MR. ROSS: Mr. Chairman, I would note that Doctor
24 Diaz' exhibits have been premarked for identification as
25 Exhibits 32 through 39.

CHAIRMAN CARTER: Okay.

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **DIRECT TESTIMONY OF NILS J. DIAZ**

4 **DOCKET NO. 07_____ -EI**

5 **OCTOBER 16, 2007**

6

7 **Q. Please state your name and business address.**

8 A. My name is Nils J. Diaz. My business address is 2508 Sunset Way, St.
9 Petersburg Beach, Florida, 33706.

10 **Q. By whom are you employed and what is your position?**

11 A. I am the Managing Director of The ND2 Group (ND2). ND2 is a policy and
12 expert advice consulting group with a strong focus on nuclear matters. ND2
13 presently provides advice for clients in the areas of nuclear power deployment
14 and licensing, high level radioactive waste issues, and advanced security
15 systems development.

16 **Q. Please describe your professional experience.**

17 A. I have more than 40 years of experience in the design, construction, operation,
18 and regulation of nuclear power plants. My educational background is set
19 forth in further detail in my resume, which is attached as Exhibit NJD-1.

20

21 I served as the Chairman of the United States Nuclear Regulatory
22 Commission (NRC) from 2003 to 2006. In this position, I served as the
23 principal executive officer of, and the official spokesman for, the NRC, which

1 is the federal agency with primary responsibility for protecting the public
2 health and safety, the common defense and security, and the environment with
3 respect to the use of radioactive materials. As Chairman of the NRC, I had
4 ultimate authority for all NRC functions pertaining to emergencies involving
5 NRC licensees. I was also directly responsible for all high level NRC
6 interactions with the Executive Branch of the Federal Government and
7 Congress, as well as international relationships and policy development under
8 the NRC's charter. Prior to my appointment as Chairman, I served as a
9 Commissioner of the NRC from 1996 to 2003.

10

11 Prior to my appointment to the NRC, I was the Director of the Innovative
12 Nuclear Space Power and Propulsion Institute (INSPI) for the Ballistic Missile
13 Defense Organization of the U.S. Department of Defense, and Professor of
14 Nuclear Engineering Sciences at the University of Florida. As the Director of
15 INSPI, I exercised prime contractor responsibilities for a diverse group of
16 industries, national laboratories, and universities, under contracts with the Air
17 Force, Defense Nuclear Agency, National Aeronautics and Space Agency, and
18 the Department of Energy (DOE).

19

20 From 1969 to 1996, I held positions as Professor of Nuclear Engineering
21 Sciences at the University of Florida, and as Dean for Research at the
22 California State University, Long Beach. I have also consulted on nuclear
23 energy and energy policy development for private industries, as well as the

1 U.S. Government and other governments. I have testified as an expert
2 witness, and recently as the NRC Chairman, to the U.S. Senate and House of
3 Representatives on many occasions for the last 25 years.

4

5 I also co-owned and managed six small corporations serving the nuclear
6 industry and government, and conducted research and development on leading
7 edge technology issues. I have also consulted for nuclear utilities, energy and
8 high technology corporations, and financial institutions. I served full-time as
9 the Principal Adviser to Spain's nuclear regulatory agency from 1981 to 1982.

10 **Q. Please describe your educational background.**

11 A. I hold a Ph.D. and M.S. degrees in Nuclear Engineering Sciences from the
12 University of Florida, and I have a B.S. Degree in Mechanical Engineering
13 from the University of Villanova, Havana.

14 **Q. Please describe your other industry experience and affiliations.**

15 A. I was licensed as a Senior Reactor Operator by the NRC, trained on reactor
16 systems and operations at reactor vendors' installations, and received formal
17 training and practice in health physics, radiological sciences, and nuclear
18 medicine. I have worked at several nuclear reactor installations during both
19 construction and operation phases.

20

21 I am a fellow of the American Nuclear Society, the American Society of
22 Mechanical Engineers, and the American Association for the Advancement of
23 Science. I have participated, or chaired, national and international committees

1 and task forces dealing with issues of reactor safety, reactor deployment,
2 nuclear regulation, high level waste disposition and nuclear non-proliferation
3 efforts.

4 **Q. Are you sponsoring any exhibits in this case?**

5 A. Yes. I am sponsoring Exhibits NJD-1 through NJD-8, which are attached to
6 my direct testimony.

7	Exhibit NJD-1	Summary Resume of Dr. Nils J. Diaz
8	Exhibit NJD-2	Collective Radiation Exposure of Nuclear Power Plant
9		Personnel (NRC data)
10	Exhibit NJD-3	10 Years of NRC's Safety Indicators
11	Exhibit NJD-4	World Association of Nuclear Operators (WANO)
12		Index
13	Exhibit NJD-5	U.S. Nuclear Industry Capacity Factors
14	Exhibit NJD-6	Nuclear Plant License Renewal and Power Uprates and
15		U.S. Base Load Electrical Capacity
16	Exhibit NJD-7	NRC's Expected New Nuclear Power Plant
17		Applications
18	Exhibit NJD-8	NRC's Design-Centered Review Approach

19 **Q. What is the purpose of your testimony in this proceeding?**

20 A. The purpose of my testimony is to address:

21 ▪ The status of the U.S. nuclear power industry and its role as a major
22 baseload electrical generator; the performance of the current fleet of
23 plants; improvements to operational safety and on-line generating

- 1 performance; and the successful development of the license renewal
2 and power uprate programs;
- 3 ■ Next generation nuclear power plant technology, focusing on
4 enhancements to operational safety and reliability from advanced
5 reactors with NRC certified designs, and on state-of-the-art advances
6 in materials, technology and construction techniques available for the
7 deployment of new nuclear reactors;
 - 8 ■ Nuclear power safety regulation and licensing in the U.S., with
9 emphasis on the revisions to the previous two-step NRC reactor
10 licensing process and the corresponding improvements to the
11 efficiency of new plant licensing, including the role of Design
12 Certification, Combined Operating Licenses (COLs) and Early Site
13 Permits (ESPs) for the deployment of new standardized nuclear power
14 plants in the U.S., in the context of more effective and efficient
15 licensing procedures and reduction of financial risk;
 - 16 ■ The present status of potential Combined Operating License
17 Applications (COLAs) to be filed with the NRC, and the applicability
18 of new licensing processes to a Turkey Point application;
 - 19 ■ The suitability of the Turkey Point site for new nuclear generation, and
20 the key factors to be considered by the NRC in the acceptability of the
21 site;
 - 22 ■ The status of present and expected physical security requirements, and
23 their potential impact on the deployment of new nuclear power plants;

- 1 ▪ The suitability of spent fuel storage for new nuclear plants and issues
2 related to the disposition of spent fuel produced by nuclear plants;
3 ▪ Issues related to reactor decommissioning, in the context of another
4 key issue favorably resolved for considering new nuclear power plant
5 deployment.

6 **Q. Please summarize your direct testimony.**

7 A. My testimony addresses the need for additional deployment of nuclear power
8 generating units in the State of Florida, based on its strategic importance for
9 electrical generation, and the favorable status of the key factors for new
10 nuclear construction. The sustained safety and reliability performance of the
11 current U.S. fleet of nuclear power plants and the enhancements made to
12 licensing and regulation are enabling factors for the construction of new
13 nuclear generation. The enhancements to the NRC licensing framework will
14 improve the effectiveness and efficiency of new plant licensing and
15 adjudication processes. These processes are based on standardization of
16 reactor designs and the capability to apply for a combined construction and
17 operating license for new advanced, certified nuclear power plants, limiting
18 financial risks and enabling informed decision making by electric utilities.
19 New reactors are safe, simpler, easier to operate and maintain; new modular
20 construction techniques, coupled with the Combined Operating License
21 framework, should help control uncertainties about construction schedule and
22 cost.

1 The status of physical security protection for existing and new nuclear power
2 plants, plant decommissioning efforts, and of the spent fuel storage and
3 disposition programs, are adequate to support new reactor development.

4

5 It is my conclusion that the deployment of two new nuclear electrical
6 generating units at the Turkey Point site will meet safety, reliability,
7 environmental and fuel diversification goals at both the State and federal
8 levels.

9

10 STATUS OF U.S. NUCLEAR POWER INDUSTRY

11

12 **Q. What is the role of nuclear power in meeting U.S. electric power needs?**

13 A. The importance of abundant, clean, electric generation to our country cannot
14 be overstated. The benefits of clean, user-friendly electrical energy can be
15 found in every aspect of modern life and as a cornerstone of our economy. A
16 reliable and economical supply of electricity is the backbone for our
17 commercial, industrial and everyday energy needs. Nuclear powered
18 electrical generation is a major baseload electrical producer that fits the
19 economical, environmental and national security needs of our nation, and can
20 meet the timetable for additional electricity demand. Nuclear power has
21 unique strategic advantages for the U.S. and for Florida in particular,
22 including fuel diversity, independence of the fossil fuel marketplace, and the

1 capability to operate for long periods of time with stable electricity costs, even
2 in the event of a fuel supply disruption

3 **Q. Does nuclear power have any particular advantages in meeting**
4 **peninsular Florida's electric power needs?**

5 A. Yes. Nuclear power has the advantage of safely, reliably, and economically
6 providing large amounts of electric capacity and energy, as part of a
7 diversified generating portfolio and without material emissions of air
8 pollutants or carbon dioxide. These are valuable benefits for any location
9 suitable for a nuclear generation site, but they are particularly important for
10 Florida, with its rapidly growing population, scarce fuel energy resources, and
11 need to import nearly all of the fuel used to meet its electric energy
12 requirements.

13 **Q. What is the nuclear industry's role in U.S. electric generation and how**
14 **has it performed?**

15 A. The 104 nuclear units licensed to operate in 30 States generate approximately
16 one-fifth of the nation's electricity and have a combined record of more than
17 2,615 reactor years of safe operation, providing reliable capacity and energy
18 for electricity consumers around the country. These plants have in total
19 provided about 15,570 billion kilowatt-hours of electrical energy to the nation
20 since 1980. Notably, nuclear electrical generation has increased by 20% since
21 1994. The increase, which matches the increase of coal-fired generation
22 during that period, is the result of improved operating performance and
23 enhancements of the new nuclear fleet, and the addition of only one new

1 nuclear unit since 1996. Electricity generated by all other sources has
2 increased about 30% during the same period. The nuclear power fleet has an
3 established management and technical infrastructure to operate safely and
4 reliably with short scheduled shutdowns for refueling and maintenance, and
5 unscheduled shutdown periods have been significantly reduced. This
6 industry's improved operational record is a major contributing factor to the
7 resumption of new nuclear deployment plans in many countries, and
8 specifically in the U.S.

9
10 These achievements have been accomplished with an exceptional record of
11 protection of the public health and safety and plant personnel. Workers at
12 U.S. nuclear stations have among the best occupational safety records in the
13 U.S., highlighting the care and attention spent by plant management on
14 maintaining a safe work environment. One component of this record is
15 reflected in the nationwide reduction of nuclear workers' radiation exposure.
16 As shown on Exhibit NJD-2, the personnel exposure nationwide has been
17 further reduced by improving operating and maintenance practices, and it is
18 maintained at a fraction of the personnel dose allowed by NRC regulations.

19 **Q. Please describe the regulatory framework for nuclear generating units.**

20 A. The use of nuclear materials for electricity generation is regulated by the
21 NRC, pursuant to the Atomic Energy Act of 1954, as amended (AEA), which
22 was enacted to ensure adequate protection of the public health and safety and
23 the environment. With respect to the operation of commercial nuclear power

1 reactors, nuclear safety is the nation's highest priority. Radiological safety
2 oversight is the responsibility of the NRC.

3 **Q. Please describe the public health, safety and reliability performance of**
4 **U.S. nuclear operations.**

5 A. Public health and safety, the environment and national security have been
6 protected during the entire operating lifetime of the U.S. nuclear fleet.
7 Moreover, an in-depth review of the operating performance data from the
8 nuclear fleet shows almost two decades of consistent improvements in the two
9 most important performance indicators: safety and reliability. The NRC
10 records show that, during the last 10 years, the safety-related performance
11 indicators have sustained levels of performance well above requirements.
12 Exhibit NJD-3, pages 1 through 5, displays the 10 year U.S. NRC data for
13 Safety Systems Failures, Safety Systems Actuations, Forced Outage Rate (%),
14 Equipment Forced Outages/1000 Commercial Critical Hours, and the
15 Automatic Scrams While Critical. Furthermore, and based on the industry-
16 wide gains in safety and reliability, the NRC was able to revise the reactor
17 inspection program, with industry and other stakeholders support, and to
18 develop the Reactor Oversight Program (ROP). The ROP is a comprehensive
19 and objective nuclear power plant inspection program that is safety-focused
20 and risk-informed. The concurrent Industry Trend Program supports the ROP
21 by monitoring trends in indicators of industry performance as a means to
22 confirm that the safety of operating power plants is being maintained. No
23 statistically significant adverse trends have been identified by the Program to

1 date, based on level or declining long term trends developed by the NRC,
2 including those from the Accident Sequence Precursor Program. The
3 Accident Sequence Precursor Program (ASPP) systematically evaluates U.S.
4 nuclear power plant operating experience to identify, document, and rank the
5 operating events that were most likely to lead to inadequate core cooling and
6 nuclear core damage, if additional failures had occurred. Each one of these
7 factors represents the sustained safety improvement of the U.S. operating
8 nuclear fleet; considered together, they represent the maturity of a safety-
9 focused industry.

10

11 The nuclear industry has also established rigorous, industry-wide, peer-
12 performance reviews, conducted by the Institute of Nuclear Power Operations
13 (INPO) and the World Association of Nuclear Operators (WANO). The
14 WANO index is an internationally recognized and comprehensive measure of
15 nuclear plant safety and reliability. It is calculated by summing weighted
16 values of key indicators, input on which is provided by all nuclear plants on a
17 quarterly basis. The WANO indicators and their weighting factors are listed
18 on Exhibit NJD-4, page 1, and the corresponding composite index for the
19 operating U.S. nuclear fleet as a function of time are shown on page 2. The
20 WANO safety and reliability indicators also show the improved operational
21 safety performance for the U.S. fleet during the last decade.

1 One factor that provides a clear overview perspective of the performance
2 improvement of the U.S. fleet is the plant capacity factor. The capacity factor
3 is the ratio of the actual electricity generated over a period of time, to the
4 amount of energy that could have been generated if the units ran at full
5 capacity throughout that period. The U.S. Nuclear Industry Capacity Factors
6 for the years 1980-2006 are shown on Exhibit NJD-5, page 1. The U.S.
7 nuclear fleet capacity factors have shown consistent improvement over the last
8 20 years. As stated before, there is a strong correlation in the U.S. fleet
9 between high reliability and safety; the capacity factor is a leading indicator of
10 reliability. The corresponding performance indicators for FPL's reactors are
11 discussed in the testimony of FPL witness Stall, displaying the same improved
12 performance as the leading performers in the country. The safety and
13 reliability performance of the U.S. operating fleet is the direct result of a
14 mature nuclear industry, placing safety first in their priorities and reliability as
15 a companion, and of a mature regulator that was willing and able to focus its
16 resources on the issues important to safety and reduce unnecessary regulatory
17 burden.

18
19 Among the most recent safety and security improvements for the existing fleet
20 of operating reactors has been the integration of safety, security, and
21 emergency preparedness features and requirements following the 9/11 terrorist
22 attacks. The demands for enhanced security led the NRC and the industry to
23 consider better ways and means to enhance the safety of nuclear plants. With

1 safety as the primary objective, corresponding improvements in security and
2 emergency preparedness were made in an integrated manner. The results
3 were enhanced plant control for the dominant series of potential severe
4 accident scenarios and improved protection of the public health and safety.
5 Major improvements in plant security have been achieved and tested during
6 force-on-force exercises conducted by licensees under NRC supervision, at all
7 nuclear power plants in the nation. The new safety, security and emergency
8 preparedness framework constitute a well-developed and functional
9 infrastructure for use in the deployment of new nuclear plants.

10 **Q. How has the track record of successful operation affected the regulation**
11 **of nuclear power in the United States?**

12 A. The operations track record has had a beneficial impact on the regulation of
13 nuclear power in the U.S. As the industry's performance improved, the NRC
14 has been able to place most of its attention on matters important to safety, and
15 to devote more time and resources to its core mission of protection of the
16 public health and safety and the environment. Two key examples of the
17 favorable impact of improvements in plant safety and reliability, and of the
18 maturity of the nuclear industry and the NRC in exercising their independent
19 but connected roles in assuring safety, are the successful license renewal and
20 power uprate programs. These programs extend a plant's licensed life and
21 increase the power output of nuclear power stations, both by a well
22 established and documented regulatory process, and at favorable cost to the
23 utilities.

1 **Q. Please describe the NRC's experience with the renewal of operating**
2 **licenses for commercial nuclear power reactors.**

3 A. In 1997, the nuclear industry began the process of applying for 20 year license
4 renewals, potentially increasing the life span of a nuclear power plant from the
5 originally license term of 40 years to 60 years. The rigorous application and
6 review process set forth in NRC regulations at 10 CFR Parts 51 and 54,
7 focused on an assessment demonstrating that nuclear power plant structures,
8 systems and components, requiring aging management review, have been
9 identified and that the effects of aging on their functionality will maintain an
10 acceptable level of safety during the period of extended operation. The
11 review places special attention to structures and components that are not
12 subjected to frequent maintenance and surveillance, like structural supports or
13 covered piping and electrical conduit, and emphasizes aging management
14 programs.

15
16 To date, 48 nuclear units (including all four of FPL's existing nuclear units)
17 have had their licenses renewed, authorizing operation for an additional 20
18 years beyond the expiration of their original licenses. In addition, 10 power
19 plants have license renewal applications under review, and 24 more units have
20 submitted letters to the NRC indicating their intent to pursue license renewal.
21 The impact on the national baseload electrical supply from nuclear plant
22 license renewal is shown on Exhibit NJD-6, page 1. The license renewal
23 process, as defined and implemented by the NRC with the plants

1 improvements executed by the industry, has proven to be predictable and
2 stable. Its successful implementation has had a favorable impact on the base
3 load capacity of the country, where the relatively small investments in plant
4 upgrades (when compared to new base load power) further improved safety
5 and reliability, while maintaining low production cost electricity available
6 without additional carbon impacts. As an added benefit, this process has
7 maintained the technical and supply nuclear infrastructure at levels needed for
8 reliable operation and growth. License renewals have the additional and well-
9 tested benefit of having demonstrated the effectiveness of well-documented
10 technical and legal procedures for major licensing actions. They serve as a
11 recent and successful precedent for stable and predictable processing of
12 COLAs for new plants.

13 **Q. Please describe the NRC's experience with power uprates.**

14 A. The power uprates program is a close companion of license renewal, and has
15 served to increase the electrical generating capacity of existing nuclear power
16 plants by over 4,900 megawatts (MW) over a 20-year period. In a manner
17 similar to license renewal, the NRC has implemented a rigorous, controlled,
18 and open process for licensing power uprates, with significant experience
19 gains that are applicable to the COL process. Exhibit NJD-6, page 2 shows
20 U.S. Nuclear Capacity Additions at Existing Facilities for the period 1977-
21 2007 from power uprates and the projected additions through 2011. Again,
22 additional power capacity has been achieved at modest cost and is favorable to
23 consumers.

1 **Q. How has the management of operating reactors impacted the safety and**
2 **reliability of the plants?**

3 A. The existing fleet of operating nuclear reactors has achieved a high level of
4 operational safety and reliability through a management commitment to
5 excellence that runs from executive levels deep into most utility organizations.
6 I view FPL as an example of this organizational commitment to excellence.
7 The safety, reliability, and efficiency gains are apparent in practically every
8 major activity of nuclear operations, with well-managed planned outages,
9 minimization of unplanned outages, and coordination between the
10 engineering, maintenance, and operations functions to achieve high capacity
11 factors, low production costs, and improved safety. U.S. nuclear power
12 plants' management activities have benefited from the use of operational risk
13 insights to enhance safety and reliability. Risk insights are products of the
14 risk-informed and performance-based framework established by the NRC to
15 increase the agency's and industry's focus on safety. For example, NRC's
16 ROP is a risk-informed program that utilizes deterministic, experiential and
17 probabilistic assessments to improve safety decision-making at operating
18 reactors. The use of risk-informed and performance-based tools by operating
19 reactors management has improved both safety and reliability; their use for
20 pursuing license amendments has also improved the safety focus of the
21 applications and the regulatory processes.

1 **NEXT-GENERATION NUCLEAR TECHNOLOGY**

2

3 **Q. How has nuclear power plant licensing and technology evolved from the**
4 **experience of the existing fleet of commercial nuclear power reactors?**

5 A. The NRC, in its role of enabling the safe, secure, and beneficial uses of
6 nuclear power, and being responsive to mandates from the U.S. Congress,
7 began in the late 1980s to establish the basis and the roadmap for a potential
8 new generation of nuclear power plants. The present generation of nuclear
9 power plants eventually proved that they consistently satisfy the statutory
10 criteria in the AEA of reasonable assurance that they can be constructed and
11 operated without undue risk to the health and safety of the public. Although
12 this fact has been recognized over the past few decades, a few key salient
13 features for new designs were considered necessary enhancements in the post-
14 Three Mile Island accident “lessons learned” environment, and became the
15 focal point for technological improvements of new reactors.

16

17 The design enhancements for new reactors were focused on increased plant
18 safety, ensuring improvements to core cooling, containment integrity, and the
19 capability to prevent or mitigate the consequences of accidents which could
20 result in potentially hazardous offsite radiation doses. There was a definite
21 emphasis in simplification, standardization and the use of inherent safety
22 features to carry out the intended safety functions. The bottom line was clear:
23 new reactors were to be measurably safer, simpler, more independent of

1 operator actions, and easier to operate and maintain. A new measuring stick
2 employing probabilistic risk assessments was to be used to establish the safety
3 case, supported by better documented operational experience and models.

4

5 What was sought, and eventually built into advanced designs, was an order of
6 magnitude improvement in the key risk factors, relative to present reactors.
7 Furthermore, these gains were to be quantified using probabilistic risk
8 assessments, based on utilizing state-of-the-art technology and materials, and
9 the designs were to be standardized to secure the safety gains and the
10 reliability and economic advantages.

11

12 **NUCLEAR POWER REGULATION IN THE U.S.**

13

14 **Q. Please describe the current NRC licensing structure.**

15 A. In order to understand the NRC licensing structure, it is important to review
16 the prior legal and regulatory framework under which the current fleet of
17 reactors was licensed. The original NRC licensing process for nuclear
18 reactors, dictated by Section 189 of the AEA and set forth in more specificity
19 in 10 CFR Part 50, imposed a two-step process on an applicant for an
20 operating license for a nuclear plant.

21

22 First, the applicant was required to obtain a construction permit. The
23 construction permit application was a significant undertaking, requiring the

1 preparation of a Preliminary Safety Analysis Report, demonstrating the
2 reactor technology and site suitability, and preparation of an Environmental
3 Impact Statement to satisfy the requirements of the National Environmental
4 Policy Act (NEPA). Section 189 of the AEA required the NRC to hold a
5 mandatory hearing for all construction permit applications, regardless of
6 whether any interested party sought to contest the application. Several
7 construction permit applications were contested.

8
9 In the second step of the process, after securing the construction permit, the
10 applicant was required to obtain an operating license to authorize plant
11 operations, after construction was completed. The operating license
12 application was also a significant undertaking, the goal of which was to enable
13 the NRC to make the findings required by the AEA and NEPA. The applicant
14 was required to submit a Final Safety Analysis Report and an Environmental
15 Report. Section 189 of the AEA requires the NRC to provide an additional
16 hearing opportunity at the operating license stage. Numerous operating
17 license proceedings were challenged at this stage, after significant investments
18 were made and plant construction was substantially completed.

19
20 The practical effect of the two-step licensing process was to have multiple,
21 duplicative, simultaneous or consecutive reviews, including safety and NEPA
22 reviews, and contested hearings. To complicate matters, plant construction

1 was started before the design was substantially completed and regulatory
2 reviews of technical issues continued during construction.

3

4 In 1974, the promotion and regulatory functions of the Atomic Energy
5 Commission (AEC) were separated and the NRC was chartered anew as an
6 independent regulatory agency. At this time, potential unresolved safety
7 issues were being debated as more information on plant operations was made
8 known. Under the previous licensing process, these unresolved issues were
9 often injected into licensing proceedings, after plant construction had begun.

10

11 Furthermore, high inflation and interest rates made financial matters worse,
12 and contributed to delays that were then compounded by the multilayer
13 licensing and adjudication processes. In fact, in several cases, contested
14 adjudicatory hearings were ongoing with plants fully constructed and ready to
15 operate, as in the cases of the Seabrook, Comanche Peak, and Shoreham
16 nuclear plants. Issues that should have been fully settled early in the process,
17 such as emergency preparedness, were left unresolved to the end of the
18 licensing process. The delays in bringing these plants on line, including those
19 caused by protracted proceedings, dramatically increased the costs of these
20 plants.

21

22 For example, of the 104 presently operating plants, 54 were placed in
23 operation prior to the Three Mile Island (TMI) accident in 1979 and 50

1 entered service following the TMI accident. Plants built and commencing
2 operations prior to TMI took an average of about 5.6 years from Construction
3 Permit (CP) to Operating License (OL), and cost approximately \$2,100/KW
4 installed in 1992 dollars. The plants commencing operation after TMI took
5 about 11.2 years from CP to OL, and many cost over \$5,200/KW installed in
6 1992 dollars, including the three plants mentioned above. The Shoreham
7 plant also has the dubious distinction of having never operated at full power
8 despite these massive expenditures. These experiences, when taken all
9 together, effectively damaged the confidence of utilities and investors in
10 building new nuclear power plants. The two-step licensing process proved to
11 be onerous and was replaced by a more predictable and equitable licensing
12 structure, and enacted into law by the U.S. Congress in 1992.

13 **Q. What significant alternatives have been made available to the licensing**
14 **process?**

15 A. The U.S. Congress, with significant input from the NRC and the nuclear
16 industry, has markedly improved the licensing process for new nuclear plants.
17 As codified in Section 185(b) of the AEA and in NRC regulations at 10 CFR
18 Part 52, this revised process is structured to achieve straightforward
19 objectives, with well-defined safety and environmental reviews as a backbone.
20 In essence, the new NRC licensing process still contains the elements needed
21 to make the necessary reviews and safety determinations, including public
22 involvement, safety review, independent review by the Advisory Committee
23 on Reactor Safeguards (ACRS), environmental review, public hearing and

1 continued NRC oversight. The differences are found in the manner,
2 sequencing and required efficiencies of each and every element of the
3 licensing review and adjudicatory processes.

4
5 The new Part 52 licensing process seeks the standardization of nuclear power
6 plants, wherein the applicant seeks a combined construction and operating
7 license (COL) of a standard plant that should be obtained prior to the
8 beginning of major construction, and specifically before construction of
9 safety-related structures. In the COL application, the applicant must submit
10 the same level of information that is required under both the construction
11 permit and operating license process, as set forth in the previous two-step
12 licensing process at 10 CFR Part 50. The NRC will then review the COL and
13 conduct the safety and environmental review, and forward the necessary
14 documentation for the independent ACRS review. The NRC is then required
15 to conduct a mandatory hearing on the COL application prior to granting the
16 license.

17
18 If the COL is granted, the licensee then will be given the authority both to
19 build and operate the plant. This authority is contingent on plant construction
20 conforming to the license, and a finding by the NRC of reasonable assurance
21 that the plant will operate according to the COL. In order to arrive at this
22 finding, the licensee must demonstrate satisfactory performance of

1 inspections, tests, and analyses, and satisfaction of defined acceptance criteria
2 (ITAAC) that are set forth in the COL.

3

4 The COL process also has another feature not present in the previous licensing
5 process, which could, at the option of the applicant, further streamline the
6 process. The applicant can reference a reactor design in its COL application
7 that has previously been certified by the NRC in rulemaking pursuant to 10
8 CFR Part 52. The benefits of referencing a certified standard design in the
9 COL application is that plant design issues that were resolved by NRC in the
10 design certification process are entitled to finality in the COL process. It is
11 within the COL applicant's discretion whether to reference a certified design
12 in its COL application. I understand that FPL intends to take advantage of the
13 benefits of referencing a certified design when applying for its COL.

14

15 One of the key improvements made to the previous two-step licensing process
16 was aimed at efficient adjudication. In 1998, the NRC promulgated a policy
17 statement to promote efficient adjudicatory proceedings on license renewals
18 and license transfers, followed by a 2004 revision of NRC's rules of practice
19 in 10 CFR Part 2, which resulted in model schedules to implement effective
20 and efficient adjudication. The NRC Commissioners continue to seek
21 efficiency and other improvements to the agency's review of license
22 applications for new reactors. In July 2007, the NRC approved several
23 recommendations from the Combined License Review Task Force that could

1 lead to a reduction of the COL review schedule timeline. These include
2 having the Commission conduct the mandatory hearings on uncontested
3 matters, expanding the initial COL acceptance review to 60 days to ensure
4 adequacy of the submittal, using environmental statements conducted by other
5 government agencies, as applicable, seeking legislative authority to eliminate
6 the mandatory hearing if one is not requested, and pursuing rulemaking to
7 resolve generic issues of COL applications rather than through individual
8 contested proceedings.

9
10 Presently, the NRC schedule estimates 30 months for technical and
11 environmental reviews and 12 months for adjudicatory proceedings; this
12 schedule appears to be more applicable to a first-of-a-kind application or
13 “reference” application. The NRC’s intention is to shorten the review
14 schedule, while maintaining the safety focus, by six to fifteen months. The
15 present review procedures should shorten the review schedule for applicants,
16 such as FPL, that use the same technical content in their applications as the
17 “reference” application, besides site specific issues.

18 **Q. What are the advantages of the revised licensing process when compared**
19 **to the previous two-step process?**

20 A. This process will remove significant uncertainties and potential for delays
21 attendant with the previous two-step licensing process. The revised licensing
22 process shifts the burden of proof for COL applicants to the front end,
23 deferring and therefore reducing financial and construction risks until the

1 licensing review is favorably advanced. The predictability of the licensing
2 process is placed at the COL stage, before major financial capital and
3 construction expenditures are made. The hearing opportunity at the fuel
4 loading stage is more strictly limited than a hearing at the operating license
5 stage under 10 CFR Part 50. The scope of this hearing opportunity is limited
6 to the licensee's compliance with the ITAAC, with the burden of proof of
7 non-compliance on the intervenor.

8
9 The law also allows the NRC to authorize plant operation, prior to the
10 potential ITAAC hearing, if it has made a determination that there is
11 reasonable assurance that a nuclear power plant will be operated without
12 undue risk to the health and safety of the public.

13 **Q. What benefits do you see from the amendments to 10 CFR Part 52?**

14 A. The amended Part 52 is now structured to achieve the objectives of the AEA
15 more effectively and more efficiently. As originally contemplated, the
16 selection of an NRC certified reactor standard design, which is codified by
17 rulemaking, resolves most of the technical safety issues, and is not subject to a
18 formal adjudicatory hearing. If FPL chooses a certified standard design, it
19 will have the finality of the safety reviews conducted for the certified reactor.

20
21 The NRC and the industry have extensive experience with all the specific
22 reviews and adjudication conducted under Part 52. There are now over 14
23 years of reactor vendor and NRC experience with design certifications.

1 Environmental impact statements, emergency preparedness, and physical
2 security reviews have been part of the NRC everyday work for about 30 years.
3 Moreover, three applications for Early Site Permits (ESP) have been
4 processed by the NRC, with the corresponding mandatory hearings
5 completed, and many lessons have been learned by the NRC through the ESP
6 process that should lead to more stable and predictable environmental reviews
7 and COL processes. However, the COLA process itself is untested and the
8 timing and coordination of its components will require much attention by both
9 the applicants and the NRC. The capability of the Atomic Safety and
10 Licensing Board (ASLB) and the Advisory Committee on Reactor Safeguards
11 to discharge their licensing reviews and disposition of hearings, in conformity
12 with the established licensing schedule, is of particular concern, and would
13 undoubtedly attract concerted opposition and require focused efforts to
14 resolve contested issues.

15 **Q. Have any new nuclear power plant designs been certified under the**
16 **NRC's design certification rules?**

17 A. Yes, four advanced Light Water Reactor (LWR) plant designs have been
18 certified and two more designs are undergoing review. The certified standard
19 designs, as specified in 10 CFR Part 52, are divided into two types of light
20 water reactors: advanced evolutionary designs, and advanced reactors that
21 incorporate simplified, inherent, or passive means to accomplish the safety
22 functions. Applicable safety criteria are imposed on both systems, with
23 different burden-of-proof requirements; reactors that are not considered

1 evolutionary are required to demonstrate the performance of each safety
2 system that incorporates new means to accomplish the safety functions. The
3 fundamental difference between the evolutionary designs and those designs
4 that rely on inherent or passive systems to accomplish the safety functions lie
5 mostly in the treatment and resolution of challenges to core cooling for
6 significant transients and/or emergencies. The evolutionary designs rely on
7 the actuation of redundant active safety systems, dependent on multiple
8 pumps and valves. The passive reactor designs rely on redundant safety
9 systems using inherent or passive means to maintain core cooling and
10 integrity, without active injection of coolant by pumps, for the dominant
11 spectrum of postulated accident conditions.

12

13 I have been advised that FPL is considering two designs for its COL effort.
14 The first is the Westinghouse AP1000 design, a 1,100 MW advanced standard
15 reactor plant, using inherent, passive features to accomplish its safety
16 functions. The AP1000 was granted Design Certification by the NRC in 2006
17 and has now essentially completed additions and submitted amendments to the
18 original design certification, incorporating analysis supporting technical
19 improvements and final design features. The AP1000 is a larger counterpart
20 of the AP600, a 600 MW advanced reactor that previously earned
21 certification, after a comprehensive set of tests were conducted to demonstrate
22 the safety performance of the reactor passive safety features.

1 FPL is also considering another advanced reactor design, the General Electric
2 (GE) Economic Simplified Boiling Water Reactor (ESBWR) 1,520 MW
3 reactor plants. The ESBWR also has simplified and passive safety features
4 and is presently undergoing design certification review by the NRC. The
5 AP1000 and ESBWR are the only two advanced standard designs in the US
6 market incorporating passive safety features, with simplified designs enabling
7 streamlined operation and maintenance, and significant safety margins

8 **Q. What advantages do you see in new nuclear power plant designs and**
9 **construction?**

10 A. Major advantages are found in the predicted increased safety and reliability of
11 new nuclear plants, arising from the vast operational experience, and advances
12 in nuclear and materials technology. Technological, construction, and supply
13 chain advances are available today, and are supported by materials advances
14 that should contribute much to the sustained and enhanced operability,
15 reliability and maintainability of plant systems and structures. Nuclear power
16 plants should be built more rapidly than their predecessors due to the use of
17 standard certified designs, to detailed engineering that will be substantially
18 completed prior to start of construction, and by the use of modular
19 construction techniques. Site preparation would be performed ahead of time,
20 and management teams assembled with the expertise, resources and tools to
21 execute the project.

1 The second important change will be encountered at the actual application
2 review. FPL is intending to reference a standard certified design in its
3 application, and if the application is submitted in 2009, FPL will be able to
4 use the Design-Centered Review Approach to expedite review and approval of
5 already reviewed identical parts of the application.

6
7 The Design-Centered Review Approach is a natural regulatory product for
8 effective and efficient review of standard reactors and standardized
9 applications. A graphical representation of this review approach is shown on
10 Exhibit NJD-8, page 1, for the case of COLAs referencing a design
11 undergoing certification. The approach is simple and effective: instead of
12 every application undergoing a custom, separate review by an assigned team,
13 the first application is selected as a Reference COL (R-COL) and subsequent
14 “identical” applications as surrogates. All issues reviewed and resolved for
15 the R-COL are considered resolved for all subsequent applications that
16 conform to the same requirements; one expert NRC staff team is formed to
17 review each R-COLA and the subsequent “identical” COLAs. Only the site
18 specific information, including environmental features, water usage, electrical
19 grid requirements, and others, are reviewed individually. A graphical
20 representation of how the Design Certification, ESP, R-COLA and subsequent
21 COLAs are related is shown on Exhibit NJD-8, page 2. There is an apparent
22 advantage to referencing a certified reactor and using the review from an R-
23 COLA.

1 **SUITABILITY OF THE TURKEY POINT SITE FOR NEW REACTORS**

2

3 **Q. In the context of the new NRC reactor licensing process, please comment**
4 **on the selection of the Turkey Point site as a location for new nuclear**
5 **plants.**

6 A. The Turkey Point site stands out as a preferred location for the addition of two
7 nuclear generation units to the FPL grid. The Turkey Point site is well known
8 and it has been proven to be suitable for existing generation needs. The sum
9 of its existing assets is large and would contribute to lower and more
10 predictable costs, including access to cooling water supply, existing and
11 expandable roads, access for heavy components, experienced personnel and
12 management on-site, well established security and emergency preparedness
13 infrastructure, electrical transmission and distribution infrastructure, and
14 lesser environmental impacts that would result from the development of a
15 comparable and acceptable greenfield location. The selection of a certified
16 standard design is especially appropriate for the Turkey Point site, since the
17 existing infrastructure will be conducive to the efficient utilization of the
18 associated licensing and construction advantages.

19 **Q. What are the main site safety criteria that the NRC will use for the**
20 **evaluation of the acceptability of the Turkey Point site?**

21 A. The main siting factors and criteria that the NRC will use in its evaluation are
22 those important in assuring that radiological doses from normal operation and
23 postulated accidents will be acceptably low; they are mostly found in 10 CFR

1 Part 100 and applicable components of 10 CFR Parts 50, 51 and 73. Among
2 the significant factors that will be taken into consideration in determining the
3 acceptability of the Turkey Point site are its physical characteristics, including
4 seismology, meteorology, geology and hydrology. These will be fully
5 reviewed in accordance with the new Subpart B of Part 100, which
6 incorporates the evaluation and seismic criteria in effect for new nuclear
7 power plants. Of particular interest to Florida are the evaluations of factors
8 and criteria pertaining to hurricanes (such as maximum probable wind speed,
9 precipitation and maximum probable flood) and, although less frequent and
10 severe, to earthquakes (such as magnitude and intensity). Protection criteria
11 for both hurricanes and earthquakes are fully developed from the regulatory
12 viewpoint, and have or will be incorporated into every design certification and
13 the final reactor design, construction and operation of the facility. The area of
14 physical characterization of sites and acceptability criteria has reached a high
15 level of maturity and should be efficiently utilized by COL applicants.

16

17

NUCLEAR PLANT PHYSICAL SECURITY

18

19 **Q. Please discuss security issues as they apply to new nuclear power plants.**

20 A. Since its inception in 1954, the AEC, now the NRC, has considered,
21 developed, and enforced physical security requirements. Originally, the main
22 reason was safeguarding weapons grade materials and all information
23 pertaining to nuclear weapons programs. Sabotage was also a consideration,

1 although taking second place early to the pressing need of nuclear weapons-
2 related national security. Because U.S. commercial nuclear power developed
3 from naval applications to land deployment, a culture and practice of physical
4 security was incorporated into nuclear plants; however, it was not a prominent
5 feature due to the benign perception of the nature of nuclear power. This
6 perception was due to the fact that nuclear power plants, by their intrinsic
7 physical nature, cannot be made into an explosive device nor can its fuel be
8 made into a nuclear weapon.

9
10 As the number of nuclear power plants grew, their importance to the nation's
11 electrical generation and the importance of minimizing the possibility of
12 radiological sabotage became apparent. The separation in 1974 of the AEC
13 into two distinct bodies, the promotional Energy Research and Development
14 Administration (ERDA) and the NRC, brought a more definitive separation
15 between the nuclear weapons production capability and civilian power use,
16 with sabotage becoming a more significant consideration at commercial
17 nuclear generating facilities. In 1978, the NRC issued physical security
18 regulations at 10 CFR Part 73. These regulations established requirements for
19 the protection of plants and materials, using the framework of a Design Basis
20 Threat (DBT), the baseline threat that nuclear plants must be able to repel.
21 The history of the implementation of Part 73 at nuclear power plants was
22 relatively uneventful. Still, its importance was clear and vigilance was
23 maintained.

1 **Q. Please describe how the events of September 11, 2001 affected security**
2 **requirements at nuclear power plants.**

3 A. The events of 9/11 were a wake-up call to the nation, including the civilian
4 nuclear industry. In many ways, nuclear power plants were better prepared
5 than any other component of U.S. critical infrastructure to respond. Already
6 robust defenses were rapidly brought to a maximum level of preparedness and
7 were maintained until resolution of a more permanent path forward. The
8 NRC responded with a new organizational focus on physical security and
9 emergency preparedness. Starting in February 2002, changes were made by
10 issuance of immediately effective orders, to effect improvements without
11 waiting for the normal rulemaking process. These changes covered every
12 significant aspect of physical security and emergency preparedness, enhanced
13 the capability of the nuclear power industry to face potential new threats,
14 while still remaining within the civilian defensive capabilities that can be
15 demanded of non-military installations.

16

17 The series of orders issued by the NRC to the nuclear power industry, in a
18 very short period of time, covered the dominant security issues analyzed by
19 expert teams, which included consultation with cognizant U.S. Government
20 agencies and stakeholders. The main issues covered first were: 1) access
21 authorization controls, requiring full background checks for persons entitled to
22 unescorted access to protected areas at nuclear plants, and overall
23 improvements in personnel checks, identification of areas and pertinent

1 protective measures; 2) Changes to the DBT against which nuclear power
2 plants must be able to defend with high assurance using their own capabilities,
3 including requiring defenses against threats from both land and water; 3)
4 requiring well established strategies to mitigate the consequences of large fires
5 and explosions, regardless of their origin, including airplane attacks; 4)
6 security personnel training and qualification requirements, ensuring the
7 capability of each to respond to new threat requirements, the capability of the
8 organization to respond to multiple threats, and to coordinate responses with
9 local, state and federal law enforcement agencies, in a manner commensurate
10 with the threat; 5) spent fuel pool and/or dry cask storage safety and security
11 enhancements, establishing additional capabilities to maintain the integrity of
12 used fuel for different threat scenarios, including large fires and explosions
13 from a terrorist or an accidental or deliberate aircraft crash; and 6) new and
14 enhanced requirements for force-on-force (simulated terrorist attack)
15 exercises, upgrading the previously established mock-up terrorist attacks to
16 meet the new DBT with new organizational focus. A series of additional
17 compensatory measures, as needed to enhance security and protective
18 capabilities were also added.

19

20 The result of this series of orders was a massive, multi-year undertaking by
21 the nuclear power industry and the NRC, with significant improvements to the
22 already robust defenses installed for the primary purpose of protecting public
23 health and safety. The modification to plant perimeters, entrances, structures,

1 monitoring and defensive systems, security personnel and personnel-related
2 measures, and management have established superior defensive strategies and
3 capabilities at all nuclear power facilities in the U.S. The codification of these
4 changes is continuing for more predictable use by licensees; the NRC
5 approved in January, 2007, a final rule approving the DBT. The directive to
6 mitigate the impact of large fires and explosions is now on preparation for a
7 final rule.

8 **Q. What will be the impact of the post 9/11 security enhancements on new**
9 **nuclear plant designs and costs?**

10 A. The arena of physical security for existing nuclear facilities has endured
11 revisions to ensure that the public is protected from events challenging the
12 plant, including terrorist's events. Enhancements are always possible;
13 however, significant, necessary and sufficient improvements have already
14 been required and implemented, and "tune-ups" should take the place of
15 further significant revisions to NRC security requirements. These
16 improvements and the cumulative security experiences of the industry and
17 NRC are being incorporated into new reactor designs, construction and
18 operation.

19

20 Although the issue of preventing and mitigating potential substantial damages
21 from a large aircraft impact has been well addressed and the results are
22 applicable to new reactors, the NRC proposed recently to analyze further
23 enhancements. In April of 2007, the NRC proposed to require each applicant

1 for a new reactor design to assess how the design, to the extent practicable,
2 can have greater built-in protections to avoid or mitigate the effects of a large
3 commercial aircraft impact, making them even more resistant to an attack.
4 The assessments should focus on areas such as core cooling capability,
5 containment integrity and spent fuel pool integrity. The proposed rule will be
6 published to seek public and industry comments, and if adopted, will affect
7 new applicants for reactor design certifications and applicants for a combined
8 license that does not reference a certified design. I believe much has been
9 done already in this respect that would be incorporated into new designs and
10 new plant construction and operation without major revisions. The reactor
11 vendors are fully cognizant of the safety and security improvements made to
12 improve safety for existing plants and their applicability to new plants, as well
13 as the need to provide closure to the issue by assessing additional built-in
14 protection, as practicable.

15

16 A concern of the NRC and stakeholders alike is the predictability of physical
17 protection costs for new plants. These costs, however, are a minor component
18 of the construction costs of a new plant and they are well known from current
19 experience at the existing reactor fleet. Therefore, potential changes at the
20 design and construction stage for physical security should not be a major
21 consideration for the economics or the construction schedule for new nuclear
22 plants. An important production cost consideration will be security personnel
23 costs; in here, like in other areas, new technologies are emerging that should

1 mitigate such recurring costs, while maintaining or improving plant protective
2 capabilities.

3

4 **SPENT NUCLEAR FUEL AND LOW-LEVEL RADIOACTIVE WASTE**

5

6 **Q. Please discuss issues concerning the storage and disposal of spent nuclear**
7 **fuel and low-level radioactive waste that will be generated by new nuclear**
8 **plants.**

9 A. There are two basic types of radioactive waste produced by the operation of
10 nuclear power reactors: high-level radioactive waste in spent nuclear fuel and
11 low-level radioactive waste (LLW) produced as the by-product of nuclear
12 power operations, such as contaminated tools, clothing, resins, and other trash.
13 The high-level radioactive waste contained in the spent or used fuel from
14 nuclear power plants can be safely and securely stored on site or off-site in
15 spent fuel pools (which are large pools with borated water) or in concrete and
16 stainless-steel sealed dry containers. All reactors first discharge spent or used
17 fuel into spent fuel pools, where it cools as the radioactive content diminishes
18 with time. Spent fuel pools have been the subject of a comprehensive analysis
19 by the NRC to ensure their integrity under multiple challenging scenarios,
20 including terrorist attacks and the effects of an air crash. While the results of
21 the analysis were not indicative of a lack of public protection, the NRC
22 believed there was need for a few additional improvements to spent fuel pools
23 that would be appropriate for new threats, and ordered licensees to take

1 additional preventive measures to ensure the capability to maintain the spent
2 fuel cooled under severe circumstances, and to add measures that would
3 prevent or minimize radiological consequences.

4
5 The results of the improvements to spent fuel safety and security, in most
6 cases using simple or readily available strategies and modifications, were an
7 enhancement of spent fuel safety. These improvements are being codified for
8 use in new nuclear power plants, and are independent of the proposed
9 rulemaking discussed above for new reactor design certifications.

10 **Q. Given the delays in licensing the Yucca Mountain spent fuel disposal**
11 **facility, what spent fuel storage capability is necessary for new nuclear**
12 **plants?**

13 A. In my experience, spent nuclear fuel should be cooled for about ten years
14 before removal from a spent fuel pool. Ten years is now the reactor vendor
15 recommended and NRC accepted base storage capacity. Presently, it is a safe
16 and common practice to do full-core offloads to spent fuel pools during
17 refueling, and to have additional space for maneuvering. These two
18 considerations are more important presently than the delay of the opening of
19 Yucca Mountain because additional on-site spent fuel storage using dry casks
20 is a well proven technology raising no limiting safety or environmental
21 concerns. Furthermore, independent spent fuel storage installations are
22 certainly feasible and under consideration by the DOE and Congress. Both
23 wet and dry storage provide safe and secure storage of spent fuel.

1 Pending Congressional resolution of the disposition of used fuel, the NRC,
2 which will review the Yucca Mountain application to be submitted by DOE,
3 has maintained its position, set forth in its Waste Confidence Decision at 10
4 CFR 51.23, that there is reasonable assurance that there will be a geological
5 repository for spent nuclear fuel within the first quarter of the 21st century.

6 **Q. Please discuss whether low-level radioactive waste (LLW) can be stored**
7 **safely at new nuclear plants, and the safety of transporting radioactive**
8 **wastes and materials.**

9 A. The operation of nuclear power plants also generates LLW, which is safely
10 stored on site, and frequently disposed at the Barnwell, South Carolina
11 licensed LLW disposal facility, or occasionally, for very low level radioactive
12 wastes, at the licensed Energy Solutions LLW disposal facility at Clive, Utah.
13 Effective June 30, 2008, the Barnwell facility will no longer be available to
14 LLW generators in states other than South Carolina, New Jersey, or
15 Connecticut, for the disposal of Class B and C LLW.

16

17 The present capability of facilities to sort, compress, and store LLW at reactor
18 sites for very long periods of time is proven, and is used safely all over the
19 world. As the Barnwell site becomes more uncertain, it is appropriate to
20 establish self-contained LLW compacting and storage facilities at reactor
21 sites.

1 The transportation of spent fuel, LLW, and all types of radioactive materials
2 for medical and industrial purposes is a state-of-the-art, proven technology,
3 with an outstanding safety and security record of performance. The
4 transportation of high-level waste has been the subject of rigorous research
5 and testing, and has been proven safe here and abroad for millions of miles on
6 the road.

7

8

DECOMMISSIONING

9

10 **Q. Please comment on the process for decommissioning nuclear power**
11 **plants and the impacts of that process on new nuclear reactors.**

12 A. The decommissioning of nuclear reactors and nuclear facilities is now a
13 mature and tested industrial and regulatory process, with reasonably known
14 costs, with some variation due to state-related requirements. Major reactor
15 sites have been fully decommissioned, with costs covered by
16 decommissioning trust funds. The former commercial reactors at the Trojan,
17 Big Rock Point, and Maine Yankee sites have been restored to unrestricted
18 use, in accordance with NRC's License Termination Rule (10 CFR 50.82),
19 and in compliance with applicable financial assurance regulations.

20

21 Decommissioning activities at the former commercial reactors at Millstone 1,
22 Connecticut Yankee, and Yankee Rowe are also proceeding well, as are other

1 facilities that have de-fueled into dry storage casks and have had the pressure
2 vessel removed, like San Onofre 1 in California.

3

4 Essential regulatory components of the decommissioning of reactor sites have
5 been proven successful, including the assurance of funding, as determined by
6 the NRC's periodic review of licensee funding, in accordance with 10 CFR
7 50.75. An important factor in the cost of decommissioning is the impact of
8 License Renewal in delaying plant shutdown and decommissioning. With the
9 additional term to collect the necessary funds, and the favorable impact of
10 established fund growth, nuclear power plant decommissioning activities are
11 being adequately funded.

12 **Q. Does this conclude your direct testimony?**

13 **A. Yes.**

1 BY MR. ROSS:

2 Q Doctor Diaz, have you prepared a summary of your
3 testimony?

4 A Yes, sir.

5 Q Would you please provide that summary to the
6 Commission?

7 A Yes, sir, thank you. Good afternoon, Chairman
8 Carter, Commissioners. It is indeed my privilege to testify in
9 my home state before the Florida Service Commission in support
10 of the deployment of new nuclear power plants at Florida Power
11 and Light's Turkey Point site.

12 I have spent 40 years of my life in the design,
13 construction, operation, and regulation of nuclear power
14 plants. I was a Commissioner of the United States Nuclear
15 Regulatory Commission, the NRC, from 1996 to 2006, serving as
16 its Chairman since 2003. I now wear different hats, but I
17 remain committed to the same goals that were the focus of my
18 career, protection of the public health and safety, protection
19 of the environment, and protection of the common defense and
20 security. And on that note, I am convinced that nuclear power
21 electrical generation should increasingly contribute to
22 maintain and enhance our energy security, our economical and
23 reliable electricity supply, and our environmental stewardship
24 regionally and globally.

25 Nuclear power generation is especially needed in

1 Florida to diversify the fuel portfolio, to balance the
2 dominant role of carbon in generators, to decrease price
3 volatility, and to achieve national and global environmental
4 goals. New nuclear power deployment in Florida is supported by
5 a combination of key favorable converging factors. The safety,
6 security, and generation reliability of the current fleet of
7 light water reactors is proven and is sustained. Improvements
8 made to the design, construction, and operational safety of new
9 standard reactors are enabling factors. New reactors are
10 safer, simpler, easier to operate and maintain. The much
11 improved yet new reactor licensing framework is in place at the
12 NRC providing comprehensive safety and environmental
13 evaluations completed prior to construction limiting financial
14 risk and enabling better decision-making by all concerns.

15 Nuclear electrical generators have high initial
16 capital cost and become economically competitive by their low
17 production cost supported by low fuel cost, state of the art
18 operation and high capacity factors. The key factor bearing on
19 this determination is the proven capability of Florida Power
20 and Light to construct and operate nuclear units safely and
21 reliably.

22 The issue of the final disposition of used or spent
23 fuel is not fully resolved and needs to be addressed, but it
24 does not have to be solved now. Used fuel is currently safely
25 and securely stored, and can be so stored for up to 100 years.

1 The disposition, processing, and ultimate disposal of remaining
2 radioactive residues will be resolved to the benefit of our
3 society long before that time.

4 In summary, large capacity, high reliability,
5 efficient power electricity generation without carbon or
6 pollution issues should be added to Florida's energy portfolio
7 at the Turkey Point site. That concludes my summary, Mr.
8 Chairman.

9 MR. ROSS: Doctor Diaz is available for cross
10 examination.

11 CHAIRMAN CARTER: Commissioners, I'm going to allow
12 the parties, and then at any time if you have a question, no
13 problem whatsoever, we can move in.

14 Ms. Krasowski. Wait a minute.

15 Mr. Beck. I'm so sorry, Mr. Beck.

16 MR. BECK: I have no questions.

17 CHAIRMAN CARTER: Ms. Krasowski.

18 MS. KRASOWSKI: Good afternoon. Before we begin, I
19 would ask that the FPL legal counsel identify themselves,
20 because I'm not familiar with who they are.

21 CHAIRMAN CARTER: Okay.

22 MR. ROSS: Mitchell Ross for FPL.

23 MR. FERNANDEZ: Antonio Fernandez for FPL.

24 CHAIRMAN CARTER: Mr. Ross and Mr. Fernandez.

25 MS. KRASOWSKI: Thank you.

CROSS EXAMINATION

1
2 MR. KRASOWSKI: Thank you.

3 BY MS. KRASOWSKI:

4 Q Good afternoon, Doctor Diaz.

5 A Good afternoon.

6 Q On Page 31 of your testimony -- well, let me begin
7 first by asking you, are you familiar with Witness Sanchez's
8 testimony?

9 A Am I familiar with the Sanchez testimony?

10 Q Yes.

11 A I have, you know, read the testimonies, but I cannot
12 say that I am familiar to the point of being cross-examined
13 over them.

14 Q All right. On Page 32, Line 4.

15 A Page 32?

16 Q Yes, please.

17 A Yes.

18 Q Hydrology is included as a significant factor for
19 safety in the plant, and I was wondering would the drought that
20 we are experiencing in southeast Florida, would that have any
21 kind of impact on your estimation of what kind of security
22 might be needed in regards to water?

23 A I don't believe that temporary droughts would
24 actually have an impact on the initial determinations that will
25 be made, because this issue will be thoroughly analyzed both by

1 the Nuclear Regulatory Commission on the federal part, which
2 will have NEPA determinations on the issue, and by the state
3 and community permits. So I believe the issue of hydrology
4 will be exhaustively analyzed and by the time that they do
5 their filing for their permits, this issue should be very well
6 established and determined. Including any factors or
7 variations.

8 Q Thank you. On Page 39. Let's see. Can you tell
9 me -- well, this is just in your testimony in general on Page
10 39.

11 A Uh-huh.

12 Q How many dry cask storage sites are there currently
13 in the United States?

14 A You know, I don't remember the exact number, because
15 I have been out of there a year and a half, but I believe there
16 are over a dozen established sites, and they are growing in
17 number every year as the plants select the dry cask storage as
18 a referred option for keeping their fuel on-site and
19 maintaining the capabilities of their own, you know, authority
20 over those casks.

21 Q Do some of the plants ship their waste to other
22 places after they dry cask them?

23 A Some plants have done some small shipments. Some
24 shipments have been made to the Idaho National Reactor Testing
25 Site, but the majority of the plants keep their fuel even after

1 they have been decommissioned. Several plants of late since
2 1996 have decommissioned and they have removed the fuel from
3 the reactor and placed them on dry storage casks in a portion
4 near where their original facility was and provided the
5 security factors. Other utilities have decided that in order
6 to maintain operational capabilities to do full core offloads
7 when they are working with the fuel, have moved their fuel from
8 the spent fuel pools to dry cask storage right on the plants.

9 Q And when they moved the fuel from the pool to the dry
10 casks, they have to let the fuel cool in the pools for a number
11 of years before they can move them into dry cask or can they
12 just move it directly into dry cask?

13 A They normally cool from a period of seven to ten
14 years in the spent fuel pools.

15 Q And how long has dry cask storage been -- how long
16 have they used dry cask storage?

17 A We have been using dry cask storage for over
18 30 years. However, their increased use is now more pronounced.
19 More people are deciding that dry cask offers them a very safe
20 and reliable alternative and so they are moving more and more
21 fuel from the spent fuel pools to the dry cask. It seems to be
22 economical. We believe it is a very safe and secure way of
23 storing the fuel.

24 Q And how much does it cost for one dry cask, do you
25 have any idea?

1 A I don't have the numbers per dry cask, but, you know,
2 a complete dry cask facility is millions of dollars, okay.
3 Fundamentally, there is an issue in here that that fuel
4 technically belongs to the DOE, so there is issues of
5 compensation. Other people just start to do it, but the
6 reality is that the utilities have put the safety and security
7 of the fuel ahead of what the compensation is, so they are
8 moving with it, they are doing it right. I have been in many
9 of those facilities and I am very pleased with both their
10 safety and their security.

11 Q By the DOE, you mean the Department of Energy?

12 A The Department of Energy, correct.

13 Q And, who pays for the DOE, is that run off of tax
14 dollars?

15 A Well, it is not taxpayers' money. There is an
16 assessment of one mill per kilowatt hour that is assessed to
17 every kilowatt hour that it is produced by a nuclear power
18 plant. That goes into this waste fund and that waste fund is
19 administered by the United States government, supposedly by the
20 DOE, and that money has been used for different purposes.
21 First, it was used to try to get the suppository called Yucca
22 Mountain going, and other parts of the money are now being to
23 compensate the utilities for not having moved the fuel, or for
24 dry cask storage, or purposes related to the waste.

25 Q As former Chairman of the Nuclear Regulatory

1 Commission, do you foresee spent fuel remaining on-site because
2 of the problems that have arisen with Yucca Mountain?

3 A I do see fuel remaining on-site for at least the next
4 20 to 40 years, and that depends when the fuel was discharged
5 or not. I don't see Yucca Mountain coming on-line before the
6 year 2025. I believe that the alternative that has been
7 developed with dry cask is an excellent alternative. It is one
8 that avoids the question and would allow the government of the
9 United States to find the best solution possible. Not a
10 temporary solution, but a solution that actually will serve the
11 country best.

12 Q And on what do you base your belief that the problems
13 with waste will be solved?

14 A Well, Madam, how long do you have? Let's just say
15 that I have spent a lifetime working in all of these issues,
16 and, therefore, I am convinced that we have solutions. Now,
17 the way that the solutions will be arrived at are not going to
18 be quick. The reason is that the country is both concerned in
19 maintaining the capability of the fuel that still exists, of
20 disposing of whatever residues there are that will no longer
21 have, you know, radiotoxicity for thousands of years. For
22 maybe 300, 600 years there are small amounts of residues and
23 also to maybe come up with a scheme that prevents in other
24 countries, not a question in this country, the potential misuse
25 of fuel for proliferation purposes. So, we are looking for a

1 complete solution, and I think that is the right way to go.
2 And complete solutions do not come very easy. They have to be
3 done in stages, and I think that that is precisely what the
4 government is studying and actually doing. It might require
5 more than one stage, by the way, but that is the way we are
6 actually going.

7 Q Well, thank you. Let's see. Do you have an idea, do
8 you have an idea like what the carbon dioxide and other
9 greenhouse gases would be made during the dry cask storage
10 stage?

11 A Madam, whatever it is is just from the use of the
12 trucks or industrial equipment, just like in any other
13 construction. Like in construction of this building. You
14 know, the reality is that any human application or any
15 industrial application, especially in the United States, is
16 carbon based right now. Carbon dominates, okay, the energy,
17 you know, domain in this country. And so all of these
18 activities, whether related to transporting children to school,
19 or opening a uranium mine, or transporting uranium from one
20 location to another, they all consume a little bit, a little
21 bit of carbon bearing materials which are burned, and so there
22 is a small amount that will come out.

23 And when people talk about, you know, carbon
24 producing or not carbon producing generation they are really
25 looking at the generation point. They are not looking at, you

1 know, what happens before because those uses are so small that
2 they really do not enter into any equation. What happens is
3 that the generation of gases and particulates from burning
4 fossil fuels is very large, like 3 million tons per year for
5 1,000 megawatts. In a nuclear power plant, there is not zero,
6 it is probably ten kilograms, or 100 kilograms a year when you
7 turn the diesels on. So, there are orders of magnitude, five
8 six orders of magnitude smaller from a nuclear power plant than
9 from a fossil plant, and that is where the comparison comes to
10 be. The rest of the fuel cycles, it doesn't matter what the
11 actual cycle is, it doesn't matter whether you are building
12 windmills, they will all use fossil fuels until that time,
13 which I don't know where it is, where we have electrified our
14 society and we have other sources to do it. But presently they
15 are carbon based and they will generate a small amount. But
16 the main generation of gases occurs at this plant and it goes
17 on for years and years and years until the plant is ended.

18 Q Doctor Diaz, I have -- and I apologize, I don't know
19 exactly where this particular chart fits in with the exhibition
20 numbers.

21 CHAIRMAN CARTER: Could you tell us what it is?

22 MS. KRASOWSKI: It is Exhibit NJD-2.

23 MR. ROSS: That is Exhibit 33.

24 MS. KRASOWSKI: Thank you.

25 THE WITNESS: Yes.

1 BY MS. KRASOWSKI:

2 Q In Exhibit 33, you have the collective radiation
3 exposure, and I have a few questions about -- I have a few
4 questions about the operations of nuclear plants. How are
5 these radio -- how are these collective radiation exposures
6 measured?

7 A Very good question. The present power plants have a
8 variety of ways of determining what is the radiation exposure
9 of a person. It depends on how long will the person or the
10 type of radiation that a person is going to be in a certain
11 area, what is the predominate type of radioisotopes. Right now
12 every power plant has a team of what we call health physicists,
13 which are involved in radiation protection. These health
14 physicists actually set up monitoring devices around the plant,
15 but especially around people that are going to be working with
16 radiation. The sophistication of these techniques is now
17 really very, very, very high. And they have been able to
18 pinpoint what is happening in what places, and that has been
19 one of the major reasons for the reduction of doses to
20 personnel, which have continued to be going down. It used to
21 be much higher than what it is. And this Person-REM, what is
22 here, it says all of the people that are in the plant, you
23 know, multiplied by the radiation doses they have received, and
24 it is a cumulative annual and, you know, plant personnel
25 indication of how good are the radiation protection measures.

1 So when we look at this, we want to see that there are no
2 peaks. Mostly we want them to be going down.

3 The assessments that we make compares this to actual
4 programs. They are essentially graded according to their
5 performance. I think Witness Stall talked about the green bars
6 and the white bars. This is one of the programs that we
7 include in the evaluations of the NRC.

8 Q Thank you. When the radiation builds up in the
9 containment areas and places where people might be working, is
10 that released during a purge?

11 A No. We can do controlled releases. If there is a
12 certain amount of gases or steam, what we do is we make sure
13 that we do not provide any uncontrolled releases to the
14 environment. Power plants work on the basis of control,
15 management and control of every single aspect of the operation,
16 but most especially of the radioactive effluents and whether
17 they are gases or liquids. Those effluents are monitored.
18 They are released only when we want them to be released and
19 always in quantities much smaller than those that are allowed
20 by law. And the facts, you know, more than that, every power
21 plant self-imposes what we call a LARAL, as low as reasonable
22 achievable limits. So, even below the limits of what is legal.
23 They institute programs to make sure that the releases are
24 small, controlled, and so we really have controlled releases
25 for any time that people are visiting an area.

1 Q Nuclear power plants, are nuclear power plants
2 allowed to have 22 purges per year?

3 A 22 purges per year? Nuclear power plants don't have
4 a set number of purges. They look at it quarterly and they
5 look at it annually and they have a certain amount of allowable
6 releases that are done under controlled conditions. And if
7 their releases are under those volumes then that is how you are
8 allowed to release it.

9 MR. ROSS: Mr. Chairman, I would just like to
10 interpose an objection. The prehearing order granting the
11 Krasowskis intervention in this proceeding specifically stated
12 that the decision should not be construed to permit the
13 Krasowskis to raise arguments relating to nuclear safety. And
14 we have permitted some level of questioning of Doctor Diaz on
15 nuclear safety issues, but I think it is appropriate now to
16 object and to try to keep the scope of this cross examination
17 within the permitted intervention.

18 MS. KRASOWSKI: Commissioner Carter?

19 CHAIRMAN CARTER: Yes, ma'am.

20 MS. KRASOWSKI: I am not asking this from a safety
21 point of view, I am just asking these things from a plant
22 operational point of view, and that has to do with the
23 economics of the plant, also. So that is the only reason. I
24 haven't said anything about safety.

25 MR. ROSS: I don't think any of the questions, Mr.

1 Chairman, have gone to the issue of cost. She is asking
2 questions about radiation exposure, which can't be separated
3 from safety.

4 CHAIRMAN CARTER: Let me think a moment here.
5 Staff recommendation.

6 MS. BRUBAKER: Well, I have to concur that that
7 language is in the order. And, of course, the Commission does
8 not have within its legislative mandate issues of nuclear
9 safety, so if the issues are directed to cost-effectiveness
10 perhaps the Krasowskis could focus on that issue and help us
11 all stay within the scope of the proceeding.

12 CHAIRMAN CARTER: Let's do this, could you use about
13 five minutes to get your notes together? Would you think that
14 would be helpful?

15 MS. KRASOWSKI: No, I don't really need five minutes.

16 CHAIRMAN CARTER: You don't need five minutes?
17 You're ready? Just kind of -- but, I mean, I want to give you
18 some latitude to kind of help, but we do want to stay within
19 the confines of the order and within the confines of our
20 jurisdiction.

21 MS. KRASOWSKI: Okay. Thank you.

22 CHAIRMAN CARTER: So, I will have to sustain the
23 objection.

24 MS. KRASOWSKI: May I say it is not every day I get
25 to speak to the former chairman of the Nuclear Regulatory

1 Commission.

2 CHAIRMAN CARTER: I told you, I'm fascinated.

3 MS. KRASOWSKI: And in the presence of PSC here.

4 CHAIRMAN CARTER: And we have allowed great latitude.

5 As I said, if you need a moment to kind of get your notes

6 together, we are more than happy to do that. We want to

7 cooperate in every way possible.

8 MS. KRASOWSKI: Okay.

9 CHAIRMAN CARTER: But if you don't need a break, you
10 are recognized.

11 MS. KRASOWSKI: Thank you.

12 BY MS. KRASOWSKI:

13 Q Doctor Diaz, can you describe what crud is?

14 A Yes, ma'am, I can describe what crud is. In the
15 language of the nuclear power plants, crud is an accumulation
16 of salts, oxides, that during the operation of the plant stick
17 to the surfaces of the plant. And many times the crud, and I
18 see your question coming, is radioactive because it contains
19 radioisotopes of iron.

20 Q And how is the crud cleaned and how much does that
21 cost?

22 A The crud is occasionally cleaned. There are two
23 ways, one is by chemical processes and the other is by thermal
24 processes. Thermal processes are a little cheaper, but they
25 are not as effective as chemical processes. If I remember

1 correctly, but please don't hold me to it, a nuclear power
2 plant when it actually does what are called a crud burst, they
3 could spend as much as \$100,000 doing that crud burst. And
4 that includes mostly the fact that the radiological protection
5 devices in capturing this radioactive material is then
6 captured, encapsulated, put in a manner that is not released to
7 the environment. And so, since it is more radioactive than the
8 normal substances that are normally being handled in the plant
9 on a day-to-day basis, special care is put onto this.

10 The reason that we do crud burst is to increase the
11 thermal efficiency of the plant. So even though it has a cost,
12 eventually the efficiency of the plant increases and the
13 ratepayers will pay less for the electricity.

14 MS. KRASOWSKI: Thank you. Just one minute, please.

15 CHAIRMAN CARTER: Okay. Take your time.

16 MS. KRASOWSKI: Well, thank you. And sometime I
17 would love to just have a conversation outside of the PSC arena
18 here.

19 THE WITNESS: Madam, it would be my distinct pleasure
20 to sit with you and your husband and have a long conversation.
21 I would be delighted to do that. I have been doing it all of
22 my life, and I am looking forward to it.

23 MS. KRASOWSKI: Thank you.

24 CHAIRMAN CARTER: No further questions, Ms.

25 Krasowski?

1 MS. KRASOWSKI: No more questions.

2 CHAIRMAN CARTER: Thank you so kindly.

3 Commissioners, I'm going to go to staff unless either
4 of you have a question at this point in time.

5 Staff, you are recognized.

6 MS. BRUBAKER: Thank you. Just a few quick
7 questions, if I may, Doctor Diaz.

8 CROSS EXAMINATION

9 BY MS. BRUBAKER:

10 Q Were you present at the beginning of the hearing
11 yesterday morning? Did you listen to the public testimony
12 portion?

13 A No. I listened to part of it on the radio at the
14 hotel. They told me to stay out of here.

15 Q There was a comment made about Germany
16 decommissioning or exploring the decommissioning of its nuclear
17 plants. Are you familiar with the status of nuclear plants and
18 power production in countries other than the United States?

19 A Yes.

20 Q Do you have any comments to offer regarding whether
21 that comment is accurate regarding the decommissioning of the
22 German plants?

23 A I'm sorry, you are going to have to say that again.

24 Q Certainly. Do you have any comments to offer, do you
25 agree with the statement that Germany is pursuing

1 decommissioning of its nuclear plants?

2 A Yes. I agree that Germany has been pursuing the
3 decommissioning of their nuclear power plants. However, it is
4 not as straightforward as it looks. If I might ask the
5 Chairman of the Commissioners, it might take two minutes, maybe
6 I will tell you what the story is. In Germany for many years
7 there has been a large and growing concern regarding
8 transportation of nuclear waste that used to come from Germany
9 all the way to LaHague in France. And you have seen it in the
10 TVs, you know, people putting themselves across a railroad track.
11 So actually, the Green movement got to be very strong focused
12 precisely on the issue of transportation. Eventually, when
13 there was a transition in the government, the government of
14 Mr. Kohl did not have a majority to rule, and so he was really,
15 you know, made a coalition with the Greens that allowed them to
16 then rule, so he became the majority party.

17 One of the conditions of that alliance was that
18 nuclear power plants -- there will be no new nuclear power
19 plants. So there is a moratorium. And second, that nuclear
20 power plants will be decommissioned in accordance to a schedule
21 and they will be all decommissioned by 2021.

22 Surprisingly, the utilities say yes. There was a
23 time they were saying no, and why the utilities say yes is a
24 very surprising thing. They actually got a lot of benefits
25 from the government. For example, they got no more problems

1 with transportation of nuclear waste. The government took that
2 out. They got some rate relief. They got allowance for
3 capital investments. So it is a very convoluted type of
4 negotiations that took place, but the result is that right now,
5 you know, there are plants that are supposed to be
6 decommissioned, to be shut down and then decommissioned and
7 that has been argued.

8 There is one famous plant that is supposed to be shut
9 down, I believe, in two years, and the owners are saying no, we
10 are not going to shut down, because in the law there are
11 credits that you can pass from one plant to another. In other
12 words, plants that are younger, you know, have more megawatt
13 hour of operation, are supposed to lend other plants the
14 megawatts hours of operation. And the reason for this deal
15 which the government approved was that nobody ever believed
16 that all nuclear power plants in Germany would be ever
17 decommissioned because Germany cannot survive without nuclear
18 power plants. There is absolutely no way they can comply with
19 the Kyoto agreements, with all of the things that they have
20 established for their economic growth, for everything else
21 without the support of the power plants.

22 So, when the government changed again, they thought
23 that this was going to take place, but it didn't take place.
24 What happened was that another status quo was established and
25 supposedly some new arrangements were being made. Right now

1 the situation is in an impasse. There is still a date in which
2 they are supposed to be decommissioned, but only two plants
3 have been decommissioned. The rest of them are not, and the
4 rest of them are intended not to. And the states in which
5 these plants are almost rebellious to the federal state in
6 saying we are not going to do that.

7 That is, of course, in contrast with the very, you
8 know, normal situation developing in the rest of the world
9 where actually there is a reverse. For example, in the United
10 Kingdom which I just returned from, they just established that
11 they are going to go nuclear. There is no longer the
12 capability to use renewables anymore, so windmills, they now
13 have a policy and that policy will be now firmed out, I
14 believe, in the third week in March. They are going to replace
15 their existing power plants with new nuclear power plants,
16 light water reactors like the United States. There is the fact
17 that in Sweden there was a moratorium. The moratorium has now
18 been terminated. There was a moratorium in Belgium. That
19 moratorium I understand will be terminated this year.

20 There is now growth in many, many countries in the
21 world. Not only Japan and Korea, but China, India, Indonesia.
22 You know, the countries of the east, they are all realizing
23 that to be able to have better reliability of supply and to at
24 the same time comply with environmental concerns they need to
25 have some baseload nuclear power generation.

1 It is a long answer. I apologize, but it is a
2 historically very, very interesting story.

3 MS. BRUBAKER: Thank you. I have no other questions.

4 CHAIRMAN CARTER: Commissioners?

5 Commissioner Argenziano, do you have any questions?

6 COMMISSIONER ARGENZIANO: No, Mr. Chairman.

7 I'm glad that staff asked that question, because it
8 was one of my questions yesterday. I kept hearing that and I
9 wanted to know the facts behind it, and that gentleman
10 certainly cleared that up. Thank you.

11 CHAIRMAN CARTER: Thank you.

12 Doctor Diaz, this probably has nothing to do with
13 your testimony, but just from your opinion -- and, parties, I
14 hope this is okay -- I just want to ask, you have a person with
15 this knowledge and expertise you hate to let it go without
16 using it.

17 Do you have some kind of feel, you know, based upon
18 your experience nationally in the movement in the country in
19 the context of nuclear power and in the context of whether or
20 not there may be some movement on storage and that sort of
21 thing for the spent rods and those kinds of things? I'm
22 justing asking -- it is kind of vague, but I would hate to have
23 you here and not ask you that and not take advantage of your
24 brain.

25 THE WITNESS: Yes, I think I know a little bit about

1 it. But take it with a grain of salt, because most of the time
2 I'm wrong on this issue. There has been movement during the
3 last two years in the Congress of the United States to reach
4 some compromise, and the compromise is going more and more to
5 the issue that nuclear power plants have means via the spent
6 fuel pools or dry cask to safely store the fuel for significant
7 periods of time.

8 At the same time there is a limit and an obligation
9 that the United States government has, and like the Chairman of
10 the Appropriations Committee told me once, we do not intend to
11 bankrupt the government because we are not fulfilling our
12 obligations. So there is a move to try to see if the fuel is
13 eventually moved, or especially the older fuel, the one that
14 has decayed the most, or has been longer in dry cask, move them
15 in stages to -- we don't want to use the word interim, because
16 the nuclear waste law says there will no be interim repository.
17 So we call it the temporary repositories, which are probably
18 going to be in special, you know, designated sites like
19 Savannah River Laboratory or the Hanford Reservation, places
20 that already have a significant amount of waste storage and
21 experience with handling.

22 At the same time, there is hope that Yucca Mountain
23 will eventually serve, you know, a purpose. It might be the
24 same purpose it was designed to, it might be a different
25 purpose, but so much money has been spent and so much is known

1 about Yucca Mountain that people are really saying it should be
2 used. There is a companion movement that goes back to where we
3 were 30 years ago looking at salt mines. We are already
4 storing the transuranium elements, the plutonium from the
5 weapons, we are storing them in a salt mine in New Mexico,
6 2000 feet below sea level in rock salt. Those are wonderful
7 storage spaces.

8 We have three such places in this country. But I
9 think that the bottom line is what are we going to put in a
10 repository, and I think that question has not been answered. I
11 think we will put all of the weapons, you know, legacy that
12 cannot be misused, I think we are going to put those
13 radioisotopes for which we have no use, but are we eventually
14 going to bury those things that are so valuable to mankind.
15 You know, the uranium and the plutonium and the transuraniums,
16 those things that we know how to handle and that have unique
17 value to us as a society. Does that answer your question?

18 CHAIRMAN CARTER: Thank you so kindly. I saw Mr.
19 Ross look like he was reaching for his objection button there.

20 MR. ROSS: No, Mr. Chairman, it was an excellent
21 question.

22 CHAIRMAN CARTER: Commissioners, any further
23 questions?

24 Commissioner McMurrin.

25 COMMISSIONER McMURRIAN: Thank you.

1 Unlike Ms. Krasowski, we won't get a chance to sit
2 down and chat with Doctor Diaz because of our very strict rules
3 that are there for a good reason, I might add. And so I do
4 want to ask you while you are here, Doctor Diaz. In your
5 opinion, how will utilities make a satisfactory showing of
6 waste confidence when they make their license applications to
7 the NRC?

8 THE WITNESS: The utilities don't make a waste
9 confidence determination, the NRC makes the waste confidence
10 determination. Waste confidence determination was established,
11 and I have done it twice, on the fact that there is a
12 confidence by the Commission that the United States government
13 will assume the responsibility of safely, you know, store,
14 dispose of spent fuel, or waste from the weapons, or any of
15 those materials that have high levels of radioactivity in a
16 manner that is conforming to the environmental loss of the
17 nation, conforming to the security of the nation, the common
18 defense and security, protection of public health and safety.
19 And, therefore, that determination has always been based on the
20 fact that the government is pursuing the issue.

21 There is an active roadmap. That roadmap, you know,
22 needs to be there. There has been discussions of the Congress
23 because of the problems with Yucca Mountain to say we are going
24 to make the determination. I think there is a strong
25 opposition to that because the Commission is -- and the NRC

1 Commission is an independent body of the government. We are
2 set to make decisions that are nonpolitical, that are unbiased,
3 that takes facts into effect, but the Commission will have to
4 have from the government the assurance that there is a pathway.
5 That pathway could include GNEP, it could include interim
6 repository, but the Commission will need, you know, a
7 determination by the Congress that this issue is resolved,
8 okay, within a certain, you know, period of time.

9 The date that it was put before was arbitrarily set
10 because the Department of Energy said they were going to have
11 Yucca Mountain running by that time. I think the Congress is
12 revisiting the issue. I do believe that waste confidence will
13 be maintained and we will realize that we are no different than
14 any other country in the world. No country in the world has a
15 geologic repository established. None, nobody. And the reason
16 is very simple is that it hasn't been needed because it is
17 safely and securely stored. It hasn't been economical. People
18 have not wanted to dispose of materials that they could then
19 use, and so everybody is kind of waiting to see who comes with
20 the best solution.

21 I think that people are getting very serious. France
22 just passed a law that will do that. Sweden is actually
23 beginning there escalations for a geologic repository. But I
24 believe that the GNEP and the combination of the potential for
25 new nuclear power plants coming in is going to be a force and

1 function that will provide resolution to the waste issue.

2 COMMISSIONER McMURRIAN: Thank you, Doctor Diaz. I
3 appreciate that.

4 CHAIRMAN CARTER: Commissioners, any further
5 questions?

6 Mr. Ross.

7 MR. ROSS: One question on redirect in response to
8 the staff's question regarding Germany.

9 REDIRECT EXAMINATION

10 BY MR. ROSS:

11 Q Doctor Diaz, do you know what the German carbon
12 emissions profile is for power plants in Germany compared to,
13 for example, the carbon emissions profile for a country like
14 France that relies more heavily on nuclear?

15 A Yes. The carbon emissions profile of Germany is --
16 actually, it not even in compliance with the Kyoto Protocol.
17 They actually use an averaging technique that included East
18 Germany to be able to determine the Kyoto Protocols, and that
19 is why they were able to use for saying that we could close the
20 power plants. If you do not use those averages, they are a
21 serious problem. And right now they are in serious problems we
22 think in the European community. Although they have developed
23 a significant amount of wind power, but that amount of wind
24 power which, you know, has a limited capacity factor, is not
25 sufficient. Yes, they are not even in competition with the

1 best. They are actually one of the worst country in western
2 Europe.

3 MR. ROSS: That is all the questions we have.

4 CHAIRMAN CARTER: Okay. Let's take up our exhibits.

5 MR. ROSS: Your Honor, we would move admission of
6 Exhibits 32 through 39 at this time.

7 CHAIRMAN CARTER: Any objections? With no objection,
8 show it done.

9 (Exhibits 32 through 39 admitted into the record.)

10 CHAIRMAN CARTER: Doctor Diaz, thank you so very
11 kindly for coming to be with us today. Very educational and
12 very thorough. You gave good answers.

13 THE WITNESS: It's my pleasure, sir.

14 CHAIRMAN CARTER: Mr. Butler, you are recognized.

15 MR. BUTLER: Shall we move on to our next witness?

16 CHAIRMAN CARTER: Yes, sir.

17 MR. BUTLER: We would call Doctor Green.

18 MR. HUNTOON: Thank you, Mr. Chairman and
19 Commissioners. My name is Steve Huntoon. I'm an attorney for
20 Florida Power and Light Company. I will be presenting Doctor
21 Green and Mr. Dennis Brandt to follow.

22 CHAIRMAN CARTER: Okay, excellent. Let me take a
23 moment here, Mr. Huntoon. Give me the correct spelling of your
24 name, because I will spell it phonetically. Being from South
25 Georgia, that wouldn't work.

1 MR. HUNTOON: Well, I'm told it's close.

2 H-U-N-T-O-O-N.

3 CHAIRMAN CARTER: Oh, I could have done that.

4 MR. HUNTOON: Doctor Green, I don't believe you have
5 been sworn?

6 THE WITNESS: No, I haven't.

7 CHAIRMAN CARTER: Would you please stand and raise
8 your right hand.

9 (Witness sworn.)

10 LEONARDO E. GREEN

11 was called as a witness on behalf of Florida Power and Light
12 Company, and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. HUNTOON:

15 Q Doctor Green, would you state your name and your
16 business address, please?

17 A Yes. My name is Leonardo Green, and my business
18 address is 1601 Bryan Street, Dallas, Texas 75214.

19 Q By whom are you employed and in what capacity?

20 A I am currently employed by Texas Utilities as Senior
21 Director of Finance. At the time this forecast was prepared, I
22 was employed by Florida Power and Light as Manager of Load
23 Forecasting.

24 Q Have you prepared and caused to be filed 16 pages of
25 prefiled direct testimony in this proceeding?

1 A Yes, I have.

2 Q Do you have any changes or revisions to your prefiled
3 direct testimony?

4 A No changes.

5 Q If I asked you the same questions contained in your
6 prefiled direct testimony today, would your answers be the
7 same?

8 A Yes, they would.

9 MR. HUNTOON: Chairman Carter, FPL requests that the
10 prefiled direct testimony of Doctor Green be inserted into the
11 record as though read.

12 CHAIRMAN CARTER: The prefiled testimony will be
13 accepted into the record as though read.

14 MR. HUNTOON: Thank you.

15 BY MR. HUNTOON:

16 Q Doctor Green, are you also sponsoring any exhibits to
17 your direct testimony?

18 A Yes, I am.

19 Q Do the exhibits consist of Documents LEG-1 through
20 LEG-12?

21 A Yes, they do.

22 MR. HUNTOON: Chairman Carter, I would note that
23 Doctor Green's exhibits have been premarked for identification
24 as Exhibits 40 through 51.

25 CHAIRMAN CARTER: Okay.

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **TESTIMONY OF LEONARDO E. GREEN**

4 **DOCKET NO. 07____-EI**

5 **OCTOBER 16, 2007**

6

7 **Q. Please state your name and business address.**

8 A. My name is Leonardo E. Green, and my business address is 1601 Bryan Street,
9 Dallas, Texas 75201.

10 **Q. By whom are you employed and what is your position?**

11 A. I am employed by Texas Utilities Energy (TXU) as the Senior Director of
12 Finance.

13 **Q. When did you begin your current position?**

14 A. I began my current position with TXU on October 1, 2007.

15 **Q. In what capacity are you sponsoring testimony for Florida Power & Light
16 Company (FPL) in this proceeding?**

17 A. I am sponsoring testimony for FPL as its former Manager of Load Forecasting
18 within the Finance Business Unit. I left that position in September of 2007. I
19 prepared FPL's load forecast and the other information that I sponsor in this
20 proceeding prior to leaving FPL.

21 **Q. Please describe your duties and responsibilities as FPL's Manager of Load
22 Forecasting.**

1 A. I was responsible for the development of FPL's peak demand, energy, economic,
2 and customer forecasts.

3 **Q. Please describe your educational background and professional experience.**

4 A. I earned a Doctor of Philosophy Degree in Economics from the University of
5 Missouri-Columbia in 1983. Prior to joining FPL, I was employed by Seminole
6 Electric Cooperative as the Load Forecasting Supervisor in the Rates and
7 Corporate Planning Department. In April of 1986, I joined FPL's Research,
8 Economics and Forecasting Department, as a Senior Forecasting Analyst. My
9 responsibilities included preparation, review, and presentation of the economic,
10 customer, and load forecasts for FPL. In August of 1986, I was promoted to
11 Supervisor of Economics and Forecasting within the Research, Economics and
12 Forecasting Department. In 1991, I became Manager of Load Forecasting within
13 the Resource Assessment and Planning Business Unit. I am responsible for
14 coordinating the entire economic and load forecasting effort at FPL.

15

16 In addition, I have held several Assistant Professorships of Economics and
17 Statistics as well as research and teaching positions with the University of
18 Missouri, Florida International University, and the University of South Florida.

19 **Q. Are you sponsoring any exhibits in this case?**

20 A. Yes. I am sponsoring Exhibits LEG-1 through LEG-12, which are attached to my
21 direct testimony.

22 Exhibit LEG-1 Total Average Customers

23 Exhibit LEG-2 Summer Peak Load Per Customer

1	Exhibit LEG-3	Summer Peak Load
2	Exhibit LEG-4	Winter Peak Load Per Customer
3	Exhibit LEG-5	Winter Peak Load
4	Exhibit LEG-6	Summer Peak Weather
5	Exhibit LEG-7	Florida Real Personal Income
6	Exhibit LEG-8	Net Energy for Load Use Per Customer
7	Exhibit LEG-9	Net Energy for Load
8	Exhibit LEG-10	Non-Agricultural Employment
9	Exhibit LEG-11	Real Price of Electricity
10	Exhibit LEG-12	Impact of the 2005 Energy Policy Act Adjustment

11 **Q. Are you sponsoring any sections in the Need Study?**

12 A. Yes. I am sponsoring the load forecast portion of Section V.A.1 and Appendix D
13 of the Need Study. I am also co-sponsoring Appendix C.

14 **Q. What is the purpose of your testimony?**

15 A. The purpose of my testimony is to describe FPL's load forecasting process,
16 identify the underlying methodologies and assumptions, and present the forecasts
17 used in the Need Study submitted by FPL in this proceeding. I will also explain
18 how these forecasts were developed and why they are reasonable.

19 **Q. Please summarize your testimony.**

20 A. My testimony addresses FPL's summer and winter peak demand forecasts, the
21 energy sales forecast and the customer forecast. I explain how these forecasts are
22 developed and why they are reasonable. My testimony also demonstrates that
23 peak demand will continue to show strong growth in both summer and winter

1 peaks. FPL is expected to add approximately 8,272 MW of summer peak demand
2 and 9,626 MW of winter peak demand between 2006 and 2020. My testimony
3 also shows that FPL is projecting continued strong customer growth in the next
4 fifteen years, and for energy sales to increase by 3.9% in 2007, and 3.8% in 2008.
5 Over the longer-term, 2009 to 2020, the annual average growth rate in sales is
6 estimated to be approximately 2.9%.

8 DESCRIPTION OF FPL'S EXISTING CUSTOMER BASE

9
10 **Q. Please describe FPL's service territory.**

11 A. FPL's service territory covers approximately 27,650 square miles within
12 peninsular Florida, which ranges from St. Johns County in the north to Miami-
13 Dade County in the south, and westward to Manatee County. FPL serves
14 customers in 35 counties within this region.

15 **Q. How many customers receive their electric service from FPL?**

16 A. FPL currently serves more than 4.49 million customers, as shown on Exhibit
17 LEG-1, and a population of more than 8 million people.

18 19 FPL'S LOAD FORECASTING PROCESS AND RESULTS

20
21 **Q. Please describe FPL's forecasting process.**

22 A. FPL relies on econometrics as the primary tool for projecting future levels of
23 customer growth, energy sales, and peak demand. An econometric model is a

1 numerical representation, obtained through statistical estimation techniques, of the
2 degree of relationship between a dependent variable, e.g., the level of energy
3 sales, and the independent (explanatory) variables, which I describe in the
4 following paragraph. A change in any of the independent variables will result in a
5 corresponding change in the dependent variable. On a historical basis,
6 econometric models have proven to be highly effective in explaining changes in
7 the level of customer or load growth. These models have consistently been used
8 by FPL for various planning purposes and the modeling results have been
9 reviewed and accepted by this Commission in past regulatory proceedings.

10
11 Predicting the level of the dependent variable in future years requires assumptions
12 regarding the levels of the explanatory variables. Explanatory variables include
13 assumptions on the future number of customers, projected economic conditions,
14 weather, and the price of electricity, each of which is obtained from various
15 sources. For example, the future number of customers is based on population
16 projections produced by the University of Florida's Bureau of Economic and
17 Business Research (BEBR). The projected economic conditions are secured from
18 reputable economic forecasting firms such as Global Insight (formerly known as
19 DRI-WEFA). The weather factors are obtained from the National Oceanographic
20 and Atmospheric Administration (NOAA). The price of electricity reflects the
21 Commission-approved base rates and adjustment clauses.

1 **Q. Does FPL assess the reasonableness of the explanatory variables?**

2 A. Yes. FPL has reviewed and assessed the assumptions regarding the explanatory
3 variables and has concluded they are reasonable. This ensures that the forecast of
4 customers, energy sales, and peak demand are both realistic and rational. A
5 comparison of the historical growth in Real Personal Income for Florida
6 corresponding to different periods with Global Insight's projected Real Personal
7 Income is shown on Exhibit LEG-8. The comparison clearly indicates that Global
8 Insight's forecast of Florida Real Personal Income for the period between 2006 to
9 2008 may not be in line with history. Based on this analysis, FPL concluded that
10 the projected growth in Real Personal Income for Florida produced by Global
11 Insight was overly optimistic and would lead to incremental needs in capacity that
12 may not be realistic. To account for this fact, in preparing this load forecast FPL
13 used an annual growth in real personal income for Florida similar to the growth
14 observed during the last five years, which averaged 3.2% per year.

15

16 **FPL'S CUSTOMER GROWTH FORECAST**

17

18 **Q. Please explain the development of FPL's customer growth forecast.**

19 A. The growth in customers in FPL's service territory is the primary driver of the
20 growth in the level of energy sales and peak demand. In order to project the
21 growth in the number of customers, FPL relies on population projections
22 produced by BEBR. Once a year, BEBR updates its population projections for
23 the state of Florida on a county-by-county basis. FPL's customer growth forecast

1 is based on BEBR's population projections for counties in FPL's service area,
2 released in April of 2006. BEBR includes the potential effects of depressed
3 customer growth as a result of the 2004 and 2005 hurricane seasons.

4 **Q. What is FPL's customer growth forecast?**

5 A. Florida's population and economy are expanding at levels well above the national
6 average. FPL is projecting an annual average increase of 84,768 new customers
7 for the next fourteen years as shown on Exhibit LEG-1. The annual average
8 projected growth of 84,768 in new customers is slightly lower than the historical
9 annual average of 85,882 for the years 1996-2006. These historical customer
10 growth numbers reflect the effect of the 2004 and 2005 hurricanes on customer
11 growth. Absent the elevated number of hurricanes, the historical customer growth
12 would have been higher. The projected customer growth is in line with the
13 population growth assumptions prepared by the University of Florida.

14 **Q. In addition to population changes, what other factors are considered in
15 projecting FPL's customer growth?**

16 A. Factors such as the performance of Florida's economy, affordability index, job
17 opportunities, and international conflicts are also important determinants of
18 growth in FPL's service territory. Florida is still experiencing a period of robust
19 growth in population and this expansion has resulted in a surge of construction of
20 new homes to house this population. The optimistic outlook in the housing
21 market resulted in an over-building of new residences but given the strong growth
22 in population, real estate experts agree that this excessive stock of homes should
23 be absorbed in the next 12 to 18 months. Anecdotally, it is also mentioned that

1 baby boomers are taking advantage of the low mortgage rates to secure housing
2 for their upcoming retirement. In addition, the value of the dollar vis-à-vis the
3 Euro suggests that Florida's real estate market is attractive for foreign investors.
4 This expanded demand for housing and the jobs created are responsible in part for
5 the recent strong growth in the number of FPL customers. This increased
6 demand, higher insurance costs, property taxes and high price of housing in
7 Florida drastically raised the cost of living and affordability index for Florida.
8 This increase in the affordability index and higher inflation, primarily as a result
9 of higher fuel prices, are limiting the potential growth in customers to a certain
10 extent. This explains why projected customer growth is slightly lower than the
11 customer growth experienced in recent years in the face of a more favorable state
12 economy.

13 **Q. What is FPL's most current customer forecast?**

14 A. FPL's most current customer forecast is shown in Exhibits LEG-1. This is a
15 result of an updated projection of population from BEBR as well as observed
16 recent history of customer growth in FPL service territory.

17 **Q. Is FPL's customer growth forecast reasonable?**

18 A. Yes. The forecast incorporates the most recent available projections made by the
19 University of Florida at the time the forecast was developed.

20

21

FPL'S PEAK DEMAND FORECAST

22

23 **Q. What is FPL's process to forecast summer peak demand?**

1 A. The rate of absolute growth in FPL system load has been a function of a larger
2 customer base, weather conditions, continued economic growth, changing
3 patterns of customer behavior (including an increasing stock of electricity-
4 consuming appliances) and more efficient heating and cooling appliances. FPL
5 developed the peak demand models to capture these behavioral relationships.

6
7 The summer peak forecast is developed using an econometric model. The model
8 is a per-customer model that includes: the real price of electricity, Florida real
9 personal income as an economic driver, average temperature on peak day and a
10 heat buildup variable weather consisting of the sum of the cooling degree hours
11 during the peak day and three prior days. The forecasted summer peak usage per
12 customer is shown on Exhibit LEG-2. The forecasted summer peak usage per
13 customer is multiplied by the projected total customers to derive FPL's system
14 summer peak as shown on Exhibit LEG-3.

15 **Q. What is FPL's process to forecast winter peak demand?**

16 A. Like the system summer peak model, the winter peak model is also an
17 econometric model. The winter peak model is a per-customer model that includes
18 two weather-related variables: the square of the minimum temperature on the
19 peak day and Heating Degree Hours from the prior day until 9:00 a.m. of the peak
20 day. In addition, the model also has an economic term, Florida real personal
21 income. The winter peak usage per customer is shown on Exhibit LEG-4. The
22 projected winter peak load per customer value is multiplied by the total customers
23 to derive FPL's system winter peak as shown on Exhibit LEG-5.

1 **Q. What is FPL's process to forecast monthly peak demands?**

2 A. The forecasting process consists of the following:

- 3 - Development of the historical seasonal factor for each month by using
4 ratios of historical monthly peaks to seasonal peak (Summer = April-
5 October; Winter = November-March).
6 - Application of the monthly ratios to their respective seasonal peak forecast
7 (summer and winter peaks) to derive the peak forecast by month. This
8 process assumes that the seasonal factors remain unchanged over the
9 forecasting period.

10 Monthly peak forecasts are used in generation planning and also provide
11 information for the scheduling of maintenance for power plants and fuel
12 budgeting.

13 **Q. What were FPL's actual peaks during 2006?**

14 A. FPL experienced a summer peak of 21,819 MW in 2006, which is 457 MW lower
15 than the all time record peak for FPL's service territory of 22,276 MW
16 experienced in 2005. This equates to a decrease of 2.1 percent from the 2005
17 summer peak, and is shown on Exhibit LEG-3. The winter peak for 2005/2006
18 was only 19,682 MW, well below the all time high winter peak of 2002/2003,
19 which was 20,190 MW, as shown on Exhibit LEG-5.

20 **Q. Please summarize the peak demand forecasts.**

21 A. The fourteen year summer peak demand is projected to grow from 21,819 MW in
22 2006 to 30,091 MW by the year 2020 or 8,272 MW in absolute terms as shown in
23 Exhibit LEG-3. By the year 2018, the projected summer peak should reach

1 28,737 MW, a growth of 6,918 MW relative to 2006. By 2021, the summer peak
2 is expected to increase by 2,043 MW from 2018 as shown in Appendix D of the
3 Need Study. The winter peak grows from 19,682 MW in the winter of 2005/2006
4 to 27,994 MW in the winter of 2017/2018 or 8,312 MW in absolute terms as
5 shown in Exhibit LEG-5. For the winter of 2019/2020 the winter peak demand is
6 estimated to reach 29,308 MW or a growth of 9,626 MW. The apparent
7 accelerated growth in the winter peak forecast is a reflection of the fact that in the
8 2005/2006 winter season, FPL's service territory did not experience a "normal"
9 winter peak, which diminishes the base value against which these projected peaks
10 are compared.

11 **Q. What estimated impact did the 2005 Energy Policy Act have on FPL summer**
12 **peak demand forecast?**

13 A. In 2005, Congress passed the Energy Policy Act mandating certain appliance
14 efficiency standards and insulation for new construction, which is expected to
15 reduce energy demand in the future. FPL estimated the 2005 Energy Policy Act
16 would reduce the projected peak demand from approximately 133 MW in 2006 to
17 as much as 1,256 MW in the year 2014. The annual estimated impact of the 2005
18 Energy Policy Act is shown on Exhibit LEG-12. To arrive at FPL's projected
19 peak demand values used in the Need Determination, the estimated impacts were
20 deducted as line item adjustments from the originally projected peaks for the
21 corresponding years.

22 **Q. What weather assumptions does FPL assume for the summer peak**
23 **projections?**

1 A. In putting together the summer peak demand forecast, FPL relies on a normal
2 weather outlook. Normal weather is defined as an average of the hourly
3 temperatures for summer peak days over the years 1948 through 2006. The actual
4 temperature values for 1985 to 2006 and those projected from 2007 onward are
5 shown on Exhibit LEG-6.

6 **Q. Is FPL's need for power driven by the demand forecast, the sales forecast, or
7 both?**

8 A. FPL's need for power, i.e., the amount of resources needed, is driven by the peak
9 demand forecast because FPL's needs are currently determined by the summer
10 reserve margin criterion. While FPL uses both a reserve margin and Loss of Load
11 Probability reliability criteria, the reserve margin criterion driven by the peak load
12 forecast has established the magnitude of the resource need for many years. This
13 fact is addressed in the Need Study.

14 **Q. Is FPL's load forecast reasonable for planning purposes?**

15 A. Yes. FPL's load forecast is based on reasonable assumptions, is consistent with
16 historical experience, and is consistent with methodologies previously approved
17 by the Commission.

18

19

FPL'S ENERGY SALES FORECAST

20

21 **Q. Please describe the process FPL used to forecast energy sales.**

22 A. The forecast of energy sales consists of three steps. First, an econometric model
23 is developed for total Net Energy for Load (NEL), which is energy generated net

1 of plant use. An econometric model for NEL is more reliable than models for
2 billed energy sales because the explanatory variables can be better matched to
3 usage. This is so because the NEL data does not have to be attuned to account for
4 billing cycle adjustments, which might distort the real time match between the
5 production and consumption of electricity.

6
7 Next, a line loss factor and a billing cycle adjustment are applied to the NEL to
8 arrive at total use of electricity by the customer. Finally, revenue class models are
9 developed to distribute the forecast of total end-use sales of electricity to the
10 different revenue classes, i.e., residential, commercial, and industrial.

11
12 To project energy sales by revenue class, separate models for the residential,
13 commercial, and industrial revenue classes are developed. These revenue class
14 models are developed to obtain an objective allocation of the total energy sales
15 among FPL's different revenue classes. The sum of the sales for all revenue
16 classes will result in total energy sales. The energy sales for each revenue class
17 are then adjusted to reflect the total energy sales derived from the NEL model.

18 **Q. What are the primary inputs to determine the growth in energy sales?**

19 A. The growth in energy sales comes from the overall growth in the number of new
20 customers as shown on Exhibit LEG-1 and use per customer as shown on Exhibit
21 LEG-8. The product of per capita use and the number of customers yields the
22 NEL for a given period as shown in Exhibit LEG-9. The per capita use of
23 electricity and the increased number of new customers are both linked directly to

1 the performance of the local and national economies. When the economy is
2 booming, the use of electricity increases in all sectors. A strong economy creates
3 new jobs that attract new customers. Under these conditions, new households
4 develop, including those of retirees from other states. However, the reverse also
5 holds true. If the economy is performing poorly, customers with reduced incomes
6 are more apprehensive as to expenditures and tend to restrict their consumption of
7 goods and services. Electricity demand and sales slacken when incomes fall. Job
8 contractions reduce the number of new customers coming to Florida seeking
9 employment opportunities, and new household formations are postponed. FPL
10 relies on the outlook for the state and national economy produced by Global
11 Insight.

12 **Q. What were the basic economic assumptions included in the forecast?**

13 A. Florida's economy has continued to grow at a strong pace and is expected to
14 continue this trend into the foreseeable future. The strong population growth is
15 largely due to baby boomers approaching retirement and the availability of jobs.
16 Florida has been outperforming the national economy, as shown in Exhibit LEG-
17 10, and that pattern is projected to continue. The strong population growth will
18 result in increased demand for various services and new homes; thus, these two
19 sectors are leading the growth for Florida's economy. This forecast also reflects
20 that, as a consequence of the hurricanes in 2004 and 2005, there will still be
21 substantial reconstruction activity and infusion of insurance funds into the local
22 economy. Furthermore, the reconstruction activity fuels the manufacturing sector

1 to service this reconstruction with construction material, furniture and
2 transportation equipment.

3 **Q. What is the price of electricity assumed in the forecast?**

4 A. The real price of electricity assumed is shown in Exhibit LEG-11. The real price
5 of electricity is substantially higher in the early and latter part of the projected
6 period. The forecast of real price of electricity reflects the projected fuel prices
7 and inflation factor used in the current Need Determination proceedings.

8 **Q. What is the vintage of the Price of Electricity used in the Need Determination
9 Load Forecast?**

10 A. The price of electricity forecast used in the Peak and Energy forecast is based on a
11 fuel forecast produced by FPL in August of 2006.

12 **Q. What is FPL's energy sales forecast?**

13 A. In 2006, due primarily to mild weather and high price of electricity, FPL's energy
14 use per customer was - 0.4% below 2005, but with a projected increase of 1.9% in
15 2007, and 1.7% in 2008, as shown in Exhibit LEG-8. The longer term compound
16 annual average growth in use per customer is projected to be 1.2% annually after
17 2009. Customer growth was projected at 2.0% for 2007 and 2.1% for 2008 and
18 then an average of 1.7% for the next 12 years. Combining the energy use per
19 customer and the growth in customers, yields a growth in energy sales estimated
20 at 3.9% in 2007, and 3.8% in 2008, and then an average of 2.9% for the next 12
21 years, as shown in Exhibit LEG-9.

1 **Q. Is FPL's forecast of energy sales reasonable?**

2 A. Yes. A forecast is considered reasonable if good judgment is used in estimating
3 (availing oneself of the appropriate and most credible assumptions on hand) and
4 testing the model and if the results or outputs make sense when compared to prior
5 similar situations. FPL followed this approach in preparing the forecast.

6

7 The models employed by FPL have good descriptive statistics with high degrees
8 of statistical significance. FPL is confident that the relationship that exists
9 between the level of energy sales and the economy, weather, customers, price of
10 electricity, and other variables have been properly assessed and numerically
11 quantified.

12 **Q. Does this conclude your direct testimony?**

13 A. Yes.

1 BY MR. HUNTOON:

2 Q Doctor Green, have you prepared a summary of your
3 direct testimony?

4 A Yes, I have.

5 Q Would you please provide it to the Commission?

6 A Sure. Good afternoon, Commissioners. The purpose of
7 my testimony is to describe the load forecasting process,
8 identify the methodologies and assumptions that are used, and
9 present the results of these forecasts that are used in this
10 need determination.

11 My testimony demonstrates that FPL will continue to
12 experience good growth in the future. In fact, we are
13 predicting that between 2007 and 2020 we are going to add just
14 over 8,000 megawatts of new peak demand and about
15 12,500 megawatts of winter peak demand.

16 FPL relies on econometrics to do their forecasting.
17 We have used that in many proceedings and they have proven to
18 be very, very effective in doing a good forecast. The growth
19 is determined primarily by population growth, the economy,
20 weather, and price. And we rely on the best sources for this
21 information. For example, total population projections. We go
22 to the University of Florida. The economic outlook is provided
23 to us by Global Insight. The weather information comes from
24 NOAA, the National Oceanographic and Atmospheric
25 Administration, and the price of electricity is the approved

1 base rates by this Commission, plus the also approved fuel
2 budget. Once we have all of these assumptions, we feed them
3 into the models that we have developed and that yields the
4 forecast that I just mentioned. We believe that we have a good
5 forecast and that should be used in this need determination.

6 That concludes my summary.

7 MR. HUNTOON: Mr. Chairman, Doctor Green is available
8 for cross examination.

9 CHAIRMAN CARTER: Mr. Beck.

10 MR. BECK: No questions.

11 CHAIRMAN CARTER: Ms. Krasowski.

12 (Transcript continues in sequence with Volume 6.)
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF FLORIDA)

 :

COUNTY OF LEON)


CERTIFICATE OF REPORTER

I, JANE FAUROT, RPR, Chief, Hearing Reporter Services Section, FPSC Division of Commission Clerk, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorney or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 1st day of February, 2008.



JANE FAUROT, RPR
Official FPSC Hearings Reporter
(850) 413-6732