


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. UNDOCKETED

In the Matter of:

UNDOCKETED FILINGS FOR 2009 RE:
2009 HURRICANE SEASON PREPARATION
BRIEFING BY ELECTRIC UTILITIES AND
THE THREE MAJOR INCUMBENT LOCAL
EXCHANGE CARRIERS.



PROCEEDINGS: HURRICANE PREPAREDNESS WORKSHOP

COMMISSIONERS
PARTICIPATING: CHAIRMAN MATTHEW M. CARTER, II
COMMISSIONER LISA POLAK EDGAR
COMMISSIONER KATRINA J. McMURRIAN
COMMISSIONER NANCY ARGENZIANO
COMMISSIONER NATHAN A. SKOP

DATE: Wednesday, May 6, 2009

TIME: Commenced at 9:30 a.m.
Concluded at 12:51 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: LINDA BOLES, RPR, CRR
JANE FAUROT, RPR
Official FPSC Reporters
(850) 413-6732/(850) 413-6734

DOCUMENT NUMBER - DATE

05007 MAY 20 08

FPSC-COMMISSIONER CLEGG

1 PARTICIPATING:

2 RICHARD SHAHEEN, Florida Power & Light
3 Company.

4 JASON CUTLIFFE, Progress Energy Florida.

5 REGAN HAINES, Tampa Electric Company.

6 ANDY McQUAGGE, Gulf Power Company.

7 BUDDY SHELLEY, Florida Public Utilities.

8 JODY FINKLEA, Florida Municipal Electric
9 Association and Florida Municipal Power Association.

10 PAUL KALV, City of Leesburg.

11 MICHELLE HERSHEL, Florida Electric
12 Cooperatives Association.

13 JODY DOTSON, Glades Electric Cooperative.

14 TRACY HATCH, JENNIFER CAIN, KIRK SMITH, JEFF
15 PATTON and DAVE CUNDIFF, AT&T Florida.

16 CHRIS CARDENAS, DAVID CHRISTIAN and BRETT
17 REELFS, Verizon.

18 SANDRA KHAZRAEE, Embarq Florida.

19 KEINO YOUNG, ESQUIRE, and STEVE GARL, Florida
20 Public Service Commission.

I N D E X

	NAME :	PAGE NO.
1		
2		
3		
4	RICHARD SHAHEEN	11
5	JASON CUTLIPFE	22
6	REGAN HAINES	32
7	ANDY McQUAGGE	40
8	BUDDY SHELLEY	58
9	MICHELLE HERSHEL	65
10	JODY DOTSON	66
11	JODY FINKLEA	78
12	PAUL KALV	80
13	KIRK SMITH	90
14	JEFF PATTON	94
15	DAVE CUNDIFF	99
16	CHRIS CARDENAS	104
17	SANDRA KHAZRAEE	116
18		
19		
20		
21		
22		
23		
24	CERTIFICATE OF REPORTERS	127
25		

P R O C E E D I N G S

1
2 **COMMISSIONER McMURRIAN:** Good morning,
3 everyone, and welcome to the 2009 Hurricane Season
4 Preparation Workshop.

5 Staff, would you please read the notice.

6 **MR. YOUNG:** By notice issued April 10th, 2009,
7 by the Commission Clerk this time and place has been set
8 for a workshop in the undocketed matter. The purpose of
9 the workshop is set out in the notice.

10 **COMMISSIONER McMURRIAN:** Thank you, Mr. Young.
11 Mr. Chairman, are you with us?

12 **CHAIRMAN CARTER:** I am with you, Commissioner,
13 Madam Chairman. I wanted to say good morning to you and
14 I wanted to let you know that to avert any telephone
15 disasters like I had yesterday, staff has given me a
16 website that I can go on and watch. So I'll just be
17 participating and then I'll go online and watch. And if
18 I have any questions, I'll call in.

19 **COMMISSIONER McMURRIAN:** Okay. Thank you, Mr.
20 Chairman. We will wave at you every once in a while.

21 **CHAIRMAN CARTER:** Thank you very much.

22 **COMMISSIONER McMURRIAN:** All right. Thank you
23 for that. And I guess we'll go ahead and take
24 appearances. And we'll start --

25 **MR. HAINES:** Regan Haines, Tampa Electric

1 Company.

2 **MR. CUTLIFFE:** Jason Cutliffe, Progress
3 Energy.

4 **COMMISSIONER McMURRIAN:** Thank you.

5 **MR. SHELLEY:** Buddy Shelley with Florida
6 Public Utilities.

7 **MR. McQUAGGE:** Andy McQuagge, Gulf Power
8 Company.

9 **MS. HERSHEL:** Michelle Hershel, Florida
10 Electric Cooperatives Association, and I have Jody
11 Dotson with Glades Electric Cooperatives.

12 **COMMISSIONER McMURRIAN:** Thank you.

13 **MR. SHAHEEN:** Richard Shaheen, Florida Power &
14 Light Company.

15 **COMMISSIONER McMURRIAN:** Thank you.

16 **MS. FINKLEA:** Jody Finklea, Florida Municipal
17 Electric Association. And I have Paul Kalv, Utility
18 Director of the City of Leesburg.

19 **COMMISSIONER McMURRIAN:** Thank you.

20 **CHAIRMAN CARTER:** I didn't hear -- I'm sorry,
21 Madam Chairman. I didn't hear the last person.

22 **COMMISSIONER McMURRIAN:** Just a second, Mr.
23 Chairman. They didn't come to a microphone. We could
24 hear them pretty well in here.

25 **CHAIRMAN CARTER:** I'm sorry.

1 **COMMISSIONER McMURRIAN:** That's okay. We'll
2 get them to repeat it.

3 **MS. FINKLEA:** My apologies, Mr. Chairman.
4 Jody Finklea, Florida Municipal Electric Association,
5 with Paul Kalv, Utility Director of the City of
6 Leesburg.

7 **COMMISSIONER McMURRIAN:** Thank you.

8 **MR. HATCH:** This is Tracy Hatch with AT&T
9 Florida, also with Jennifer Cain, Kirk Smith and the
10 usual suspects.

11 **COMMISSIONER McMURRIAN:** Thank you.

12 **MR. CHRISTIAN:** David Christian with Verizon
13 Communications. With me is Chris Cardenas and Brett
14 Reelfs, R-E-E-L-F-S.

15 **COMMISSIONER McMURRIAN:** Thank you.

16 **MS. KHAZRAEE:** Sandy Khazraee with Embarq.

17 **COMMISSIONER McMURRIAN:** Thank you,
18 Ms. Khazraee.

19 And now with our staff.

20 **MR. YOUNG:** Keino Young and Steve Garl with
21 Commission staff.

22 **MR. GARL:** Steve Garl, Commission staff.

23 **COMMISSIONER McMURRIAN:** Thank you all. And I
24 should say that Commissioner Edgar is under the weather
25 this morning as well, so we'll do our best. I don't

1 think that we've had a swine flu outbreak, just to let
2 everyone know, and hopefully we'll be back to full
3 strength by next week. But our thoughts are with
4 everyone, including you, Mr. Chairman.

5 **CHAIRMAN CARTER:** Thank you.

6 **COMMISSIONER McMURRIAN:** And I guess we'll get
7 started and I'll open up with a few remarks.

8 In 2006, the Commission adopted a multifaceted
9 approach and a response to ensure all utilities'
10 infrastructures will be better able to withstand the
11 impact of hurricanes and to implement lessons learned
12 from the 2004 and 2005 storm seasons. We adopted ten
13 storm hardening initiatives and required IOUs to file
14 formal storm hardening plans.

15 In our July 2007 report to the Legislature we
16 cited our most critical recommendation that Florida
17 maintain a high level of storm preparation. The annual
18 Hurricane Season Preparation Workshop provides utilities
19 and local exchange companies a forum to advise us of
20 their individual hurricane season preparation
21 activities. This is the fourth year that we've done
22 this.

23 The hurricane forecasting experts at Colorado
24 State University updated their forecast for the 2009
25 hurricane season just last month. Their report tells us

1 to expect that the 2009 season will have about as much
2 activity as the average season. Specifically they
3 expect 12 named storms in the Atlantic Basin, including
4 the Gulf of Mexico, with six reaching hurricane status
5 and two of the six growing to Category 3, 4 or 5 in
6 intensity.

7 Next slide. To put this forecast into
8 perspective, the projection for the 2008 hurricane
9 season was for a well above average season with 15 named
10 storms, eight reaching hurricane status, and four of the
11 eight growing to Category 3, 4 and 5 in intensity. The
12 actual 2008 storm activity is shown in the slide now
13 being displayed. You will note there were 16 storms,
14 eight reaching hurricane intensity and five major
15 hurricanes. Florida was fortunate not having a
16 hurricane make landfall in the state last year, but we
17 didn't escape nature's wrath entirely. Our challenge
18 last year was Tropical Storm Faye, as many of you
19 remember. After making an unprecedented four landfalls
20 in Florida, the slow-moving storm left us with as much
21 or more damage than many hurricanes. We hope to be
22 spared an active hurricane season this year and even
23 tropical storms like Faye. Nonetheless, preparedness is
24 still key.

25 Historically we have seen that the single

1 greatest detriment to hurricane preparation is time,
2 specifically time since the last storm. As a Commission
3 we must remain diligent and not allow the time between
4 hurricanes to lull us into complacency. We must do all
5 we can in preparation to protect the consumers of our
6 great state.

7 Therefore, today we ask each of our presenters
8 here to address the status of their company's
9 preparation for the 2009 hurricane season. Please
10 include the status of work achieved to protect
11 facilities to date, work in progress and work to be
12 accomplished in the near future.

13 Finally, we ask that you specifically and
14 frankly address items of concern or areas of
15 vulnerability within your service areas. It's
16 understood that while the electric utilities own the
17 vast majority of the electric transmission and
18 distribution infrastructure in the state, local exchange
19 companies own many of the poles upon which the electric
20 utility infrastructure is placed. The ILECs therefore
21 also have a vital role in preparation for the hurricane
22 season.

23 We welcome everyone's participation today.
24 And before we get started with the presentations, I'll
25 just ask if any Commissioners would like to make any

1 opening comments or if, or if staff would?

2 **COMMISSIONER SKOP:** No opening.

3 **CHAIRMAN CARTER:** Madam Chairman, I'd just
4 like to say that this is, as you said, our fourth year
5 doing this, and we do this to be proactive, to protect
6 lives and also to save property, and I think it shows
7 that Florida is a leader in the nation in terms of what
8 we're doing with our storm hardening and our
9 preparedness for hurricanes and disasters and all. And
10 I really, I appreciate all of the participation of all
11 of the parties, both those that we regulate and those
12 that we don't regulate. And I just, I think this is a
13 great opportunity for us in a nonadversarial way to
14 prepare for the best and hope for -- I mean prepare for
15 the worst and hope for the best. Thank you.

16 **COMMISSIONER McMURRIAN:** Thank you, Mr.
17 Chairman.

18 And, Mr. Young, any comments?

19 **MR. YOUNG:** No.

20 **COMMISSIONER McMURRIAN:** Okay. Well, I guess
21 we'll get started with the presentations. And I believe
22 first up we'll hear from Florida Power & Light Company.
23 And any of you throughout the day are welcome to either
24 come to the podium or come to the microphones. As long
25 as we have you at a microphone for the court reporter,

1 that will be fine for me. Thank you.

2 Mr. Shaheen.

3 **MR. SHAHEEN:** Thank you, and good morning,
4 Commissioners and staff. My name is Richard Shaheen. I
5 am FPL's Senior Director of Distribution, Engineering
6 and Technical Services. Included in my responsibilities
7 are oversight of FPL's storm restoration and
8 preparedness activities, hardening and pole inspection
9 program.

10 Thank you for providing us the opportunity to
11 review FPL's hurricane preparedness plans for the 2009
12 storm season. My presentation will address activities
13 and results for our distribution and transmission
14 systems.

15 Let me start off first by saying FPL is well
16 prepared and we are ready to respond should our
17 communities be faced with hurricane activity this year.
18 Additionally, our continued efforts to improve our
19 systems and processes as well as strengthen our
20 distribution and transmission infrastructure are also
21 better preparing us for storm seasons as well.

22 FPL's hurricane preparations are a year-long
23 effort that is concentrated on four key elements.
24 First, we continue to strengthen our distribution and
25 transmission infrastructure. This is being accomplished

1 through our hardening plans, our pole inspection
2 programs and our vegetation management programs, all of
3 which have been reviewed and approved by the Commission.

4 Second, as we do every year, we're preparing
5 our storm organization, ensuring we have the right
6 people in the right roles with the necessary training
7 and knowledge so that they can respond quickly and
8 safely.

9 Third, we continue to improve our already
10 well-tested restoration plan by incorporating lessons
11 learned and utilizing technology.

12 Finally, we continue to look for ways to
13 provide more and better information for our customers.

14 Now let me discuss each of these elements in a
15 little more detail.

16 Hardening. Hardening is a key component of
17 our plan to strengthen our infrastructure. For our
18 distribution system FPL is using a three-prong approach.

19 One, we're hardening our critical
20 infrastructure facilities, for instance, hospitals,
21 911 centers, police and fire stations to the National
22 Electric Safety Code extreme wind loading criteria.

23 Two, we're incrementally hardening what we
24 refer to as our community projects. These are major
25 thoroughfares where key community needs are located like

1 grocery stores, gas stations and pharmacies.

2 And, three, we're utilizing our new design
3 guidelines to construct all new facilities, major
4 planned work and relocation projects, as well as our
5 daily work activities to the extreme wind loading
6 criteria.

7 For critical infrastructure we've initially
8 concentrated on infrastructure serving acute care
9 facilities throughout our system. Since 2007 we have
10 hardened infrastructure serving 77 acute care
11 facilities. For 2009, an additional 44 of these
12 projects are planned, resulting in by the end of this
13 year all acute care facilities and hospitals in our
14 service territory being hardened.

15 Further, in 2009 we have begun to harden
16 911 centers, EOCs and police and fire facilities. We
17 also continue to target what we refer to as critical
18 poles such as poles where our lines cross major
19 interstate highways or the first feeder poles outside
20 our substations referred to as the 01 switch, which are
21 critical to expediting restoration efforts. The
22 combination of 93 of these projects are planned for
23 2009. And, finally, since 2007 we have completed
24 incremental hardening on 55 community projects and plan
25 to complete an additional 11 in 2009.

1 With FPL's transmission system already
2 constructed to extreme wind loading criteria, our
3 original plan for hardening the transmission system
4 centered on replacing single unguyed wood poles and
5 replacing ceramic post insulators on concrete
6 structures. In 2008, FPL enhanced this plan to replace
7 all wood transmission structures in our system. This is
8 a long-term effort which we estimate will take us 25 to
9 30 years to complete, but will result in an even
10 stronger transmission system than we have today in the
11 end.

12 Since 2007 FPL has replaced 3,437 wood
13 transmission structures and 1,366 ceramic post
14 insulators. In 2009 we're planning to replace over
15 900 wood structures as well as 1,200 ceramic post
16 insulators on 400 concrete structures. Although the
17 slide says 400 post insulators, it's 1,200 insulators on
18 400 structures.

19 Pole inspections. FPL began the
20 implementation of its eight-year distribution pole
21 inspection program in May of 2006 ensuring that each
22 pole meets strength and loading requirements. At the
23 end of 2008 FPL has inspected approximately one-third of
24 its 1.1 million poles and is on target with its
25 eight-year pole inspection cycle.

1 In 2009 we again plan to inspect approximately
2 one-eighth of our poles, nearly 140,000 inspections.
3 These pole inspections are taking place throughout our
4 entire service territory.

5 All of our transmission structures are
6 required to be inspected on a six-year cycle. In 2008
7 we met this requirement and for 2009 we will again meet
8 this requirement by inspecting at least one-sixth of our
9 system.

10 Additionally, to complement our distribution
11 hardening and storm preparation efforts we plan to
12 complete inspections on all 500kV lines and transmission
13 facilities serving critical infrastructure facilities
14 before June 1. These inspections are underway and on
15 schedule to be completed as planned.

16 Vegetation management. Like hardening,
17 vegetation management is a key component in our plan to
18 strengthen the infrastructure. For 2008 we executed and
19 met our plan to maintain our feeders on a three-year
20 average trim cycle and continued to implement our
21 approved six-year average trim cycle plan for laterals.
22 In 2009 we will do the same.

23 Consistent with our efforts over the last
24 couple of years, we're complementing the trimming of all
25 lines serving our top critical infrastructure facilities

1 prior to June 1. Today we're over 95 percent complete,
2 and we'll be 100 percent complete by the June 1 target.

3 Finally, as we all know, no vegetation
4 management program can be effective without the
5 cooperation of our customers. We continue our proactive
6 promotion of our "Right Tree - Right Place" program with
7 our community leaders to ensure that future planting of
8 trees will avoid conflicts with our lines. Also, we
9 continue seeking their support in trying to remove
10 existing trees that are interfering with our lines.

11 The vegetation management plan for FPL's
12 transmission right-of-way is very straightforward.
13 Twice a year we inspect all of our transmission
14 right-of-way and we make sure that the required NERC
15 standard clearances are maintained. This was completed
16 in 2008, and we are on schedule to complete this again
17 in 2009.

18 Annual preparations. Each year we ensure that
19 all storm roles and key personnel are identified and
20 placed into the right roles. We conduct extensive
21 training, including our annual hurricane dry run
22 exercise. This year's exercise will actually be held
23 tomorrow. This is a company-wide exercise that includes
24 our field as well as support personnel. The exercise
25 tests our systems and processes to ensure they're ready.

1 As in the past, we have invited several officials from
2 county EOCs to join us during the dry run to further
3 improve our understanding of one another's storm
4 operations. Also, we're continuing our efforts to
5 integrate the incident command system concepts as
6 outlined by the National Incident Management System in
7 order to better facilitate communications with both
8 state and county EOCs.

9 Additionally, the roles of our forensic teams
10 are now formally established within the storm
11 organization. These teams are responsible for
12 observations and the collection of data associated with
13 damaged infrastructure. This will allow us to better
14 understand how our infrastructure performed, thus
15 providing valuable lessons for future evaluation and
16 action.

17 Restoration plans. Our restoration plan has
18 one clear objective: To safely restore our customers',
19 our communities' critical infrastructure functions and
20 needs along with the greatest number of customers in the
21 shortest time possible. For the 2009 storm season all
22 of our resource plans are in place. For example, we
23 have the necessary arrangements for catering, housing,
24 water, staging sites throughout our system, equipment
25 for these sites, arrangements with foreign utilities

1 through our mutual assistance agreements, agreements
2 with contract crews and increased material and fuel
3 inventories. We also continue to make refinements in
4 our plans as a result of lessons learned through our own
5 experience, benchmarking storm processes with other
6 utilities and leveraging new technologies such as Google
7 Earth tools along with our distribution management and
8 asset management systems.

9 And once power is restored, our work is still
10 not done. That's when our recovery plan takes over.
11 We've refined and improved these plans as well. For
12 example, we've refined our final patrol sweep processes
13 to ensure that all infrastructure damage is identified,
14 repaired and returned to pre-storm condition.

15 Communications. After the 2004 and 2005 storm
16 seasons, we learned that communicating with our
17 customers and communities can be just as important to
18 them as our restoration efforts. As a result, we meet
19 annually with county emergency managers to identify
20 critical infrastructure locations within each
21 jurisdiction. We also make certain that we've assigned
22 representatives to support each of the 27 county and
23 seven satellite EOCs located throughout our service
24 territory.

25 We have a dedicated government update website

1 to be utilized for major storm events. This has been
2 customized to provide media alerts and releases,
3 customer outage information and maps specific to
4 municipalities, critical infrastructure facility
5 information, staging site locations, crew work location
6 maps, as well as estimated times of restoration
7 information.

8 In 2008, FPL enhanced its e-mail distribution
9 process targeting key messages to all governmental
10 audiences. FPL also sponsored workshops at the
11 Governor's Hurricane Conference and the National
12 Hurricane Conference discussing with government and
13 community leaders about how to bring communities back to
14 normal after severe storm events. Additionally, FPL's
15 community outreach teams conducted over 250
16 presentations including the topic of storm readiness.

17 And, finally, the most frequent question asked
18 of us: "When will my power be back on?" In response
19 we've made improvements to our outage communication
20 system that will allow us to provide even more detailed
21 estimates of times of restoration.

22 Commissioners, we were again all asked to
23 address in our presentations any areas of concern or
24 vulnerability. Our four items mentioned here are the
25 same as last year.

1 The first one is that it's likely that our
2 service territory will be affected by a storm or storms
3 before we're able to complete all of our hardening
4 efforts. As you know, we've made significant changes in
5 our construction standards which require certain
6 portions of our system to be upgraded, and our system is
7 geographically large and diverse. Unfortunately these
8 changes will take many years to complete.

9 The other three items include concerns and
10 vulnerabilities that are common to all, yet their nature
11 make them difficult to fully prepare for. Being
12 affected by multiple storms over a short time period
13 like we experienced in 2004 and 2005, catastrophic
14 storms like Hurricane Andrew or Hurricane Katrina that
15 can destroy everything in their path, and a shortage of
16 sufficient resources, whether it be materials, equipment
17 and/or personnel, while some of these are beyond our
18 control and means, we still do what we can to reasonably
19 mitigate these occurrences.

20 In summary, FPL is confident that it's well
21 prepared for the 2009 season. Our hardening, vegetation
22 management and pole inspection -- and pole inspection
23 plans and programs are strengthening our system. Our
24 storm organization is in place, well trained and ready.
25 We've refined our already well-tested restoration plan.

1 And, lastly, we're in position to better communicate
2 with our customers.

3 We, like all of you, are hoping for an
4 inactive hurricane season. However, should hurricanes
5 affect our communities in 2009, FPL is ready to respond.
6 Thank you.

7 **COMMISSIONER McMURRIAN:** Thank you,
8 Mr. Shaheen.

9 Are there any questions?

10 **MR. GARL:** Yes, ma'am.

11 **COMMISSIONER McMURRIAN:** Go ahead, Mr. Garl.

12 **MR. GARL:** Mr. Shaheen, is FPL represented in
13 all 27 counties' emergency operations center operations
14 when they're activated?

15 **MR. SHAHEEN:** As the EOCs are activated, we
16 coordinate and staff every one of those EOCs.

17 **MR. GARL:** Okay. In, in those counties that
18 are served by more than one utility does FPL's county
19 emergency operations center representative coordinate
20 with that other utility's representatives?

21 **MR. SHAHEEN:** As, as the situations occur,
22 those representatives at the EOC are there and able to
23 respond. So part of their purpose is to help coordinate
24 at the local county level. So if some of that
25 coordination is necessary, that would be a key point for

1 that to take place.

2 **MR. GARL:** Thank you. And one final question.
3 Subject to your own needs for FPL's restoration, can
4 other utilities in Florida, including munis and co-ops,
5 obtain supplies such as poles from FPL after a storm?

6 **MR. SHAHEEN:** You know, it's going to depend
7 on the circumstances at the time. Certainly we, we
8 coordinate at local levels and at a combined command
9 center level to help where we can. So that, that
10 potential exists. I don't know of an experience
11 personally to draw upon to, to give you an example, but
12 certainly those sorts of coordination are something that
13 we would work out.

14 **MR. GARL:** Okay. Thank you very much.

15 **COMMISSIONER McMURRIAN:** Thank you,
16 Mr. Shaheen. I guess that's all for now.

17 **MR. SHAHEEN:** Thank you very much.

18 **COMMISSIONER McMURRIAN:** Thank you. And
19 Mr. Cutcliffe.

20 **MR. CUTLIFFE:** Good morning, Mr. Chairman,
21 Commissioners. I'm Jason Cutcliffe, the Director of
22 Distribution Asset Management with Progress Energy
23 Florida. And my responsibilities include major storm
24 restoration, preparation, planning and execution, as
25 well as distribution system hardening.

1 I appreciate the opportunity to report to you
2 the status of Progress Energy Florida's 2009 storm
3 season preparation. In summary, our transmission and
4 distribution systems have been well maintained and
5 thoroughly inspected. Our storm response organization
6 is drilled and prepared, and critical labor and material
7 resources have been obtained in advance or secured
8 through commitments from external suppliers.

9 Our T&D delivery infrastructure performed well
10 during the recent hurricane seasons, and we have
11 improved the system since that time. We've taken
12 additional aggressive steps to harden our system in
13 conjunction with the Public Service Commission
14 initiatives such as the wood pole inspection process,
15 ongoing ten-point preparedness plan and storm hardening
16 docket.

17 Our hurricane restoration operational plan
18 functioned well in 2004 and 2005 and we continue to make
19 improvements. All lessons learned from drills, storms
20 and other utility experience has been incorporated into
21 our written response plan and is included in our 2009
22 hurricane drill conducted this week. Progress Energy's
23 organization and T&D delivery system are prepared for
24 the 2009 hurricane season.

25 I will now review the four key components of

1 our annual storm plan: The distribution system
2 readiness, transmission system readiness, organizational
3 readiness and coordination with local governments.

4 Distribution system inspection, maintenance
5 and replacement work is the cornerstone of Progress
6 Energy's overall annual resource work plan. Manpower
7 and material needs are identified in the prior year to
8 ensure that all work is prioritized, constructed
9 efficiently and completed on schedule. The wood pole
10 plant is on a firm eight-year cycle for inspections and
11 maintenance and is in compliance with the Commission's
12 storm preparedness initiative. Inspections are targeted
13 and prioritized. Since this time last year over 96,000
14 wood poles have been inspected, 36,000 treated for decay
15 and 3,000 replaced. Other 2009 system maintenance
16 activities include over 650 pad mount transformer
17 replacements and 96,000 circuit feet of hardening pilot
18 projects.

19 Our 2008 vegetation management program is on
20 schedule and 2009 is starting off on schedule as well.
21 As of April 30th of this year, 100 percent of our
22 3,800 backbone circuit miles have been surveyed and
23 100 percent of our priority pruning and tree removal
24 will be complete by June 1st. We've removed over
25 1,200 trees, hot spot trimmed over 6,800 trees and

1 applied herbicide to nearly 200 miles of right-of-way
2 floor.

3 Progress Energy has implemented the Public
4 Service Commission's ten-point preparedness plan as
5 well. All planned audits of joint use attachments were
6 completed in 2008 and are on schedule in 2009. A GIS
7 upgrade was completed in the fourth quarter of 2008, and
8 post-storm forensic data collection teams have been
9 formed and were deployed following Tropical Storm Faye.

10 We've increased linkage and engagement with
11 the academic community through continuing work with the
12 University of Florida's Public Utility Research Center.
13 As part of this effort we worked with UF's staff and
14 other utilities to assimilate statewide weather station
15 data into the forensics process and standardized the
16 data that is collected during the forensic patrols.
17 And, as mentioned earlier, review and update of our
18 written hurricane restoration operational plan is
19 complete.

20 Finally, as described in our storm hardening
21 plan filed in 2007, we continue to deploy a
22 comprehensive process to identify, prioritize and
23 analyze storm hardening options within our service
24 territory.

25 The transmission system readiness begins with

1 structure inspections and system maintenance. In 2008,
2 inspections were completed on 104 transmission circuits,
3 which included over 11,900 structures. Over 6,700 wood
4 pole structures were inspected, and more than
5 1,900 replaced with steel or concrete in accordance with
6 NESC extreme wind design.

7 Since 2006 we have replaced 5,467 wood poles
8 with steel or concrete on the transmission system. The
9 vast majority of our system is comprised of wood poles
10 which we are systematically replacing via maintenance
11 upgrades, DOT relocations and line rebuilds. Aerial
12 patrols of all circuits were completed last month and a
13 second pass will be completed in October. Inspections
14 have also been completed on all of our 461 substations
15 and critical follow-up maintenance identified through
16 those inspections is complete. 2009 vegetation
17 management work is also on schedule. Since this time
18 last year over 360 circuit miles have been trimmed and
19 cleared, which include 7,000 trees trimmed and the
20 removal of over 1,900 danger trees. And the PSC
21 ten-point storm preparedness plan and storm hardening
22 rule have been implemented, including enhanced GIS
23 capability, post-storm forensic data collection,
24 PSC-initiated inspection cycles, and most notably the
25 hardening of transmission structures continues through

1 wood pole replacement with concrete and steel.

2 The annual storm plan review and update
3 process is also complete for the 2009 season. This
4 year -- new this year was enhanced, enhancement of
5 proactive communication to critical care customers.
6 Prior to a hurricane making landfall, customers
7 identified in our system as having critical care needs
8 receive a phone call, and Progress Energy phone center
9 agents provide information concerning preparation for
10 the storm. This information includes locations of
11 various shelters equipped to provide critical care
12 assistance and a reminder to check the working condition
13 of backup life support equipment.

14 Progress Energy will complete its annual storm
15 drills on Friday, May 8th. Individual storm
16 organizations and process owners are tested on their
17 preparation efforts and ability to react to changing
18 storm conditions. This year's drill scenario is based
19 on a Category 2 hurricane entering from the Gulf of
20 Mexico over Hernando County and moving easterly across
21 Central Florida impacting all four of Progress Energy's
22 regions and then exiting near Daytona Beach. The drills
23 were designed to clearly demonstrate readiness for the
24 2009 season.

25 We've also taken steps to ensure that critical

1 restoration material and fuel are ready and available
2 for multiple sources. Inventory levels of critical
3 materials have been increased over and above normal
4 stock levels in preparation for the upcoming storm
5 season. Our supply chain organization has assembled 16
6 storm kits at our central warehouse. These storm kits
7 have been staged at each region in the central warehouse
8 and the kits contain enough emergency material to supply
9 400 linemen for up to three days.

10 Our transmission organization has also
11 increased its inventory of poles, insulators and other
12 critical hardware to supply contract and company
13 resources for three to five days, and we've negotiated
14 retainer contracts with fuel, with fuel vendors to
15 ensure fuel needs are met, arrangements that also
16 improve access to fuel when sending Progress Energy
17 repair crews off-system in support of our mutual
18 assistance partners in Florida and elsewhere. Even
19 though we have supplier agreements in place, these
20 additional measures ensure that restoration can begin as
21 soon as weather clears.

22 External line and tree trimming resources are
23 critical components of a successful restoration effort.
24 We've taken steps to ensure they are ready and available
25 through arrangements with the contractors and

1 relationships with the other utilities through regional
2 mutual assistance organizations such as the Edison
3 Electric Institute and the Southeastern Electric
4 Exchange.

5 Our communication and coordination with local
6 governments and EOCs is stronger than ever. We've
7 established a cross-functional government coordination
8 team to ensure a high level of critical information
9 sharing and engagement in both internal and external
10 storm planning and preparation activities. Progress
11 Energy is equipped to provide local governments with
12 resource and restoration information before, during and
13 after storm events to assist them with local emergency
14 response.

15 In 2007, the ability to produce electronic
16 outage information for each county EOC during storm
17 events was introduced. By placing PE, Progress Energy
18 contacts inside county EOCs and sharing information
19 we're able to incorporate local government restoration
20 priorities into our overall plan.

21 We've also continued the "Know Where You Grow"
22 program, which informs the public and community
23 organizations on the most compatible tree species to
24 place near power lines, and we cosponsor public expos
25 and emergency first responder events designed to educate

1 and increase preparedness.

2 In conclusion, Progress Energy's transmission
3 and distribution systems which performed well in the
4 2004 and 2005 seasons have been checked, maintained and
5 hardened; the storm response organization is drilled and
6 prepared; and internal and external resources have been
7 secured or committed.

8 At this point I'd like to comment on areas of
9 concern or vulnerability, and, like others you'll hear
10 today, they center around two main areas. One would be
11 the intensity or frequency of hurricanes that could make
12 landfall in Florida, and the other would be impacts to
13 the availability of restoration resources. We were
14 reminded of that this week with the Swine Flu outbreak
15 and the need to be prepared in advance with pandemic
16 plans. All of those things could affect our ability to
17 respond in a major event. And we deal with those by
18 ensuring that we reach as far and wide as we can to all
19 partners and providers that could provide assistance in
20 a major event and ensure we have strong relationships
21 there.

22 As a seven-time Edison Electric Institute
23 emergency award winner, Progress Energy has a track
24 record of high performance. The most recent EEI
25 assistance award was presented in March and given for

1 our efforts in support of Entergy and CenterPoint in
2 Texas. We've taken steps to ensure our system continues
3 to perform well, steps that include initiatives
4 implemented since the PSC began its ongoing storm
5 hardening efforts. Progress Energy's organization and
6 T&D systems are prepared for the 2009 hurricane season.

7 Thank you, Commissioner. That concludes my
8 prepared remarks, and at this time I'll take any
9 questions.

10 **COMMISSIONER McMURRIAN:** Thank you.

11 Any questions? Mr. Garl, go ahead.

12 **MR. GARL:** In addition to its own preseason
13 storm drill that you mentioned would happen this Friday,
14 has Progress Energy participated in any county storm
15 drills?

16 **MR. CUTLIFFE:** Yes, we have. The larger
17 counties in our territory that conduct more, more
18 detailed and comprehensive storm drills, we provide the
19 same person who is assigned as the EOC liaison in a
20 major event to each of those counties as they do their
21 drill on preparation to ensure the contact.

22 **MR. GARL:** All right. Thank you very much.
23 Thank you, Commissioner.

24 **COMMISSIONER McMURRIAN:** Okay. Quicker than I
25 thought. Thank you, Mr. Cutliffe. And now we'll hear

1 from Tampa Electric, Mr. Haines.

2 **MR. HAINES:** Good morning, Mr. Chairman,
3 Commissioners and staff. My name is Regan Haines. I'm
4 Director of Engineering for Tampa Electric Company, and
5 I appreciate the opportunity this morning to be here
6 with you and discuss Tampa Electric's activities and
7 accomplishments as we prepare for the upcoming storm
8 season.

9 My briefing today will cover Tampa Electric's
10 storm preparation activities which employ a multi-prong
11 approach and includes ensuring our system infrastructure
12 is constructed and maintained in such a manner that it
13 will be able to perform during a major storm event;
14 coordination exists with our local governmental
15 agencies, community groups and other utilities; and
16 pre-storm season preparation activities such as
17 training, mock storm drills and inventory reviews have
18 occurred. Tampa Electric continues to improve on each
19 of these elements, and we are prepared for the upcoming
20 storm season.

21 Hardening our system infrastructure is a key
22 element of Tampa Electric's storm preparation plan.
23 This includes the three storm hardening programs put in
24 place by this Commission back in 2006 and consists of
25 the eight-year wood pole inspection program, the

1 ten-point plan initiatives and the three-year storm
2 hardening plans filed by each utility in 2007.

3 As part of our eight-year wood pole inspection
4 program, Tampa Electric inspects approximately 39,000
5 distribution poles each year, which led to the hardening
6 of over 2,800 distribution wood poles by either
7 reinforcement or replacement in 2008. In addition, over
8 170 structural repairs were made as a result of these
9 inspections that will also harden our system. These
10 inspections also include performing wind loading
11 analysis on all joint use poles, and the company targets
12 having repairs made that were required by these
13 inspections prior to the peak of storm season.

14 Tampa Electric hardens its transmission system
15 through the company's eight-year wood pole inspection
16 program and six-year transmission structure inspection
17 program. The aboveground inspections were performed by
18 helicopter to identify issues such as broken crossarms,
19 cracked insulators, woodpecker holes and potential
20 conductor problems. In addition, a wind load screening
21 analysis was performed on structures with joint use
22 attachments to ensure that the National Electrical
23 Safety Code extreme wind criteria is met. Our annual
24 infrared helicopter patrol was completed this past
25 January, and the 2009 aboveground inspections were

1 completed in February. Finally, ground patrols are
2 underway with a goal of patrolling all 230kV, 138kV and
3 69kV transmission circuits by the peak of storm season.
4 Repairs have been made and, in total, 650 wooden
5 structures were replaced with steel or concrete
6 structures in 2008 on the transmission system.

7 Tampa Electric's vegetation management program
8 is another key element of storm hardening and it's
9 critical to both the day-to-day reliability of our
10 system as well as preparing our system for hurricane
11 season. The company is transitioning to a three-year
12 tree trim cycle on our distribution system which
13 includes all main feeders and laterals and plans to
14 increase the level of trimming by 30 percent in 2009,
15 with a goal to be at a three-year cycle by the end of
16 2010. On the transmission system the company patrols
17 all 230kV circuits as well as critical 138 and 69kV
18 circuits twice a year for vegetation issues.

19 As outlined in the company's ten-point plan,
20 it is essential that we coordinate our activities with
21 the telecommunications, cable and other utilities that
22 may attach to our poles. In 2008, the company completed
23 the physical audit of its joint use poles that it began
24 back in 2007. It is the company's goal to complete this
25 type of joint use audit every three years, and we'll

1 begin a new audit in 2010. This will help ensure that
2 each of our poles has been designed to accommodate
3 everything that's attached to it and that they meet the
4 company's wind loading criteria. The company has also
5 held meetings with our third party attachers to review
6 and coordinate our storm hardening plans and specific
7 storm hardening projects.

8 In addition, Tampa Electric completed
9 implementation of a new geographical information system
10 or GIS in June of 2008 which will improve data access to
11 our engineers, inspectors and construction and
12 maintenance teams and provide more timely and accurate
13 system information. We continue to participate with the
14 Public Utility Research Center or PURC at the University
15 of Florida and the other Florida utilities in joint
16 research on various storm hardening initiatives such as
17 the benefits of undergrounding, wind data collection and
18 vegetation management practices. And our post-storm
19 forensic analysis process has been established and is
20 ready to be implemented should we experience a major
21 storm event.

22 In addition to the previous activities
23 mentioned that will benefit Tampa Electric and its
24 customers this hurricane season, I also want to briefly
25 mention some of the storm hardening items that were

1 approved in our three-year hardening plan filed in 2007.
2 A key element of the plan that has been benefiting Tampa
3 Electric customers for many years is our distribution
4 system construction standard. While the National
5 Electrical Safety Code's Grade C criteria is utilized by
6 most utilities, Tampa Electric's construction standard
7 utilizes Grade B criteria, which is 50 percent stronger
8 than Grade C.

9 Tampa Electric has also committed to evaluate
10 extreme wind construction standards for its distribution
11 system serving critical facilities, and it has completed
12 one project serving Saint Joseph's Hospital and is
13 partially completed with a second project which serves
14 the Port of Tampa. These projects will be part of a
15 pilot program to evaluate the benefits of utilizing NESC
16 or National Electrical Safety Code extreme wind loading
17 standards for distribution systems, and the company will
18 monitor the performance of this system following a major
19 storm event.

20 The Port of Tampa project is highlighted in a
21 brief video clip shown on this slide that was shared
22 with local media and our customers.

23 (Video clip shown.)

24 A little technical difficulty there, but I
25 think you get the idea.

1 Some of the other hardening projects that the
2 company completed last year include the conversion of
3 four overhead distribution interstate crossings to
4 underground, the conversion of our remaining 4kV
5 overhead distribution system to our standard 13kV, and
6 the inspection and repair of nine network protectors in
7 low-lying areas of downtown Tampa. We also plan to
8 convert another four overhead distribution interstate
9 crossings to underground this year, as well as test
10 additional network protectors in downtown Tampa.

11 As part of our three-year storm hardening
12 plan, Tampa Electric is transitioning to a new standard
13 for all pad mounted equipment, transitioning from mild
14 steel to stainless steel, and the company will also
15 establish pilot projects this year to evaluate the
16 performance of submersible switchgear and storm secure
17 break away overhead service connectors.

18 While a hardened electric service system will
19 reduce outages following a major storm event,
20 coordinated hurricane planning with emergency operation
21 centers is paramount to ensure a synchronized response.
22 Tampa Electric emergency management coordinates with the
23 local governmental agencies like the EOCs, hazard
24 mitigation groups, those fire departments acting as
25 EOCs, regional planning councils and other utilities on

1 an ongoing basis. These meetings consist of review of
2 the critical facilities in our service territory,
3 developing and updating communication and response plans
4 and a discussion of any special coordination needs
5 during a response.

6 The company also participates and helps
7 develop many training exercises and workshops for
8 governmental and private industry groups, and some of
9 the 2008 workshops included working with the U.S. Coast
10 Guard, the City of Tampa and Hillsborough County.

11 Finally, as storm season approaches each year,
12 Tampa Electric performs several pre-storm season
13 activities that assists in the company's preparations.
14 These include a review and update of our disaster
15 recovery plans and circuit priorities with the county
16 EOCs and a mock storm circuit patrol training exercise
17 to familiarize new personnel on what to look for and how
18 to assess and document system damage. All inventory
19 levels of storm material will be reviewed and ordered,
20 and on May 14th the company will conduct a mock storm
21 exercise with several functional areas within the
22 company that are involved in restoration activities.

23 We have also reviewed and updated our storm
24 damage model that is used to estimate the number of
25 personnel and material resources needed based on the

1 predicted strength, size and landfall of a hurricane.

2 Before summarizing, I would also like to
3 address our areas of concern of vulnerabilities, and for
4 us the major concern would be a direct hit of a
5 hurricane up the mouth of Tampa Bay and the storm surge
6 that, that that type of storm would bring, as well as
7 what's been mentioned with multiple hurricanes back to
8 back in a short period of time and the limited resources
9 that would be available should multiple utilities in the
10 state be impacted by the storms.

11 In summary, Tampa Electric continues to make
12 improvements to its storm preparedness activities each
13 year including the number of inspections and repairs
14 made, the amount of tree trimming performed,
15 implementing our storm hardening plans, increase in the
16 coordination with our local governmental groups,
17 communities and fellow utilities, and improving our
18 pre-storm season training programs. Tampa Electric is
19 well prepared and ready for the upcoming 2009 storm
20 season.

21 Thank you, Commissioners, and this concludes
22 my presentation.

23 **COMMISSIONER McMURRIAN:** Thank you,
24 Mr. Haines.

25 Any questions? Mr. Garl.

1 **MR. GARL:** Mr. Haines, are any of your lines
2 attached to poles that are owned and maintained by
3 telecommunications companies?

4 **MR. HAINES:** Yes, they are.

5 **MR. GARL:** Do those poles meet the same
6 standards as your poles?

7 **MR. HAINES:** Those poles would meet the
8 standards set by the pole owner. So not necessarily
9 would be an answer to your question.

10 **MR. GARL:** Okay. Thank you.

11 Thank you, Commissioner.

12 **COMMISSIONER McMURRIAN:** Thank you,
13 Mr. Haines.

14 And now we'll hear from Gulf Power Company.
15 Mr. McQuagge.

16 **MR. McQUAGGE:** Good morning, Mr. Chairman and
17 Commissioners. My name is Andy McQuagge. I'm the Power
18 Delivery Services Manager for Gulf Power Company, and I
19 will be providing our 2009 preparedness briefing this
20 morning.

21 Our storm preparedness activities basically
22 fall into two main categories: Storm hardening projects
23 and initiatives, which encompass our vegetation
24 management program, our inspection and maintenance
25 programs, our extreme wind loading projects, our Grade B

1 construction, and our third-party attachers and local
2 government coordinating; the second category is our
3 storm restoration and recovery plan which includes our
4 recovery plans, our annual storm drill, our Southern
5 Company affiliate and mutual assistance support, and
6 employee awareness.

7 In the area of transmission vegetation
8 management, on our 444 miles of 230 kV transmission, our
9 ground inspections are 100 percent complete, and all
10 vegetation hazards that have been identified have been
11 corrected. On our 1,037 miles of 115 kV, our ground
12 inspections are at 80 percent complete, and the
13 vegetation hazards that have been identified are being
14 corrected as we go, and we are on schedule to be
15 completed with both the inspections and the corrections
16 by June 1st of 2009.

17 On our 114 miles of 46 kV right-of-way, we
18 plan to start those inspections on June 1st, with a
19 schedule completion of June 30th for the inspections and
20 the corrections.

21 In the area of distribution vegetation
22 management, in the area of mainline trim in which we
23 trim -- do a full maintenance trim of one-third of our
24 system each year, we are at 100 percent and have
25 completed all 289 mainline miles. On our mainline

1 inspection and correction schedule, which is actually
2 the other two-thirds of our mainline feeders, we have
3 completed all 527 mainline miles. So all 816 miles of
4 our main feeders have been inspected and corrected.

5 On our lateral trim, which is 1/6th of our
6 system each year, we have 843 miles scheduled for 2009,
7 and we are in the process of that program right now, and
8 we have completed to date 250 miles.

9 And in our off right-of-way danger tree
10 removal program, we typically do that in the last
11 quarter of the year, but to date in that program we have
12 removed 13,600 trees since 2007 when we implemented that
13 program.

14 In the area of inspections and maintenance for
15 our transmission system, the complete transmission
16 system has been flown aurally once this year. We do
17 that quarterly. We will have another one done in either
18 May or June. Our comprehensive walking/climbing
19 inspection of our structures, which is a six-year
20 program, it commenced on May 1st and we will be complete
21 with that by fall of '09.

22 In addition to that, we have storm hardened by
23 additional guying 63 structures. We have replaced
24 year-to-date 62 wood arms with cross arms, which is
25 28 percent of the total that we plan to do for the year,

1 and we have looked at 79 of the 100 structures, steel
2 structures that we have scheduled for 2009. All of our
3 wood ground line treatment inspections for 2009, which
4 was 990 poles, have been completed.

5 In the area of distribution pole inspections,
6 we have completed our second year of our eight-year
7 inspection cycle, and we did that in the last quarter of
8 2008. Those inspections were contracted to Osmose. We
9 met our target of inspecting 1/8th of our wood poles,
10 which is for Gulf Power about 33,000 poles. We actually
11 looked at a little over 35,000 poles last year.

12 In the area of joint use audits, pole strength
13 assessments, we look at 500 poles each year. In 2008,
14 we actually looked at 516. We had one failure due to
15 loading, and those repairs have been completed. In
16 2009, we have identified the 500 poles that we will be
17 looking at. The slide says that we have completed
18 two-thirds of it, we are actually at about 80 percent
19 now, and we have identified five to six poles that will
20 possibly need to be replaced.

21 We continue to conduct our semi-annual
22 third-party attachers meetings, and I will go into a
23 little more detail later on in the presentation, but we
24 held our face-to-face meetings in Pensacola and Panama
25 City during February of this year. Our annual feeder

1 inspections with our field engineering personnel in our
2 eastern and central districts is 100 percent complete,
3 and all issues that were found have been corrected. In
4 our western district, we are 95 percent on our patrols,
5 and we anticipate that all the patrols and corrections
6 will be made by June 1st.

7 In addition to that, we do an annual infrared
8 inspection with thermal imaging cameras. We have
9 completed those inspections and are in the process of
10 prioritizing the issues that we found and we will be
11 addressing those in the upcoming months.

12 We have completed our transition to Grade B
13 construction that we implemented in 2008, and we have
14 completed training for all of our field personnel on
15 Grade B construction. We continue to do that as new
16 employees come into the power delivery area so that we
17 make sure that everybody understands what we are trying
18 to accomplish with the Grade B construction.

19 In the area of extreme wind loading projects,
20 the focus of these projects has been on interstate
21 crossings and lines that serve critical infrastructure.
22 My second bullet here is actually incorrect, and I would
23 like to review the EWL projects that we have and give
24 you a status on each.

25 Basically, we have six projects instead of

1 seven. There's 22 Interstate 10 crossings, of which
2 will be -- they are in various design and construction,
3 but all will be complete by June 1st. We have seven
4 I-110 (phonetic) crossings that will be complete by
5 June 1st. The primary and backup feeds to Gulf Breeze
6 Hospital is in the design phase. Our sewage treatment
7 facility in Ocean City is in the design phase and will
8 be completed before year end. Our fuel depot project in
9 Valparaiso is scheduled to be completed by July 1st, and
10 our Sacred Heart facility in Destin, that project is
11 complete.

12 In addition to the EWL projects we have
13 listed, we have also in addition to the PURC weather
14 monitoring stations, Gulf Power is installing our own
15 weather monitors. We have presently installed and have
16 active 12 locations, and many of these are in proximity
17 to our EWL projects. We did this so that we will have
18 weather data to compare -- wind data to compare in the
19 event we have a major event this summer. We have seven
20 additional sites that will be on-line and completed
21 before year end, which will give us a total of 19, which
22 will complete that project.

23 In the area of third-party attachers, we
24 continue to have our on-going meetings with our
25 third-party attachers. We do those twice a year. We

1 held our face-to-face meetings in Pensacola on
2 February 4th and in Panama City on February 8th. They
3 have been very well attended by all of our third-party
4 attachers, and in those meetings we distribute area
5 maps, contact names, numbers, e-mail addresses, and we
6 provide all of that to our third-party attachers.

7 In addition, we go over what our Grade B
8 construction standards are. We review our extreme wind
9 loading projects. We go over our 500 pole inspection
10 program with them, and we give them a feel of what we
11 are seeing with our on-going OSMOSE program, so that
12 they know what transfers that they may be facing.

13 In addition to that, following a major event,
14 AT&T and Gulf Power will each have a member of their
15 staff and the others CEMC, or emergency management
16 system, emergency management center. We hope that this
17 will expedite -- since we are primarily the first two
18 attachers on poles, we hope this will expedite
19 restoration for both of us, and then allow the other
20 third-party attachers to attach.

21 In the area of local government coordination,
22 our district and local managers interact with city and
23 county officials on a daily or weekly basis, and that
24 includes emergency preparedness as needed. We have EOC
25 representatives at all the major counties in our service

1 territory. There are a couple of small counties that we
2 don't, but they have a one point of contact that they
3 know who to get with at Gulf Power.

4 You can see the list of the planned storm
5 drills for the major counties in our service area, and
6 we will be participating in each of those storm drills
7 as they are held. And any others that we are made aware
8 of, we will also participate.

9 Our storm recovery plan, our 2009 storm
10 procedures are completed. Our employees have received
11 their storm assignments. Our storm training and
12 refresher courses are underway. We have our storm
13 contracts in place. We are ramping up our storm stock.

14 All of our staging sites have been pre-mapped,
15 and so if we have to activate those we know exactly
16 where everything will be set up. And we are our
17 forensic data process in place and it has been tested.

18 In the area of mutual assistance, we continue
19 to be an active member of the Southeastern Electric
20 Exchange, and we have our sister Southern Company
21 affiliates that we can call on for support with Alabama
22 Power, Georgia Power, and Mississippi Power.

23 My areas of concern would be consistent with
24 what the other utilities have proposed this morning,
25 multiple events or an event back to back before

1 restoration is fully completed. I share the concern of
2 resources being available as the economy has been scaled
3 back. The utilities have scaled back their contractors
4 and in turn contractors have scaled back their work
5 forces. Our customers expectations for quick
6 restoration times are high, and it just may involve us
7 having to go further away to get resources in the event
8 we have a major event. Sorry, I got behind in my
9 slides.

10 In summary, Gulf is fully prepared. We are on
11 target with our transmission and distribution storm
12 hardening initiatives. We continue our on-going
13 coordination with government and community groups,
14 third-party attachers, and other utilities. Our storm
15 recovery plan is proven and battle tested as evidenced
16 by our response in the 2004/2005 storm seasons with Ivan
17 and Dennis. We continue to make improvements based on
18 lessons earned. We are in the process of doing our
19 training and refreshers, and they continue to be
20 on-going. And we have experienced teams necessary and
21 ready in the event we do have a major event this summer.

22 And that concludes my presentation. Is there
23 any questions?

24 **COMMISSIONER McMURRIAN:** Thank you.

25 Mr. Garl.

1 **MR. GARL:** Thank you, Commissioner.

2 Mr. McQuagge, we know that Gulf will be participating in
3 drills with four of the counties in your service areas.
4 Are there similar activities with other counties in
5 Gulf's service area?

6 **MR. McQUAGGE:** In our eastern district, I had
7 asked when the Bay County drill was, and we did not
8 receive word back, but we will participate in that drill
9 when we are made aware of when it is.

10 **CHAIRMAN CARTER:** Madam Chairman --

11 **MR. McQUAGGE:** We do participate in any drill
12 that we are asked to.

13 **COMMISSIONER McMURRIAN:** Mr. Chairman.

14 **CHAIRMAN CARTER:** Yes, ma'am. I did have a
15 question.

16 **COMMISSIONER McMURRIAN:** Go ahead.

17 **CHAIRMAN CARTER:** I noticed that the gentleman
18 from Gulf was talking about cutting back on contractors
19 and services and things. I didn't get the basis for
20 that in terms of -- it seems like to me in the time of
21 need you would need to add on, but I didn't get the
22 basis of why he was cutting back on those services as
23 well as cutting back on contractors that would help the
24 recovery process.

25 **COMMISSIONER McMURRIAN:** Okay.

1 Mr. Chairman, I think we are having a little
2 bit of tough time hearing you, but I know your question
3 went to the cutting back of contractors, which was
4 discussed in that last part of Mr. McQuagge's
5 presentation.

6 Mr. McQuagge, did you get enough of the
7 question?

8 **MR. McQUAGGE:** I believe so. What we found
9 is -- and the basis for that comment was we recently
10 held an SEU mutual assistance committee meeting, and as
11 utilities have had less work because of the slow down in
12 the economy, they in turn have laid off some of their
13 contractors. If the contractor doesn't have work, they
14 in turn turn around and layoff some of their employees.
15 So some of your major independent contractors that may
16 have had several thousand resources available maybe in
17 the southeast may only have a few hundred or a thousand
18 less. So I say all of that to say is we will just
19 probably have to go further out to get resources to do
20 that restoration effort.

21 **CHAIRMAN CARTER:** Do you find that to be a
22 systemic process in terms of a problem with all of
23 utilities or just within the confines of the North
24 Florida area?

25 **MR. McQUAGGE:** No. I mean, I think that would

1 be a concern for the whole industry, not just for Gulf
2 Power.

3 **CHAIRMAN CARTER:** Okay. Thank you, Madam
4 Chair.

5 **COMMISSIONER McMURRIAN:** No problem, Mr.
6 Chairman. Would you like the other utilities to address
7 that at all?

8 **CHAIRMAN CARTER:** I really would like to hear
9 that. I'm sorry I didn't chime in before, but I was
10 just trying to get a feel for how we would move along
11 for today, but I would like to get some feedback from
12 them on that.

13 **COMMISSIONER McMURRIAN:** Perhaps what we will
14 do, the ones that have already presented, if they could
15 answer that question quickly, and then as the rest of
16 the presenters come up they can address that at the time
17 that they make their presentation.

18 So perhaps, Mr. Haines, I'll look to you first
19 and then we will go to Mr. Cutliffe and then Mr.
20 Shaheen.

21 **CHAIRMAN CARTER:** Thank you.

22 **COMMISSIONER McMURRIAN:** You're welcome. No
23 problem.

24 **MR. HAINES:** Regan Haines, Tampa Electric.

25 I would agree with the concerns raised by Gulf

1 as far as we certainly have less contractors locally now
2 than we did before, and so we would have less resources
3 to respond locally should we get impacted with a storm.
4 So we would have to reach further to get those
5 resources.

6 **MR. CUTLIFFE:** Jason Cutliffe, Progress
7 Energy.

8 I completely agree with Mr. McQuagge's
9 comments. You know, when we bring in resources for
10 hurricanes, we grow our workforce by a factor of five or
11 six. It's a huge expansion of people working on our
12 property. So small changes in our workforce don't have
13 a large impact. But when we bring that many people in
14 in the region, if they are not available, just as Mr.
15 McQuagge said, we have to go farther to get them. And
16 that is the net result of the resource constraints he's
17 describing.

18 **MR. SHAHEEN:** Richard Shaheen with Florida
19 Power and Light. And I would end up repeating a lot of
20 what was just said, but basically it's going to be a
21 challenge for coordination. It's kind of hard to
22 predict the level of which we will encounter the issue,
23 because we have yet to face that sort of challenge yet,
24 but we have had experience at going pretty far outside
25 the state and territory to retrieve resources, and we

1 have been able to retrieve resources. Now, to what
2 level has yet to be seen, but I agree with everyone
3 else, it would be a challenge going forward considering
4 the times we are in.

5 **COMMISSIONER McMURRIAN:** Thank you.

6 Mr. Chairman, is that --

7 **CHAIRMAN CARTER:** Yes, ma'am. I wanted to
8 follow up. In the context of reaching out, when you
9 guys say you are reaching out, are you reaching out
10 within the southeast, are you reaching out nationally,
11 or is there some body of contractors that exist out
12 there to where they are just kind of on hold, or is
13 there a process where you are taking resources from one
14 area to bring to another area? Or is there -- what I'm
15 trying to find, is there a universe of contractors out
16 there that are available, because we may find
17 ourselves -- if the predictions are true, and I don't
18 have any reason to doubt otherwise, we may find
19 ourselves where we have multiple areas of, like, maybe
20 the hurricanes in the southeast, floods in the midwest,
21 and maybe ice storms in the northeast. And if that's
22 the case, then what do you draw from?

23 **MR. McQUAGGE:** Yes, we would need to draw from
24 a national level. To answer the question specifically,
25 all the Florida utilities are member of the Southeastern

1 Electric Exchange, which is a regional mutual assistance
2 group. There are other regional mutual assistance
3 groups out there, of which SEE has members that are
4 members of those other groups. So we do have access to
5 resources from other regional mutual assistance groups
6 in addition to independent contractors that we may find
7 on our own. So there is a network of regional mutual
8 assistance groups, but we would still probably need to
9 do beyond that to get any resources that we might need.

10 **COMMISSIONER McMURRIAN:** I guess a follow-up
11 -- go ahead, Mr. Chairman.

12 **CHAIRMAN CARTER:** The basis for my question
13 was maybe there could be some opportunities for some of
14 our local small businesses that may -- obviously they
15 may not be able to do the electrical work, but certainly
16 in terms of debris clearing, as long as it is not within
17 the confines of a live wire or anything like that, but
18 certainly with the debris clearing and some of the more
19 mundane kinds of things. We could possibly look at
20 that. Are there any companies looking at that?

21 **MR. McQUAGGE:** We are looking at using for
22 staging sites some local vendors to do clean-up, site
23 clean-up, in addition to the actual site people that set
24 up the tent cities and all. We are using -- looking at
25 using some locals just for smaller tasks, but I'm not

1 sure that that addresses the Chairman's question.

2 **COMMISSIONER McMURRIAN:** Anyone else want to?
3 Just to follow up on that train of thought, is there
4 reason to think that to the extent there have been a lot
5 of people that have been laid off with these contractors
6 and things, and the job market is what it is, is there
7 reason to think that they would be able to go to that
8 job pool that perhaps haven't found another job yet,
9 given this economy, and try to rehire some of the people
10 that are already trained to do some of these tasks, too?

11 **MR. McQUAGGE:** I think, and this is my
12 opinion, there is some concern because most of these
13 people do have a skill set, and they do have a
14 commercial driver's license. There are opportunities
15 for them to find work since they are -- do have a CLD
16 license, so they may be driving a truck or some other --
17 I think there is the opportunity that some of those may
18 be hired back, but I think that process would be slower
19 than it normally would have been had they already been
20 working for a contractor. But I certainly think that is
21 a possibility.

22 **COMMISSIONER McMURRIAN:** Okay. Mr. Chairman,
23 I think that they have all heard you, and will probably
24 go back and look at opportunities to use local small
25 businesses, perhaps, in those kinds of situations.

1 **CHAIRMAN CARTER:** Yes. Particularly in areas
2 that doesn't require licensure. Obviously when you are
3 dealing with electricity and things of that nature you
4 have a certain skill set and a licensure requirement, a
5 certification requirement. But there are some more
6 mundane kinds of things that can be done. And as you
7 say, that way it is an opportunity to bring back in the
8 highly trained people to do the really technical things
9 and probably not have them doing the mundane things,
10 having them doing the more specific things that are
11 pertinent to their certification and their credentialing
12 and getting the power back up in a timely manner.

13 **COMMISSIONER McMURRIAN:** Thank you, Mr.
14 Chairman. Do you have other questions?

15 **CHAIRMAN CARTER:** No, that's it, Madam
16 Chairman. I just wanted to -- and I apologize to you,
17 but I do thank you for allowing me to break in there. I
18 have been listening, and I just wanted to kind of zero
19 in on that. And I do think that maybe looking at this
20 problem -- I think it's a problem nationwide for us in
21 terms of the skill sets necessary when we do have these
22 catastrophes and all like that. I don't think it's
23 something that is specific to Florida, but I do think
24 that when you consider, as you said, the contraction of
25 the labor pool, then we have to do a little bit

1 out-of-the-box thinking to be able to do more with less.
2 And I appreciate you allowing me to break in at this
3 point, and I will be listening for the rest of the day.
4 Thank you so kindly.

5 **COMMISSIONER McMURRIAN:** You are more than
6 welcome to break in whenever, Mr. Chairman.

7 Mr. Garl, do you have any other questions?

8 **MR. GARL:** Yes. Thank you, Commissioner.

9 And you were talking about joint attachment
10 agreements, and I will ask again, are any of your lines
11 attached to poles owned and maintained by a
12 telecommunications company?

13 **MR. McQUAGGE:** Yes, they are.

14 **MR. GARL:** And are those poles that are
15 carrying Gulf Power's lines meeting the same standards
16 as your own poles?

17 **MR. McQUAGGE:** They would not be meeting Grade
18 B construction.

19 **MR. GARL:** Okay. Thank you, Commissioner.

20 **MR. McWHIRTER:** Thank you, Mr. McQuagge.

21 And I think we will take a short five-minute
22 break, and so we will go on recess for five minutes.

23 (Recess.)

24 **COMMISSIONER McMURRIAN:** Let's get started
25 again, everyone.

1 Mr. Shelley, is that right? We will go ahead
2 and get started with you.

3 I don't give warnings. Everyone is noticing
4 that.

5 **MR. SHELLEY:** We'll get there.

6 **COMMISSIONER McMURRIAN:** Thanks.

7 **MR. SHELLEY:** Good morning, Chairman,
8 Commissioners, and staff. And I want to thank you all
9 for allowing us to put on this presentation on our
10 hurricane preparedness at Florida Public Utilities.

11 My name is Buddy Shelley. I'm the Northwest
12 Division General Manager. And, of course, Florida
13 Public Utilities, we are a small utility of about 28,000
14 customers, and we have two divisions. One is the
15 northeast division, which is Amelia Island and
16 Fernandina Beach; the northwest division serves parts of
17 Jackson County, Calhoun County, and Liberty County.

18 Our hurricane preparations mainly focus on our
19 vegetation management, pole replacements, beach
20 inspections, substation and line inspections. On our
21 vegetation management, prior to the hurricane season we
22 perform a visual inspection of our main feeders, plus
23 other areas that we suspect have tree or limb issues.

24 We have one tree-trimming crew that we
25 contract in our northeast division and three crews in

1 our northwest division. And when it becomes necessary,
2 we also use our own crews to assist in doing trimming.

3 Both divisions will be focusing on replacing
4 decayed poles prior to the storm season and a lot of
5 those that we have identified from our inspection
6 programs. Of course, we will do the worst ones first,
7 and we make an effort to get our residents to let us
8 know when they have decayed poles in their areas.

9 The northeast division serving Amelia Island
10 inspects regularly all the equipment and hardware along
11 the beach areas for deterioration and corrosion, and
12 before the hurricane season we make a special effort to
13 make sure that we correct any problems we find in those
14 areas.

15 We regularly do substation inspections in both
16 divisions, and we do a special effort prior to the
17 hurricane season to look those over and make any
18 corrections that we may find. We also do a similar
19 visual inspection of all of our line equipment
20 reclosers, voltage regulators, and capacitors.

21 Part of both divisions' emergency procedures
22 is a detailed list of the materials and equipment we
23 feel we need in inventory prior to the hurricane season
24 to handle any amount of damage that we would normally
25 think may occur. We try to verify that this level of

1 inventory is available, and we have very good relations
2 with local suppliers in case we need additional
3 supplies.

4 FPU continues to be involved with the
5 Southeast Electric Exchange and all of our neighboring
6 utilities to share resources if and when we need those.
7 We also stay in direct contact with contractors that we
8 have been discussing here recently, and trying to make
9 sure that they have resources available to assist us
10 when needed. We do feel that that is a big concern,
11 because we have seen that a lot of them are laying off
12 their employees, but we feel that we have an adequate
13 amount of help from contractors if we need it.

14 Prior to the hurricane season, both divisions
15 are required to review and update our respective
16 emergency procedures, and we also have refresher
17 training sessions with our employees that will be -- are
18 on-going and will be continuing until the hurricane
19 season.

20 We update all of our relevant information such
21 as telephone numbers, responsible parties, who our
22 personnel are going to be that handle all of our EOC
23 contacts and those kinds of things. We place special
24 attention on the safety of our employees, and
25 contractors, and the general public. We double-check

1 all of our equipment, trucks, tools, and all of that to
2 make sure they are in good working order prior to the
3 hurricane season.

4 We have completed our GIS and outage
5 management systems in our northeast and northwest
6 divisions, which allows us to identify and locate
7 outages and makes our restoration process more
8 efficient. Additionally, in our northwest division we
9 have also completed a SCADA system that allows us to
10 operate our substation equipment from our office.

11 FPU has implemented a three-year vegetation
12 management program on our main feeders and a six-year
13 vegetation management system on our laterals. We do an
14 annual inspection of main feeders in critical areas
15 prior to the hurricane season, and we pay special
16 attention to danger trees and overhanging limbs. We
17 cleared 391 danger trees in 2008 and we have implemented
18 our storm hardening plan by adopting extreme wind
19 loading criteria. We use 130-mile an hour wind loading
20 in our northeast division, and 120-mile an hour winds in
21 our northwest division for all of our new construction
22 and replacements.

23 Our overhead distribution circuits are
24 designed to NESC Grade B construction, and we are
25 currently using a software program called Pole Foreman

1 to verify loading on our poles and all of our equipment.

2 FPU has hired a contractor, which is OSMOSE,
3 that has performed detailed inspections of our poles,
4 and we started that this year. We inspected 1,849
5 poles. 1,485 were done in the northwest division and
6 364 were done in the northeast division. This also
7 included a strength and loading assessment, and these
8 pole inspections are going to be on an eight-year cycle.

9 Florida Public has a transmission only in our
10 northeast division, and we do a visual inspection
11 yearly, and a climbing inspection is scheduled to be
12 completed on that in 2010. Our 138 kV system is
13 constructed of concrete and steel poles and/or towers,
14 and they are already up to the storm hardening criteria.
15 The 69 system consists of 212 poles. Twenty-two of
16 those are concrete. Plans are to replace all the wood
17 poles with concrete as time permits, and we have started
18 on some of that.

19 As I said, our vegetation management is on a
20 three-year cycle for our main feeders and six years for
21 our laterals. We cleared in the northwest division
22 50 miles of main feeders and 86 miles of laterals during
23 2008, and in the northeast division cleared 21 miles of
24 main feeders during 2008.

25 During our inspection of poles, we did start a

1 joint use audit. Our contractor began that this year,
2 and they did go in and do a load assessment of those
3 attachments.

4 We work closely with all of the EOCs in our
5 areas. We participate in all of the centers that are
6 affected, and we continue to make sure that we relate
7 and keep up with all of the activities and participate
8 in all of their projects. FPU participated in the PURC
9 forensics research team that developed standard
10 reporting forms to be used in documenting damage after a
11 hurricane. We also implemented our own standard
12 forensics data collection and reporting procedure that
13 outlines employee responsibilities, the processes that
14 we go through, and the tasks that need to be performed.

15 We will use a contractor to perform the
16 collection and analysis of the data. Since, you know,
17 we are a small utility, we really don't have the forces
18 and crews to be able to do that ourself. And all of our
19 crews will be used to try to restore service in case of
20 a hurricane. We intend to have the contractor hired and
21 ready to do that this year.

22 We completed one storm hardening project in
23 2008, which was to extreme wind loading standards. This
24 project was a critical infrastructure project in the
25 Marianna, Florida, area. It included seven class G

1 concrete poles and 25 Class 1 wood poles, and it
2 provides service to a sewer treatment plant and parts of
3 downtown Marianna. It also runs along Highway 90, and
4 crosses the Chipola River, and we made sure that the
5 concrete poles were placed on the adjacent sides of the
6 river so that we don't have to get in there and do those
7 anymore.

8 As I said, we have the same concerns that all
9 of the other utilities have mentioned on the
10 hurricane -- you know, redundant hurricanes and
11 retaining forces to -- you know, if we have extreme
12 amounts of damage, because we do realize that we are a
13 smaller utility, and it makes it a little more difficult
14 to get contract crews to come to our area because of our
15 small size.

16 In conclusion, we feel we are adequately
17 prepared for the 2009 hurricane season, and we want to
18 thank the Commission for allowing us to continue to be
19 proactive in pursuing the storm hardening plans. And
20 that concludes my -- is there any questions?

21 **COMMISSIONER McMURRIAN:** Thank you,
22 Mr. Shelley. I guess I'll ask you, and I know you
23 touched on this a little bit, about the Chairman's
24 question about opportunity to use local small
25 businesses. Is there any information you would like to

1 share with respect to that?

2 **MR. SHELLEY:** We haven't looked at any of that
3 at this point. I think he has a good point. In, you
4 know, some of the redundant areas I think we could use
5 some smaller contract companies and smaller firms that
6 don't do the technical part of the job. And, of course,
7 that would allow some of other people to help in the
8 restoration process. But I think that is a good idea.

9 **COMMISSIONER McMURRIAN:** Thank you. Any other
10 questions?

11 **MR. YOUNG:** No questions.

12 **COMMISSIONER McMURRIAN:** Okay. Thank you.

13 **MR. SHELLEY:** Thank you.

14 **COMMISSIONER McMURRIAN:** Thank you,
15 Mr. Shelley. And next we will hear from the Florida
16 Electric Cooperatives Association. Ms. Hershel.

17 **MS. HERSHEL:** Good morning, Commissioners, Mr.
18 Chairman. I'm Michelle Hershel with the Florida
19 Electric Cooperatives Association. Thank you for
20 accommodating our schedule this morning, also.

21 Typically for this workshop we bring in one or
22 more cooperatives to sort of showcase their system and
23 tell you what they have been doing to prepare for storms
24 in the future. But just for your information, all of
25 our co-ops also file and submit their standard of

1 construction reports to your staff and all of their
2 information on what they're doing to prepare for storms
3 with your staff for your review.

4 With that I would like to introduce Jody
5 Dotson, who is the Power Supply Manager for Glades
6 Electric Cooperative. Thank you.

7 **COMMISSIONER McMURRIAN:** Thank you. Go ahead,
8 Mr. Dotson.

9 **MR. DOTSON:** Good morning, Commissioners and
10 Mr. Chairman. Thank you for allowing me the opportunity
11 to be here and share with you some of our success and
12 hard work.

13 A little bit about our cooperative. We're
14 located in south central Florida along Lake Okeechobee.
15 We serve Highlands, Okeechobee, Glades, and Hendry
16 Counties. We have been impacted pretty hard by the
17 storms of 2004/2005. We serve approximately 16,402
18 meters; 2,213 miles of line total on our system; 2,180
19 on overhead distribution, 33 miles of underground
20 distribution, and 87 miles of transmission. We do
21 average about seven meters per mile of line, so we are a
22 very rural area that we serve. By county, we serve
23 7,610 meters in Highlands; 2,190 in Okeechobee; 3,197 in
24 Glades; and 3,405 in Hendry County.

25 I wanted to take this opportunity, we have

1 adopted a system restoration plan that we call -- not to
2 be confused with storm restoration. Back in 1998, this
3 plan was put in place to have a systematic approach to
4 maintenance and upgrades on our system. We have found
5 over the years that putting out fires on our
6 distribution and transmission system just did not get
7 the job done. This program includes all the elements of
8 system maintenance on distribution, transmission,
9 substation, grounding, inspections, and the normal
10 testing.

11 Under this program -- it was originally
12 instituted as a one-time program. We figured it would
13 take five years to complete. Once we got into it, we
14 got a little more involved, added to it, and we finally
15 got the final procedure in place, and it has evolved
16 into an eight-year program to where we have two
17 different phases.

18 Phase I is the three-phase line sections that
19 are connected directly to the supplying substation. A
20 section of those circuits downstream are the three-phase
21 or single-phase line breakers are considered part of the
22 main line.

23 Phase II are typically the taps, laterals,
24 sections of line under fuses. Under our system
25 restoration, we look at all poles and structures, guys,

1 attachments, cross arms, insulators, switches, fuse
2 switches. We look at coordination issues on each
3 circuit as we go through, and we do it on a
4 circuit-by-circuit basis. The lightning arrestors,
5 installing additional protection, transformers,
6 capacitors, right-of-way line breakers, line regulators,
7 and, of course, our substations, and code violations.

8 Under our line breaker OCR program, our
9 program on OCRs are on a five-year -- every year we do a
10 fifth of the OCRs on our system. We take them down and
11 put up refurbished or new units and any upgrades that
12 are necessary at that time.

13 On line regulators -- I think I jumped ahead.
14 They're on a four-year maintenance cycle, and every
15 quarter we do an operational check and make sure
16 everything is operating as they are supposed to.

17 On the right-of-way trimming, we have been on
18 a three-year cycle since 2003. We do it by circuit at a
19 fixed cost so we know where our budget is at all times.
20 And on our circuits, we trim the main lines, laterals,
21 and service drops all at the same time. And it's hard
22 to see on the slide, but this is the current three-year
23 cycle that we are in. Last year we trimmed 798 miles of
24 distribution, and this year I think we are scheduled to
25 do 500 -- and I can't make out the number, but over

1 500 miles this year.

2 On our transmission system, every year we do
3 an aerial inspection in the spring and we find items
4 that need to be addressed, and we classify them in two
5 categories. Category 1 are items that need to be
6 repaired or corrected immediately, and Category 2 is a
7 watch list that are not as critical, and we are
8 recording them on the inspection for future reference.
9 And then the following inspection that we do after that
10 we pay special attention to those items to see if they
11 have gotten any worse. And I will report that in 2007
12 we did a complete transmission system climbing
13 inspection and pole inspection.

14 Our substation program. We inspect them two
15 times a month. One is a visual inspection, the other
16 one includes operational checks of the equipment.
17 Batteries are tested quarterly for all of the relays and
18 electronics, and then any problems or concerns that we
19 find are addressed immediately.

20 Now, we do a major maintenance and testing
21 every four years on all the substations. Tests include
22 circuit switcher where we power factor the circuit
23 switcher, we clean and retorque connections, operational
24 check, voltage drop open and close, and visual
25 inspections. We also do the same for transformers,

1 power transformers in the substation. We do the power
2 factor test, connections, turns ratio test, dielectric
3 test the oil, we do a dissolved gas analysis and the
4 transformer test, along with visual inspection. We do
5 the same for our surge arrestors. Power factor test,
6 clean and retorque connections, visual inspection. And
7 then on the bus and bus insulators we do visual
8 inspections.

9 Again, in the substation in our circuit
10 breakers, it's the same test. I don't want to sound
11 redundant, but these are all the same tests that we do.
12 In our substation regulators we do the power factor and
13 the retorque the connections, dielectric oil tests, and
14 operations. And then relays, we check the settings,
15 test and clean contacts.

16 Now, on our transmission upgrades as part of
17 our system restoration, we take the opportunity if we
18 are going to do maintenance, we decide if the existing
19 line needs to be upgraded or completely rebuilt for that
20 matter, and we have identified weaknesses in the past,
21 and one of our weaknesses was a transmission line that
22 fed two of our substations.

23 This line was located in a cane field about
24 150 or 200 yards off of Highway 27. We did have some
25 issues with this line during Hurricane Wilma getting

1 access, so we decided in 2008 to relocate and upgrade
2 almost four and a half miles of 69 kV line and decided
3 at that time if we are going to do that to go ahead and
4 do the distribution underbuild. There was another
5 circuit on the opposite side of the road. So we were
6 able to complete the job in 2008 and had improved
7 access. We improved the sectionalizing on that line to
8 split it up between the two substations, upgraded the
9 line capacity. We did do improved storm strengthening.
10 We relocated the existing distribution, and I will share
11 with you a picture of the existing line.

12 This was right of a Wilma, and we have a crew
13 on track equipment trying to get out to the structure.
14 The water varied from three feet to four, five,
15 sometimes six feet deep. And this is a very difficult
16 line to patrol in the daytime. At night it's nearly
17 impossible.

18 So this is our new line that we have got
19 completed. It was finished up in December right
20 alongside 27 using round spun concrete poles, and it's
21 one of our projects we really like to showcase right
22 now.

23 On the distribution side, during 2008 we did
24 major maintenance on 23.5 miles on three different
25 distribution circuits. One of those circuits involved a

1 complete rebuild of approximately 6.8 miles, and also we
2 have done some reengineering on our regulator banks and
3 stations for better wind resistance, and as part of our
4 right-of-way program, 721 miles of distribution
5 right-of-way.

6 One of the distribution circuits we redid was
7 on a very rural area. It didn't serve a lot of people,
8 but we had some problems. The line was aged, and we had
9 a flooding area that impacted a number of residential
10 areas. We could not access the line during the rainy
11 season. We rebuilt the line, improved conductor size,
12 shortened our span lengths, and upgraded the
13 classification of poles used on the new line for storm
14 strengthening. And we have relocated the areas prone to
15 flooding.

16 In the past when we would install regulators,
17 we would put the three regulators on a platform together
18 at a regulator station, and we found during the
19 hurricanes of 2004, and in Wilma of 2005, it was a
20 repeat, we dealt with this problem probably three or
21 four times where either the structures would break off
22 or we would find the regulators on the ground next to
23 the poles regardless of the bolts used to hold them in
24 place. So we went back and we looked at it, and we
25 decided to go with a single pole mount installation. We

1 may lose one, we may lose two, but the possibility of
2 losing three is a lot less than having them on a
3 platform. And we have -- in 2008, we completed
4 converting all of our regulator platforms to the new
5 design.

6 Every year we do a strategic work plan, and
7 all the employees at the co-op are involved in this
8 planning process from the meter readers to the customer
9 service, and we identify our strengths, weaknesses,
10 opportunities, and threats. And we come up with action
11 steps to meet the plan and address any of the weaknesses
12 and threats that we see.

13 And it's hard to see on the slides, but this
14 is just a couple of examples of the action items in the
15 assigned steps that have been given to my department.
16 These are documented on the Harvard scorecard format.
17 We are reporting these to our board on a quarterly basis
18 and by the end of the year we are expected to finish
19 within the 90 percentile range.

20 Part of the plan for this year is to reconduct
21 a number of taps in a populated residential area on our
22 system. All of these taps that have been identified are
23 back lot easements, hard to access, and every one of
24 these are being built out on the road and removed and
25 replacing copper conductor with ACSR conductor.

1 One of the biggest weaknesses that we have
2 found and have identified over the number of years, we
3 have one substation in Okeechobee that feeds all of our
4 members in Okeechobee County. This substation is fed by
5 a transmission line that is approximately one mile off
6 of a paved road that runs parallel with the paved road
7 through pastures, flag ponds, bogs, and not too far back
8 a retention pond that was built that ended up taking
9 eight -- I believe it is eight of our structures are now
10 in the retention pond where at times of the year we have
11 no access to.

12 And when we looked at this weakness, we looked
13 at rebuilding, or building a new transmission line as an
14 alternate feed. We ultimately came up with an idea to
15 build a new substation in Okeechobee County. That is an
16 ongoing project now. It is scheduled to be on-line by
17 the end of 2009. We do have the distribution network
18 going in now, and when this is complete we will have the
19 ability to transfer all load from the existing
20 substation to the new substation if need be during
21 storms.

22 And just to give you an example, here is a
23 picture of the structures in the retention pond. We do
24 have a partnership with Progress Energy in the event
25 that something were to happen in the retention pond.

1 They do have the equipment, and we do stay in contact
2 with them. We just had a meeting with them last week,
3 and they have partnered with us to help us in any way to
4 get these lines back up in the retention pond.

5 And, speaking of Progress, in the past they
6 have partnered with us as far as materials, needing
7 poles, and we just discussed this in our biennial
8 meeting last week with them, and we have an
9 understanding as far as motel rooms, additional crews,
10 materials. If we have any needs, or if they have any
11 needs, we do have lines of communication established
12 where we can try to help each other out in areas we are
13 out.

14 And no matter how hard we prepare there is
15 always instances where it is just never enough, and we
16 do all we can do to minimize the impact.

17 That's it, unless there's some questions.

18 **MR. GARL:** No questions.

19 **MR. McWHIRTER:** Commissioner Skop, do you
20 have -- go right ahead.

21 **COMMISSIONER SKOP:** Thank you, Madam Chair.
22 Just a quick question with respect to the new regulator
23 installations. The one picture that showed the platform
24 regulator failure, if we could go back to that, please.

25 **MR. DOTSON:** Okay.

1 **COMMISSIONER SKOP:** And with respect to that
2 picture, I guess, was there any analysis done as to the
3 failure mode? Was it the platform itself or the
4 combined wind loading?

5 **MR. DOTSON:** It was the combined wind loading.
6 These units were bolted down on the aluminum platform
7 and the bolts had actually pulled out of the platform.

8 **COMMISSIONER SKOP:** Okay. So the platform
9 itself -- is that the remnants of the platform?

10 **MR. DOTSON:** That is a boardwalk that allows
11 employees to walk in front of the units.

12 **COMMISSIONER SKOP:** Okay. All right. So the
13 aluminum platform itself would have been above that, not
14 shown on the picture?

15 **MR. DOTSON:** Right. Yes, it's beyond that.

16 **COMMISSIONER SKOP:** Okay. And with respect to
17 the next picture that shows the new regulator
18 installation where they have put them on a single pole
19 installation and separated them, obviously that, I
20 guess, provides for reduced wind loading. I guess the
21 question I would have is there any certain distance that
22 the regulators need to be placed in proximity to each
23 other, or would it be more appropriate to spread them a
24 little bit further apart to the extent that, you know,
25 in storm damage, in hurricanes, we also have tornadic

1 activity, and, you know, I would think that
2 notwithstanding the wind loading, the more distance that
3 they are between each other, you know, the less
4 probability perhaps that, you know, if a tornado came
5 through there all three would get taken out at once.
6 And I don't know if there is a constraint on how far
7 they can be separated.

8 **MR. DOTSON:** Typically they are located pretty
9 close to one another. They can be stretched out a few
10 spans.

11 **COMMISSIONER SKOP:** Okay. All right. And
12 then just, I guess, for my own knowledge, has any
13 thought been given since, again, those are specialized
14 electrical components, but in terms of hardening those
15 with perhaps concrete and, you know, metal type
16 structure supports as opposed to the single pole
17 installations?

18 **MR. DOTSON:** On our distribution we have not
19 addressed using concrete or steel. On our transmission
20 lines, however, all of our replacements are concrete and
21 steel as of 2008.

22 **COMMISSIONER SKOP:** Okay. And do you know if
23 other utilities -- I mean, is this standard practice in
24 the state to do it this way, or is there some best
25 practices?

1 **MR. DOTSON:** It varies. Typically after the
2 storms you see more and more of the single pole mount.
3 There are some cases where we do additional guying on
4 these pole-mounted regulators. This was one of the
5 first ones we had converted and we have revised some of
6 them since then.

7 **COMMISSIONER SKOP:** Okay, thank you.

8 **COMMISSIONER McMURRIAN:** Okay. Thank you very
9 much, Mr. Dotson. Now we will hear from the Florida
10 Municipal Electric Association. We may need a couple of
11 minutes while Chris works on the battery.

12 **MR. FINKLEA:** I could sing to test it, but no
13 one would want to hear that.

14 **COMMISSIONER McMURRIAN:** Better than me
15 singing. Go right ahead.

16 **MR. FINKLEA:** Good morning. My name is Jody
17 Finklea and I represent the Florida Municipal Electric
18 Association, and FMPA, as well. We appreciate the
19 opportunity to attend this session every year and speak
20 to the Commission about FMEA and our members.

21 Of course, FMEA has 34 municipal electric
22 utility members. We serve about 1.3 million customers
23 across the state of Florida. Our largest utilities are
24 JEA and OUC, and we serve all the way down to our
25 smallest utilities, the City of Bushnell and the City of

1 Blountstown, as an example. But combined, we consider
2 all of our retail utilities together, FMEA and the
3 municipal electric utilities of the state of Florida
4 make up the third largest utility in the state behind
5 FPL and Progress Energy. As you can see, we're
6 dispersed from the City of Blountstown down to Key West,
7 one of my favorite meeting places.

8 You might ask how do our members generate
9 power? Well, the answer is they don't. 12 of our 34
10 cities do generate some. Of those 34, 15 buy all of
11 their wholesale power needs from the Florida Municipal
12 Power Agency through its all requirements project.
13 Eight additional municipalities buy entitlement shares
14 in particular plants, the Stanton units and the
15 St. Lucie unit in St. Lucie County, from FMPA. As well,
16 the other providers are, of course, Progress, TECO, FPL,
17 Gulf Power and Glades. As a market share, you can see
18 that we, we rank right there among the larger utilities.

19 As a matter of mutual aid, FMEA is proud of
20 its record. We have lots of options for mutual aid
21 from Florida, the southeast and nationally. All of the
22 FMEA members have agreements amongst themselves and
23 other mutual aid agreements that members are very
24 reliant upon. You can see here that in the past we've
25 received mutual aid from as far away as Wisconsin and

1 Maine. Most mutual aid though comes from closer to home
2 in the southeast. We have a lot of relationships with
3 the Carolinas particularly.

4 Today we're going to, I'm going to introduce
5 to you the Electric Utility Director of the City of
6 Leesburg, Mr. Paul Kalv. We always bring, like the
7 cooperatives, each year one of our members to showcase
8 what they're doing for storm preparedness. If there
9 aren't any questions, then I'll introduce Mr. Kalv.

10 **COMMISSIONER McMURRIAN:** Thank you.

11 Thank you, Mr. Kalv. Go right ahead.

12 (Technical difficulties.)

13 Give us just a minute. We'll get Chris. Ah,
14 there he is. We have to keep him on his toes; right?
15 Thank you, Chris. You're doing a good job.

16 **MR. KALV:** Fantastic. Thank you.

17 Good morning, Mr. Chairman, Commissioners and
18 staff. My name is Paul Kalv and I'm the Director of the
19 City of Leesburg Electric Department. This year I
20 celebrate my 40th year in this challenging and fun
21 industry, having spent 22 years with an investor-owned
22 utility in the state and the last 18 years with public
23 power.

24 Leesburg is one of the 34 not-for-profit
25 municipal electric utilities. We're located in Central

1 Florida between Orlando and Ocala. Leesburg is located
2 in the northwest corner of Lake County south of The
3 Villages. Our 50 square mile electric service territory
4 includes the City of Leesburg, the City of Fruitland
5 Park and portions of unincorporated Lake County. We're
6 surrounded by Progress Energy and Sumter Electric
7 Cooperative service territories. We are one of the 15
8 utilities Mr. Finklea mentioned that procures all of our
9 electric requirements from the Florida Municipal Power
10 Agency.

11 Our electric utility is also somewhat unique
12 in that we do not own or operate any transmission
13 facilities. We are totally dependent on the
14 transmission facilities owned and operated by Progress
15 Energy for delivery of our power supply to the five
16 substations that the city owns and operates.

17 Electricity is distributed over 25 feeders to
18 serve 22,000 electric meters. More than 80 percent are
19 residential customers.

20 I learned a new term not long ago called
21 scrivener's error. I won't attribute this, my new math
22 error to a scrivener's error. It was my own. Our
23 commercial customers represent about 17 percent of our
24 total customers, not 27.

25 We are very proud to report that the City of

1 Leesburg was one of only two municipal utilities in
2 Florida to be designated by the American Public Power
3 Association, our national association, as a reliable
4 public power provider during 2006, the inaugural year of
5 the award. In 2008, Leesburg also received the award.
6 The detailed evaluation criteria encompasses the areas
7 of service reliability, safety, workforce development
8 and system improvement. We'll be submitting our
9 application this fall for consideration in 2010.
10 Leesburg also has a history of assisting other Florida
11 and out-of-state utilities and is prepared and willing
12 to help in the future.

13 Reliability of the utility system begins with
14 a design and construction criteria. Because of our
15 geographic location, Leesburg lies within the National
16 Electrical Safety Code 100 mile an hour extreme wind
17 contour. This is the lowest in the state. However,
18 during the mid 1990s the utility upgraded its overhead
19 design standard to require all new and replacement poles
20 supporting three-phase feeders and poles that supported
21 underground cable terminations and, and voltage
22 regulators to be on hardened concrete poles, not wood.
23 For aesthetic consideration our city Commission has also
24 requested that all overhead feeders located along major
25 arterial roadways be converted to underground or be

1 relocated to local roadways when those opportunities
2 arise.

3 Leesburg's inland location shelters us
4 somewhat from both storm winds and tides. All new
5 construction is front lot line, and we're converting
6 rear lot line construction to front when appropriate.
7 We are -- we also require our foreign utility attachees
8 to adhere to our wind loading standards.

9 Leesburg's approximately 16,500 poles are
10 inspected on an eight-year cycle and just over
11 60 percent of our poles are wood. During the summer and
12 fall of 2007 more than 38 percent of all of our poles
13 were inspected, and just five one-hundredths of 1
14 percent required immediate replacement. 2.6 percent of
15 the poles failed minimum strength standards and have
16 been replaced. We're continuing our pole maintenance
17 inspection this, either later this month or in June.

18 Leesburg has a very aggressive pole inspection
19 and treatment program since the 1970s, and we believe it
20 to be a very cost-effective measure to extend the useful
21 life of this valuable resource. This round our
22 inspectors are also replacing pole tags and they perform
23 other minor maintenance repairs while they're onsite.

24 Our service territory has a lot of oak and
25 other trees, so vegetation management is an important

1 factor in maintaining service reliability. Our 2008
2 vegetation outages point to the negative impact
3 vegetation outages can have on reliability. I'm a firm
4 believer in the 80/20 rule, and here you see that
5 20 percent of our vegetation outages caused almost
6 90 percent of our vegetation customer minutes
7 interrupted. We trim trees across our entire service
8 territory every four years with a ten foot standard. We
9 also have a tree crew that focuses primarily on
10 excessive growth within the four-year time frame.

11 Much of our system improvement work throughout
12 the year supports the viability of our distribution
13 system to withstand storm conditions, and our storm
14 season planning starts in February with reviews of
15 established plans, confirming informal agreements, and
16 ensuring that new staff receives basic National Incident
17 Management System training.

18 Leesburg has adopted a philosophy of prepare
19 for the worst and hope for the best, and our annual
20 planning activities involve the entire community.
21 Critical material stock is brought to their maximum
22 levels or higher, feeder patrol assignments are
23 confirmed and utility plans and priorities are
24 coordinated with public works, police and fire. The
25 electric utility is completely plugged in to the

1 communications with the local emergency response and
2 emergency management operations.

3 Depending upon the projected storm track, the
4 days and hours immediately preceding the arrival of a
5 storm may be filled with completing personal
6 preparations and ensuring that all final utility
7 preparations are complete. A large contingent of
8 personnel including management, system operators and an
9 interested lineman or two typically ride out the storm
10 in our operation center with family, a large number of
11 families in campers on our com -- within our compound.

12 Second only to responding to life safety
13 issues following the storm, our initial damage
14 assessment is our most important initial activity.
15 Based upon the feeder breakers that locked out during
16 the storm, initial assessment assignments are
17 rearranged, assignment crews are briefed, and the
18 assigned, the assessment begins. The results of this
19 initial assessment helps us to prepare the forecasted
20 need for additional resources or to project our ability
21 to release resources to assist others. While the
22 assessment is progressing, system operators are
23 finalizing their internal restoration priorities.
24 Within the first few daylight hours following a storm's
25 passing, we should be in a reasonably good start on our

1 initial restoration planning. And, of course, we're
2 passing information up to FMEA for reporting to the
3 Public Service Commission.

4 While I believe that all utilities do very
5 well with their internal preparations, occasionally
6 where our utility bumps into a larger utility's
7 preparation competition for scarce resources becomes an
8 issue. This is particularly evident in competing for
9 local contract crews, pole and conductor materials and
10 temporary housing for contractors and visiting utility
11 crews. One thought to consider in an effort to minimize
12 the adverse effects of this competition would be to
13 establish a working group at the state emergency
14 operations center to be a clearinghouse for
15 investor-owned utilities, municipals and electric
16 cooperatives to share information and needs as issues
17 arise during the emergency events.

18 To address the Chairman's concern, we, we have
19 no contract line crews as part of our line operation.
20 All of our, all of our line crews are City of Leesburg
21 employees. And while we are somewhat sheltered from the
22 impacts of wind and storm surge, we certainly prepare
23 and all of our people, all of our employees are
24 intimately familiar with our distribution system, and we
25 will rely on assistance from our other 33 municipal

1 utilities. We do have a close relationship with a North
2 Carolina organization that has promised us line crews if
3 they're necessary. But the Leesburg experience has, has
4 been that we are always a, we are more often a provider
5 of assistance rather than the recipient of assistance.
6 All of our tree contractors, that organization has also
7 promised us any additional needs that they can draw from
8 if we need them from out-of-state locations.

9 Many municipal utilities and especially
10 Leesburg are dependent upon the transmission networks of
11 other utilities. So if the transmission system that
12 serves the City of Leesburg is not hardened and in good
13 shape, no amount of system hardening by Leesburg will
14 keep my customers from spending an inordinate amount of
15 time in the dark or in the heat.

16 My 3:00 a.m. cold sweats come not from
17 distribution system failure worries but from the effects
18 of multiple transmission system failures. Keys Energy
19 also has a unique dilemma caused by the state-ordered
20 evacuation that include medical personnel. While
21 electrical workers are trained to perform their duties
22 safely, the lack of an active local emergency facility
23 is a concern. We raise this issue with you in case we
24 need your help in the future.

25 Keys Energy has also brought up an issue

1 related to intermingled pole ownership in a distribution
2 line. Keys Energy designs distribution facilities to
3 the National Electric Safety Code 150 mile an hour
4 extreme wind loading standards, while AT&T is not
5 required to do so. Both utilities share the poles,
6 while Keys Energy pays the incremental cost for storm
7 hardening the entire pole line. Keys questions the
8 fairness of this.

9 I thank you very much for this opportunity to
10 share our stories, and I look forward to responding to
11 your questions.

12 **COMMISSIONER McMURRIAN:** I have one, Mr. Kalv.
13 On your suggestion about the ad hoc committee, what do
14 you think it would take to form such a committee? I
15 mean, how difficult would it be?

16 **MR. KALV:** Well, I think that all of the
17 interested parties have representatives at the, at the
18 state, and I believe that -- and all of the utilities
19 report the local assessment and they roll up to --
20 eventually all that information gets reported at the
21 state level. You know, I know what's impacting me. I
22 don't know what's impacting other, other folks and
23 certainly not other utilities. And, again, while we
24 would probably be the least likely folks to, to bring in
25 a lot of additional resources because of our location,

1 you know, I raise this as a statewide issue, not, not
2 particularly so much for Leesburg itself.

3 **COMMISSIONER McMURRIAN:** I appreciate that. I
4 mean, do any of the other participants have any thoughts
5 on forming such an ad hoc committee? Hearing none, I
6 guess it's something that everyone can, can think about
7 and maybe have discussions among yourselves about doing
8 that. It seems like -- well, we always appreciate
9 suggestions.

10 **MR. KALV:** Thank you.

11 **COMMISSIONER McMURRIAN:** And, of course, I
12 think we're all working toward the same goal. So we
13 appreciate you throwing out an idea like that, and
14 perhaps everyone will take it back and give it some
15 thought along with some of the ideas that the Chairman
16 has thrown out earlier. So I appreciate that.

17 **MR. KALV:** Thank you.

18 **COMMISSIONER McMURRIAN:** Any other questions?
19 Commissioner Skop.

20 **COMMISSIONER SKOP:** Thank you, Madam Chair.

21 Just a quick question with respect to the
22 comment by Keys Energy on the healthcare after
23 evacuations and the comments on the subsequent page.

24 With respect to the healthcare after
25 evacuations, I guess I'm trying to figure out how that's

1 interrelated with the City of Leesburg, or is that --
2 hold on real quick -- or is that a FEMA type issue?

3 **MR. KALV:** Right. Right. That's really not
4 so much an issue for us. But it's my understanding that
5 it is a concern with Keys when, with Keys Energy when
6 all the medical personnel are evacuated. And then, you
7 know, while the linemen perform their job normally very
8 safely, it's a concern for the management of Keys
9 Energy.

10 **COMMISSIONER SKOP:** Okay. Thank you.

11 **COMMISSIONER McMURRIAN:** Mr. Garl.

12 **MR. GARL:** No questions. Thank you.

13 **COMMISSIONER McMURRIAN:** Okay. Thank you very
14 much, Mr. Kalv.

15 **MR. KALV:** Thank you very much.

16 **COMMISSIONER McMURRIAN:** And I know some are
17 wondering about lunch, but I've noted that we have three
18 presentations left, so I think perhaps we might continue
19 through. And so next we'll start with our presentation
20 from the ILECs, start with AT&T.

21 **MR. SMITH:** Good morning.

22 **COMMISSIONER McMURRIAN:** Good morning.

23 **MR. SMITH:** My name is Kirk Smith. I'm an
24 Area Manager with AT&T. We appear on behalf of the AT&T
25 Florida team. We appreciate the opportunity to be here

1 today and to talk to you about some of the progress we
2 made through the last 12 months with respect to our
3 emergency preparedness.

4 Within AT&T we understand the importance of
5 emergency preparedness, and this is part of our everyday
6 business. And we feel very strongly that our continued
7 preparation, the national pool of resources we have to
8 draw from now puts AT&T in a good position to not only
9 protect its network from storm damage but to restore
10 service efficiently following severe weather events.

11 What happened here?

12 (Technical difficulties.)

13 It's very difficult to expand on the benefits
14 of our technologies if I can't operate a remote.

15 Thank you. In our presentation today we'll
16 concentrate our communication on several different
17 areas. Our ongoing pole inspection program, our
18 increase in our generator inventory, an overview of our
19 preparation and restoration processes both with the
20 wireline and wireless sides of our business, and to help
21 with a better understanding of the hierarchy of support
22 all the way from the local level to an AT&T Global
23 Network Operations Center.

24 With regard to our ongoing pole inspection
25 program, AT&T has 460,811 poles in Florida, and we are

1 inspecting these on an eight-year cycle. For joint use
2 poles we have prioritized our inspection activities in
3 concert with our power company partners looking at areas
4 as a first priority, coastal exposure critical
5 infrastructure type areas. We have inspected
6 156,542 poles through year-end 2008. That actually puts
7 us about some 12,000 poles ahead of target to meet the
8 eight-year cycle inventory. We have inspected more than
9 20,000 poles in 2009 and anticipate closing out with
10 40,000 additional poles inspected this year, and have
11 replaced as part of this program 4,610 poles across our
12 footprint in Florida since 2006.

13 With regards to our first line of defense in
14 emergency restoration, we have added a significant
15 number of portable generators to support our digital
16 loop carrier sites in Florida. We have established a
17 seasonal generator pool site in Hialeah, Florida, and we
18 have a third site that's coming online in Lakeland,
19 Florida. We now have 1,010 digital loop carrier sites
20 that are supported by permanent generators, and
21 nationally we have over 9,000 generators available for
22 storm recovery efforts.

23 As we went through some of the merger activity
24 and looking at best practices across the AT&T 22-state
25 footprint, the model that we have for emergency

1 preparedness and storm restoration activities with
2 deployment of portable generators, as they looked at
3 what we did in the State of Florida, it was accepted as
4 best practice. And additional sites are being built in
5 Texas and other areas that have coastal exposure within
6 the AT&T footprint that has dramatically increased our
7 pool of resources.

8 As you can see here, we have a pool that we
9 operate 12 months out of the year in Jacksonville,
10 Florida. We'll have a 12-month generator pool
11 established in Lakeland, Florida, and a seasonal pool
12 that we bring generators down from the northern part of
13 our footprint in the Carolinas, Tennessee and Kentucky
14 that we, that we establish and hold there during the
15 hurricane season in Hialeah, Florida.

16 As you can see here, these are just some
17 snapshots of some of the things that we do to protect
18 our more critical sites that house our digital loop
19 electronics. You see here a couple of pictures of some
20 of the portable generators that we established, our
21 permanent generators we established at these sites. And
22 some of the wraps that we actually put over some of our
23 critical sites to protect from blowing wind, sand, rain
24 and hopefully minimal floods.

25 As I mentioned, we're going to talk about

1 other aspects of our business, and at this point in time
2 I'd like to hand it over to another partner of ours
3 within AT&T, Mr. Jeff Patton.

4 **MR. PATTON:** Good morning. As Kirk said, I am
5 Jeff Patton. I'm the Emergency Operations Manager for
6 the southeast region of AT&T. What I'm going to talk
7 about briefly is what we recognize as our strongest
8 asset, and that is our employees and their families. We
9 hold annual, throughout the year annually informational
10 training and awareness meetings with all of our
11 employees preparing them for emergency situations, not
12 just hurricanes, any type of event throughout the
13 22-state region of AT&T preparing them for maintaining
14 our services to our customers, as well as preparation
15 for themselves and their families at home.

16 We also have established two toll-free
17 telephone numbers that we use for our employees to
18 provide them information at all times, as well as the
19 second number is where we ask our employees to contact
20 the company, let us know where they're located and what
21 their situation is that they're either in -- their
22 condition as well or if they're in need of assistance.

23 We have localized employee care that we move
24 into the affected areas after an event to maintain our
25 employees as well as their families. I don't know if

1 you remember back in 2004, I believe it was, yeah, we
2 called them tent cities, BellSouth tent cities, and we
3 have that capability maintained at this, at this time.

4 We have exercises, mock disasters that we run
5 through periodically throughout the year. Again, not
6 just hurricanes, but all types of events that would
7 affect us throughout the entire region. And we
8 participate at state, federal and local level emergency
9 events. Right now we're scheduled for May the 8th to
10 participate in Broward County, and then in June we're
11 going to participate in the Miami-Dade exercise as well
12 in -- just in Florida alone. We participate in all 22
13 states in those type of activities.

14 We have, excuse me, we have in -- the slide
15 refers to restoration teams. I call them strike teams.
16 We have identified managers and nonmanagement employees
17 with special skills and to affect all different aspects
18 of the AT&T network that are on standby 24/7 that will
19 move closer to the potentially affected area prior to an
20 event, and then immediately upon the event moving
21 through we will move these folks into the area as our
22 first re-entry teams to start our restoration efforts.
23 We have materials in our supply warehouses staged for
24 disastrous events at all times, and we have identified
25 areas throughout the 22-state region that we will move

1 those supplies and materials to to give us the ability
2 to hopefully have a quicker restoration turnaround.

3 We have negotiated and partnered with local
4 businesses, hotels, restaurants, gas stations where we
5 will move into an affected area and have access, the
6 ability to house our restoration teams, provide food to
7 these technicians and managers and maintain our needs
8 for fuel.

9 The structure for emergency operations within
10 AT&T begins at the local level. In Florida we have two
11 local response teams, the North Florida local response
12 team and the South Florida local response team.

13 Dependent upon the scope of the event, the local
14 response team would handle complete control and
15 restoration of the services of our network. If the
16 event was larger than a local response team could
17 handle, they would then contact their local response
18 center, which for Florida also supports the State of
19 Alabama. If that event then becomes so large that they
20 need additional resources, manpower, assets, they would
21 call the emergency operations center for the southeast
22 region. And then, of course, if it was a scope that
23 required a tremendous amount of support, we would then
24 contact GNOC in New Jersey, which looks across the
25 entire AT&T corporation and where we have access to

1 300,000 employees to pull the assets into the affected
2 areas as needed.

3 The wireless organization has a similar
4 structure, and shortly after I finish, Dave Cundiff
5 will, will refer to that when he talks from the wireless
6 side.

7 These are just some of the systems and
8 processes that we have that we use to track the weather,
9 the hurricanes, disastrous events. The organizations
10 within the company, I made reference to some of the
11 strike teams. The safety team, the generators that Kirk
12 referred to, cell site strike teams that Dave will talk
13 about cell site information and 911, and it's, the list
14 of strike teams goes on and on as it affects every
15 aspect of our organization and our network.

16 We have -- I made reference a moment ago to
17 the Global Network Operations Center, the GNOC, which is
18 located in Bedminster, New Jersey. These folks monitor
19 the entire network throughout the world, all of AT&T,
20 and it's -- what they, what they watch is phenomenal. I
21 would take a whole lot more time than we have today for
22 me to try to explain to you what they see and what they
23 do, but they are a tremendous resource of timeliness of
24 our network and monitoring the traffic of communications
25 across our network.

1 We also have a network disaster recovery team
2 which is highly skilled managers and nonmanagement
3 employees, all volunteer, that have duffle bags
4 underneath their desks or in the trunk of their cars,
5 and at a moment's notice when they receive a call they
6 will deploy anywhere in the world to do whatever it
7 takes to restore our network services to our customers.
8 They have, it says 500 generators have been, they've
9 deployed across the United States, they have central
10 offices on wheels, wireless satellite microwave
11 communications capability on vehicles, generators to
12 power all the central office needs that we have, HVAC
13 units that they, they pull behind and install. I was
14 fortunate enough to be invited to one of their exercises
15 in Charlotte in October, I'm sorry, yeah, October of
16 last year, and I was personally -- and I've been with
17 the company for 30 years and I know a lot about
18 telecommunications, but this was a phenomenal occurrence
19 that I witnessed. And it's, it's something that had --
20 being with BellSouth until two years ago I had not seen
21 the capability that we at AT&T now have with this
22 network disaster recovery team to go into an area that
23 has been affected by some type of major service
24 disruption.

25 With that, I will turn the microphone over to

1 Dave Cundiff.

2 **MR. CUNDIFF:** Good afternoon. My name is Dave
3 Cundiff. I'm the Area Vice President for the Southeast
4 United States for mobility with the responsibility for
5 all of engineering and operations, of which includes our
6 hurricane preparations and recovery efforts.

7 In the State of Florida we have over 2,000
8 cell sites that provide critical voice and data needs to
9 all of our customers. We understand the importance of
10 these, of this service and ensuring that these assets
11 are, are continuing to be on the air throughout, before
12 during and after a storm.

13 To ensure that, we have over 35 percent of our
14 cell sites with permanent generators. These generators
15 are strategically placed to ensure that we do properly
16 take care of the residents of the State of Florida.
17 These critical areas that we provide coverage from a
18 permanent generator perspective include ensuring that
19 the cell sites that do cover the EOCs, the county EOCs
20 have generators, we ensure all the major hospitals and
21 medical facilities have generators on cell sites that
22 cover those areas, as well as all of the evacuation
23 routes. We want to make sure that, that the assets we
24 are putting in the ground are definitely there before,
25 during and after, after a storm.

1 Similar to what was said earlier, we also from
2 a, from a management perspective break the state up into
3 two specific local response teams, LRTs. Those specific
4 storm, those specific teams will, will address the
5 issues and the hurricanes in their specific geographic
6 area.

7 If, if there is multiple storms in the state
8 or multiple storms on the coast or in the U.S., we then
9 roll up to what we call our Mobility Network Reliability
10 Center that's based out of Atlanta. And, again,
11 depending on the severity of the events or the, or the
12 multiple of the events, we then roll up to the GNOC that
13 was mentioned earlier.

14 We utilize realtime management tools prior to,
15 during and after these events. These tools allow us to
16 stay with clear visibility to our network throughout the
17 entire event. As you can see a snapshot up there, we
18 can, we can tell you at any one time the situation of
19 any one of our cell sites that's covering a geographic
20 area, whether it's lost commercial power, whether it's
21 lost telco, whether it's lost off the air at any one
22 point. By monitoring this obviously during, during an
23 event we can, we can properly plan our restoration so
24 that when it is clear for us to go in there, we can go
25 in there quickly and effectively and address the cell

1 sites and the equipment that we have in the most, most
2 efficient and effective manner.

3 Also as mentioned earlier, we have, we have
4 quite a bit of employees, internal employees mobility in
5 the State of Florida, again, broken down into two
6 specific markets. We also pull resources from
7 throughout the country. We have over 6,000 wireless
8 network employees that we pull from. And having had
9 responsibility for just the State of Florida during the
10 early part of this, this decade, we pulled from
11 everywhere from Los Angeles to Seattle to even Hawaii at
12 times. So we do have a very, a very good network of
13 employees.

14 Contractors are also extremely important to
15 our restoration. As a matter of fact, there's many more
16 contractors that we pull in as opposed to employees.
17 There's our local contractors, there are contractors and
18 residents that need to know the geographic areas, given
19 that the placement of a lot of our cell sites are in
20 areas that are remote and rural. They have to be able
21 to have their own equipment, their trucks and their
22 local knowledge to be able to address the cell sites
23 that we have to, have to get with.

24 Given the power situations and the need for
25 power within our network, we also maintain a very large

1 pool of portable generators in Lakeland, Florida, about
2 140 of those. Those generators are much larger than the
3 average telco generators. They're upwards to 40 to
4 60kW. And we also maintain a fleet of over 300 in the
5 southeast in our specific pool locations. Those are
6 owned, those are AT&T-owned generators that we can
7 utilize at any one time, and we also have access for
8 leased generators throughout the region as well.

9 We have over 300 what we call cell sites on
10 wheels and we have a multitude of towers on wheels in
11 case we are to lose a tower. Knock on wood, we have not
12 lost a tower in the last decade in the State of Florida,
13 so we're very proud about that record. But in case we
14 do need to bring coverage to an area that does not have
15 coverage, we have what we call cell on wheels. Those
16 are, we have some that are satellite based so that we
17 can get out there very quickly to restore, to either
18 restore coverage or provide new coverage.

19 An example would be working with the Air
20 National Guard. If they want to put a tent city up,
21 they may not have mobile communications, whether it's
22 data or voice. We will work in conjunction with them
23 generally to get the exact location that their tents are
24 going to be deployed, and generally we will have a
25 cellular network waiting on them while they're

1 restoring, while they're building their tent so that we
2 can ensure that we meet their, their critical needs. We
3 do that with EOCs in case we have a tower or electronics
4 that get submerged into water. We can quickly roll a
5 COW out and have it on the air with transport within 12
6 hours. So utilizing these assets, again, we're able to
7 quickly restore our network so we can continue to, to
8 take care of our customers' needs.

9 The last slide here is just a follow-up.
10 After every event we physically visit every one of our
11 cell sites in the affected area and even, even that
12 borders the affected area. The main issues that we have
13 from a network perspective besides loss of power is, is
14 some antennas may be tilted in a different direction.
15 So we physically go out there and observe every cell
16 site, every sector, every antenna to ensure that it is
17 in the proper order. And this database tool that I have
18 up there just shows the online logging of every single
19 issue, whether it's a foilage issue or whether it's an
20 antenna that's fallen off the tower issue. We do not
21 stop until every issue in the affected area is
22 absolutely resolved in a network working pre-storm
23 fashion. And that concludes our presentation. Is there
24 any questions?

25 **COMMISSIONER McMURRIAN:** Thank you all.

1 Mr. Garl.

2 **MR. GARL:** Thank you, Commissioner.

3 We noted the coastal location of the local
4 response center and wondered what the backup plan was
5 for LRC support if a major storm approaches the Fort
6 Pierce area.

7 **MR. PATTON:** I can answer that one. The LRT
8 located in Fort Pierce is the local restoration group.
9 And if the event affects that area too much or more than
10 they can handle, then they will be supported by the LRC,
11 which is located in Macon, Georgia. And then my EOC
12 where I, my office is in Atlanta. And we would, we
13 would actually come in and take over responsibility to
14 make sure that they have everything they need.

15 **MR. GARL:** Thank you.

16 Thank you, Commissioner.

17 **COMMISSIONER McMURRIAN:** Any others?

18 Okay. We'll move on to Verizon.

19 **MR. CARDENAS:** Good afternoon, Commissioners,
20 Mr. Chairman. I appreciate the opportunity for us to
21 discuss our emergency plans with you today. We've
22 worked very hard over the last few months to update all
23 our preparedness plans before we move on into hurricane
24 season. We've also been meeting with our vendors and
25 suppliers to ensure that we've got our plans and

1 materials in place and ready to go for hurricane season,
2 and we've taken steps of preventative maintenance across
3 several of our business units.

4 So what I'd like to do today is talk about
5 three key topics. One is the emergency operation
6 structure for Verizon. Then I want to move on to the
7 roles and responsibilities for our Florida EOC, then
8 discuss actions to help us be more prepared for 2009.

9 Our structure for our emergency operations is
10 designed to provide a centralized point of control and
11 direction prior to, during and after an emergency event.
12 While this provides the ability to maintain control for
13 an event, it allows us to, the management team to
14 perform at their highest levels by having a single point
15 of contact that has a holistic view. This also allows
16 us the efficiency for our front line teams to focus on
17 the restoration roles and the damage assessments.

18 With that overview, at the highest level we
19 have our corporate EOC, and this is our national liaison
20 that manages multiregional events. For example, we have
21 a hurricane that comes across Florida and up the
22 northeast and affects all the states. Our corporate EOC
23 gets involved in helping to facilitate those restoration
24 efforts. They also do the communications to our
25 company's senior leaders and provide national level

1 support as needed by our regional control centers and
2 other groups.

3 For Florida, our EOC consists of our region
4 executive staff under the direction of our emergency
5 control officer. We're the policy group for the, for
6 the area, so we determine when to keep centers open,
7 when to close them, when to move work and when to move
8 the people. We establish conference calls with key
9 business units to bring together to make sure we get
10 status updates continually on their restoration and
11 damage assessments and make sure they're aligned with
12 the holistic view to make sure we bring everything back
13 to normal as soon as possible. We also are the
14 interface between the affected area within Florida and
15 all resources outside of the State of Florida, and we
16 manage the internal and external communications.

17 We have what's called the division control
18 center, which is really our frontline technical team
19 that consists of our dispatch group, engineering group,
20 our analysis group, operations support and our local
21 managers, and this is where we have our checks and
22 balances can be applied for the preparation and
23 restoration of the event.

24 They do a lot of the coordinating around
25 safety, supplies, materials, time reporting, lodging and

1 those type of initiatives. And working with the damage
2 assessment group they develop the restoration plans to
3 maximize the efficiency and the effectiveness of the
4 resources that they have. And they report preliminary
5 damages from the damage assessment group and functions
6 as the tracking mechanism for insurance purposes to get
7 the total cost and what's needed to complete
8 restorations. They also track and provide trouble
9 volume and other critical information up to the RCC EOC
10 as required.

11 The damage assessment group is the underlying
12 group that's mentioned of the division control center,
13 and this consists of departmental work groups within the
14 region as required. Employees that are identified for
15 this group are identified in advance, trained and
16 prepared for the damage assessment and the first-in
17 teams that are needed for the effected areas. They work
18 under the direction of the local manager within that
19 affected area and they're responsible to protect the
20 outside plant facilities through the advanced
21 preparation, the pre-events that we go through and the
22 checklist associated with that, and within the first-in
23 teams as they come in to do the damage assessment.
24 They're also responsible to assist the division control
25 center in developing restoration plans based upon the

1 information that they've gathered from their damage
2 assessments.

3 On Slide 5 here is a visual of what we've just
4 talked about. As you see, we've got the corporate EOC
5 up at the top, we've got the Florida EOC, which is
6 really the, the hub for all information coming up and
7 down from the DCC and the EOC, the technical team which
8 is the division control center, and then our first-in
9 teams which are the damage assessment groups.

10 And here's an example of a typical bridge
11 strategy that we implement before, during and after the
12 events. As you can see, we provide key personnel from
13 each of our business units, including real estate,
14 public affairs, our dispatch group, security. We make
15 sure we bring in all the key units that were aligned in
16 the holistic view and how we need to get service back to
17 normal as soon as possible.

18 Now I want to move on to the roles and
19 responsibilities in a little more detail for the Florida
20 EOC. What we do here is we develop and continually
21 update our emergency prepared plans. Contact
22 information is a vital part of the success of our plans.
23 We update that information as needed as changes are
24 made, but in addition at a minimum we update that
25 quarterly. Critical information is also updated as we

1 continue to grow to make sure we've got critical
2 information within our plans to support and maintain.

3 We also conduct annual exercises. We do
4 widespread events like, for example, a hurricane that
5 may hit the State of Florida, but we also do individual
6 events like building, single building drills like fire
7 drills, shelter in place drills to make sure that the
8 safety of our employees are, are, you know, well
9 managed. So we do these annually.

10 We also provide linkage to governmental
11 agencies. We partner with the county EOCs that we have
12 presence in. We provide dedicated representatives that
13 will be there when the county EOC calls upon us. We
14 also provide communication to the PSC on the impact and
15 progress of our restoration, and we also communicate to
16 the Division of Management Services and Wireless
17 Services.

18 We also do continuity planning. We have
19 mission critical center plans for our major hubs like
20 our call centers that we have plans specific for them so
21 we can have a seamless move of work and move of people.
22 We also have plans in the event of work stoppage. And
23 then also with pandemics like the H1N1, we have plans
24 associated with that.

25 Now I want to move on to what we're doing for

1 our 2009 strategy. We have our dedicated emergency
2 operations center in Temple Terrace, Florida, that we
3 continue to maintain as our dedicated hot site. It's
4 not in an evacuation zone. It has full generator
5 backup. It has the food, the bedding, the cots,
6 everything needed for an emergency event and fairly new
7 equipment that's in the hot site itself.

8 We are conducting region emergency exercises
9 for hurricanes, and in most cases we use a hurricane
10 coming through Florida as an example of a format. And
11 in addition to that, we go to multiregion exercises with
12 the corporate EOC to make sure that we have good linkage
13 between each of the EOCs amongst the different regions.

14 We have our annual updated emergency plans
15 which are certified by our corporate EOC. Each year our
16 plans are updated with lessons we've learned from events
17 within our own organization as those that we've learned
18 externally, and we are required to send those to
19 corporate certified each year. We partner with the
20 seven county emergency management teams and the PSC. As
21 mentioned earlier, we're part of the county's planning
22 and working teams. We provide the manpower to staff the
23 county EOCs during the event. We work very closely with
24 the counties to establish those first-in teams to make
25 sure that, you know, we get in there as soon as

1 possible, protect the equipment that's still working and
2 also get an assessment of the equipment that we need to
3 fix, and we communicate to and from the Florida PSC.

4 I talked about lessons learned and I also want
5 to talk about best practices, which is key to updating
6 our plans. We implement best practices that we've
7 learned from our county emergency partnerships and from
8 our other Verizon EOCs. We do best practice sharing, we
9 have monthly conference calls at minimum with our other
10 EOCs within Verizon, but we also provide annual
11 face-to-face meetings with our other EOCs to share best
12 practices.

13 We continue to be very proactive in
14 preventative maintenance. From a central office
15 perspective we do annual battery testing to ensure site
16 redundancy. We do monthly generator testing to ensure a
17 reliable power source in the event of commercial power
18 outages. And if there is risk of a hurricane coming in,
19 we'll do these tests a lot more frequently than what's
20 listed here. Then we'll do our daily preventative
21 maintenance routines that are done by the staff to make
22 sure we have a reliable network. Just recently we had a
23 vendor coming out to inspect and do repair of our
24 portable fuel tanks to make sure we don't have any
25 surprises when those become used this year.

1 With pole hardening we've inspected 35,000
2 poles with our program to date, which is about a third
3 of our pole inventory. Poles that are failing
4 inspection are replaced. With material, as we get into
5 hurricane season, we stock up on key material that we
6 use out in the field about 10 percent to help us get
7 through those first days. We also have coordination
8 with our corporate EOC where we can bring in additional
9 material from an external -- from the event location as
10 needed and also resources as needed.

11 And just to touch base on that a little more,
12 as we talked about resources, we have what's called
13 fluid workforce within our organization where we have
14 quite a few employees who are trained on different job
15 functions. So during an emergency event we have the
16 ability to move folks from one position to another to
17 help us with either the damage assessment or the
18 restoration piece. We also do annual survey updates
19 across the whole Verizon footprint so we have up-to-date
20 information on the skill sets that all our employees
21 have so if we do need to extract them to come in for
22 some of the restoration piece, we have a list of who
23 they are and their availability.

24 So with all that said, any questions?

25 **CHAIRMAN CARTER:** Madam Chairman.

1 **COMMISSIONER McMURRIAN:** Chairman Carter, go
2 right ahead.

3 **CHAIRMAN CARTER:** I don't so much have a
4 question as much as a comment.

5 First of all, I thought I'd have the
6 opportunity to haze Dave Christian from Verizon. I know
7 he was there this morning.

8 But anyway I do want to, I do want to say to
9 the companies how much we appreciate them. I know
10 having worked through the storm system, going through
11 the EOC whenever we had the tropical storm last year as
12 well as the hurricanes the year before, and each one of
13 the companies had representatives there -- I'm talking
14 about the state EOC now. It's a lot easier for us to
15 have, you know, one place and one point of contact --
16 when we have an area in different parts of the state, if
17 we can have one place to contact, to coordinate
18 everything.

19 The most significant thing I think I've
20 learned out of the workshop is most often times when you
21 ask companies to say, you know, tell us, you know, where
22 you're short or tell us where you're long, everybody
23 beats their chest and talks about the good things
24 they've done. But I've been very impressed by the
25 companies talking about some of the things that they

1 need to improve on. And I think that by virtue of us
2 doing this workshop in a nonadversarial manner, then
3 companies are more willing to come and say, well, you
4 know, we're kind of short here, we learned some things.
5 I think the gentleman from Verizon was talking about
6 maybe having someone to provide fuel on the site.
7 That's one of the things they've learned. And I just
8 wanted to say, over the course of the morning I wanted
9 to say to the companies and those that are participating
10 how much I'm impressed with their candor and
11 transparency in terms of telling us about some of the
12 lessons learned, how we can do a better job. With that,
13 Commissioner, I appreciate your time. Thank you for
14 allowing me to butt in there.

15 **COMMISSIONER McMURRIAN:** Thank you, Mr.
16 Chairman. I think Mr. Christian wants to respond.

17 **MR. CHRISTIAN:** Mr. Chairman, I'm here, and I
18 certainly understand your criticisms of our use of the
19 word "rolls," and that will be corrected in the final
20 presentation we submit for the website.

21 **CHAIRMAN CARTER:** Thank you, Dave.

22 (Laughter.)

23 **MR. CHRISTIAN:** Thank you, Mr. Chairman.

24 **COMMISSIONER McMURRIAN:** And I had one. I
25 didn't quite catch your name at the beginning, so I

1 wanted to make sure --

2 **MR. CARDENAS:** I'm sorry. It's Chris
3 Cardenas.

4 **COMMISSIONER McMURRIAN:** Okay. Thank you,
5 Mr. Cardenas.

6 Any other questions for Mr. Cardenas?

7 **MR. GARL:** No questions.

8 **COMMISSIONER McMURRIAN:** Okay. Thank you.

9 **MR. CARDENAS:** All right. Thank y'all very
10 much.

11 **COMMISSIONER McMURRIAN:** And last but not
12 least, Ms. Khazraee from Embarq.

13 **CHAIRMAN CARTER:** I have a lot of questions
14 for her.

15 **MS. KHAZRAEE:** Oh, no.

16 (Laughter.)

17 **COMMISSIONER McMURRIAN:** She always gets, she
18 always get stuck at the end.

19 **MS. KHAZRAEE:** I was just going to say, I had
20 guessed correctly that once again I'm going to be the
21 last thing standing between a room full of people and
22 lunch, so I'll try and --

23 **CHAIRMAN CARTER:** Okay. Let me, let me get
24 all my sheets, I've got to get all my sheets of paper
25 together first. Thank you. Thank you.

1 (Laughter.)

2 **MS. KHAZRAEE:** All right. Thank you for the,
3 for allowing us the opportunity to come and tell you
4 that Embarg is prepared for this hurricane session. And
5 as I was pulling all this together and talking to all
6 the various organizations within the company who have a
7 role in our preparedness, I came to the conclusion that
8 this is really business as usual or routine for us. And
9 I almost hate to use those words because for a lot of
10 people that has a connotation of unimportant, not
11 critical, you know. And that's not what I mean because
12 this is very important and it is really critical that we
13 be prepared not only for hurricanes in Florida but for
14 ice storms in Ohio and floods in Minnesota and wildfires
15 out west; anywhere that we have territory we can have
16 these type of disasters that occur.

17 And as I was thinking about the idea of
18 routine or business as usual, I was thinking that when I
19 leave my house every morning, I have a routine. I turn
20 off the coffee pot, turn down the thermostat, make sure
21 nothing is on the stove, make sure the iron is
22 unplugged, all very important things. When I go on
23 vacation for two weeks I do those things, but I do even
24 more. I stop the paper, I hold the mail, I turn my
25 water heater down, I ask the neighbor to watch the area.

1 And those are also somewhat routine, but because I do
2 them only once a year or twice a year, I might have to
3 sit and think about it a while and remind myself in
4 order to make sure I do them all.

5 So the first slide that I show is sort of on
6 the same thought pattern as leaving the house every
7 morning for work. These are things that we've
8 incorporated, they are things that we do on an ongoing
9 basis. Whenever engineering is designing a project,
10 whether it's in a completely new area or it's replacing
11 existing plant, they take into account the likelihood of
12 damage from a storm, whether it's flooding, possible
13 wind damage, storm surge, whatever could happen, and
14 they include that in their design process in order to
15 make that plant as hardened as possible.

16 I want to say this, too. 96 percent of our
17 plant is under the ground. Only 4 percent is aerial.
18 So we have a lot less that's there I guess possible to
19 be damaged by wind, but you will see as I go through
20 this that there are still some things that we have to
21 think about even though so much of our plant is
22 underground.

23 Another thing we do is we have both fixed and
24 portable generators. Our fixed generators at all of our
25 host offices, at very many of our remotes, at our

1 administration buildings where we have our command
2 centers during these type of events, and we routinely
3 check those. Once a month they are run for an hour with
4 full load to ensure that they are operating properly.
5 At least once a year they are run for six to eight hours
6 with full load to ensure that they can handle a load
7 over an extended period of time. We also have the
8 routine maintenance checks of those generators. We have
9 contracts with the vendor who provides us the fuel for
10 those. It's a proven vendor. We've had no problem with
11 them, so that we feel confident if we get into a
12 situation where we're going to have to be using
13 generators over an extended period of time, we will have
14 no difficulty getting our fuel.

15 Another project that we've done is we have
16 gone in and made sure that all of our digital loop
17 carriers have an engineered capacity for eight hours of
18 battery life given the load on each individual digital
19 loop carrier. That project has been going on for a
20 couple of years now. It should be completed third
21 quarter this year so that all digital loop carriers will
22 have at least eight hours of battery capacity. That's
23 very important because one of the biggest issues we have
24 is commercial power outages, and we need to be able to
25 keep our plant running in order to keep service to our

1 customers. We do have portable generators that can be
2 taken out to these digital loop carriers, but having
3 eight hours of battery gives us more time to let the
4 conditions settle down and let the hazards be removed
5 from the roads before we have to start trying to get the
6 portable generators out there.

7 We're continuing our pole inspection process.
8 We only have 39,900 poles in our network that we own.
9 We are on an eight-year pole inspection. We began it in
10 November of 2006. We are roughly one-third through.
11 We've completed inspection on about 13,000 poles. So we
12 are pretty much right on schedule to be finished in the
13 eight years. So far we've replaced approximately
14 700 poles.

15 And just -- I threw this in about engines to
16 say that I've been glad to hear the IOUs up here talking
17 about their hardening projects and that they're working
18 with the companies, and I will agree that they have been
19 very good to make sure that we get invited to the
20 meetings and we participate. And as they've done their
21 hardening projects and they have poles that we have
22 attachments to, generally because they are sponsors of
23 NJUNS they put that information into NJUNS. We get
24 email notification and we know we need to go out and
25 move our attachment off the old pole so that they can

1 actually remove the old pole. And it works the other
2 way too. If we have a pole that they're on, we can do
3 that, we can put it into NJUNS, they know they need to
4 go out and move their attachments, and that process is
5 working very well.

6 As the storm approaches, we implement our
7 disaster preparedness plan. I have seen the plans. We
8 have plans for each of our individual districts. We
9 have a plan for the overall state. It is very
10 comprehensive. It's got a level of detail that is
11 extremely useful so that if for some reason there was an
12 employee that had to come in and participate in that
13 plan, even if they didn't know Florida and didn't know
14 the people, they have everything they could possibly
15 need. We have employees' names, phone numbers, home
16 numbers, cell numbers, we have directions to all of our
17 employee facilities, I mean actual directions written
18 out, we have the list of the hotels that we have
19 agreements with where we can house contract workers and
20 our own employees. We've got the vendors that we use
21 for fuel, for engine repair, for vehicle repairs, for
22 fixing flat tires. I mean, it's got everything in it.
23 And, in fact, next week we will be having our annual
24 kickoff meeting where we go through that plan with all
25 of the parties on the conference call in order to ensure

1 that everything in that plan is up-to-date and everyone
2 knows what they're supposed to do. Every, every
3 requirement is covered by somebody having an assignment
4 to that specific requirement. So it's very thorough.

5 We coordinate with the other utilities and
6 with the governments through our presence at the
7 emergency operations centers. We're there, we man them,
8 so we are available both to the government and to the
9 power companies and any other utility companies that we
10 might need to coordinate with.

11 We also communicate regularly and frequently
12 internally to the employees and externally. We have a
13 website, our Embarq website that we put information on.
14 We release pieces to the media, the print media, the TV,
15 the radio. So we take full advantage of the ability to
16 communicate. We also provide regular updates to the EOC
17 and to the Florida Public Service Commission on the
18 status of outages in our network and where we believe we
19 will be with regard to repairs and when we think we will
20 have customers back online.

21 After the storm we continue to follow this
22 disaster preparedness plan for our post-storm recovery.
23 We have what we call rapid response teams. These are
24 teams that are made up of three different groups of
25 techs. We have the outside techs, the ones that go out

1 and install and repair the phone service, we have the
2 business techs which are the ones who know how to work,
3 you know, install a PBX, repair an ISDN line, anything
4 that has to do with business type communications, and
5 then we have the central office techs. These people
6 were hand selected because of their high level of
7 knowledge of their job, their experience level. They
8 are preidentified and they are mobilized in fact when we
9 know that the storm is coming. Their trucks are
10 completely stocked and they are sent to a location that
11 is close to where we believe the storm will hit but far
12 enough that they will be out of the danger zone and
13 where they will be able to freely work from until
14 they're able to get in.

15 These rapid response teams are the first ones
16 to go into an area. And in part, as part of our
17 disaster preparedness plan we actually have identified
18 the circuits that need priority restoration. These
19 could be to law enforcement, to hospitals, to power
20 companies who need communication ability, anything
21 that's been identified as a priority, and those are the
22 ones that they will work on first.

23 Likewise, once we've been given the all clear
24 to get into an area, that it's now safe to move in, we
25 mobilize our area survey teams. We send people out by

1 twos, these are company employees, to canvass the area.
2 They're all given a specific geographic area to canvass.
3 They go out and they are required to report in every 30
4 minutes. That helps us know that they're safe and it
5 also gives us very realtime feedback on what the status
6 of our network is so that we can begin to order and
7 deploy equipment in the right areas, the right types of
8 equipment, we can begin to know how many contractors
9 we're going to have to ask for, and it just helps us to
10 keep that information flowing.

11 We begin restoration immediately, and as we do
12 it we try to collect forensic data. I will tell you in
13 the heat of trying to restore service it is difficult to
14 collect forensic data, and that's an area that we're
15 actually trying to improve. That's kind of a lesson
16 learned from the '04 hurricanes and we are still working
17 on that.

18 That's the end of my prepared presentation.
19 If anybody has any questions.

20 **CHAIRMAN CARTER:** Madam Chairman.

21 **COMMISSIONER McMURRIAN:** Chairman Carter, go
22 right, go right ahead.

23 **CHAIRMAN CARTER:** I like what Sandy was saying
24 about it's routine, and it is routine in Florida and I
25 like the fact that we're doing this. It's become part

1 of our routine, it's part of our DNA to take our good
2 programs in Florida and make them better. Because even
3 as we sit here today and discuss our, our workshop, I
4 was reading in the paper this morning where one state, I
5 won't, I'll leave them nameless, but it's Louisiana, the
6 senator from there was holding up the appointee to FEMA
7 because they're still fighting the aftermath of
8 Hurricane Katrina. And that's, that's a situation where
9 you become so heavily dependent upon outside and federal
10 intervention to where, you know, your homegrown program
11 is not really up to par. And that's why I was saying
12 I'm quite pleased with the fact that we've come up with
13 our storm hardening process as well as the process of
14 having these workshops prior to the storm season, as
15 well as coordinating with our utilities both here from
16 the statewide EOC and locally within our regional and
17 local EOCs to ensure that whenever there's an outage we
18 don't start pointing fingers. The first thing we do is
19 try to fix it. And so I'm quite pleased with that. And
20 I like the way Sandy said it is a routine. Let's keep
21 the routine and let's keep doing it and let's keep
22 making a good program better. And with that,
23 Commissioner, thank you for your indulgence.

24 **COMMISSIONER McMURRIAN:** Thank you, Chairman.

25 Any other questions?

1 Mr. Garl.

2 **MR. GARL:** No questions. Thank you.

3 **COMMISSIONER McMURRIAN:** Okay.

4 **MS. KHAZRAEE:** Thank you.

5 **COMMISSIONER McMURRIAN:** I think that's it.

6 Are there any other questions and comments? Go ahead,
7 Mr. Young. I'm sorry.

8 **MR. YOUNG:** Thank you, Madam Chairman.

9 Staff will note that staff will upload all
10 presentations that we heard today on the Commission
11 website by Friday, May 15th, 2009. To that end, any
12 participant that wishes to correct any errors or any
13 statements made today in their presentation are asked to
14 submit all presentations by the 13th, May -- Wednesday,
15 May 13th, 2009.

16 **CHAIRMAN CARTER:** Madam Chairman.

17 **COMMISSIONER McMURRIAN:** Yes, Chairman Carter.

18 **CHAIRMAN CARTER:** Let me just say for the
19 record that you have done an outstanding job in chairing
20 today and I sincerely appreciate it. Thank you so very
21 much.

22 **COMMISSIONER McMURRIAN:** Thank you, Chairman.
23 And I'll just say to everyone in closing, thank you for
24 sharing your company's storm preparation plans, and I
25 personally enjoy hearing how proud you all are of your

1 work and your people. And I'm always real proud to see
2 when your trucks are heading, or your vans are heading
3 out around the state or out of state to help others who
4 need it. And, anyway, I guess now I know everyone is
5 hungry. Get out and support our local small businesses,
6 spend your money here. And thank you, Commissioners and
7 Chairman, and this workshop is adjourned.

8 (Workshop adjourned at 12:51 p.m.)
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF FLORIDA)
 :
COUNTY OF LEON)

CERTIFICATE OF REPORTERS

WE, JANE FAUROT, RPR, and LINDA BOLES, RPR, CRR, Official Commission Reporters, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that we stenographically reported the said proceedings; that the same has been transcribed under our direct supervision; and that this transcript constitutes a true transcription of our notes of said proceedings.

WE FURTHER CERTIFY that we are not a relative, employee, attorney or counsel of any of the parties, nor are we a relative or employee of any of the parties' attorneys or counsel connected with the action, nor are we financially interested in the action.

DATED THIS 20th day of May,
2009.

Jane Faurot / JFB
JANE FAUROT, RPR
FPSC Official Commission
Reporter
(850) 413-6732

Linda Boles
LINDA BOLES, CRR, RPR
FPSC Official Commission
Reporter
(850) 413-6734