


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of: DOCKET NO. 090009-EI
NUCLEAR COST RECOVERY CLAUSE.



VOLUME 4

Pages 655 through 852

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

PROCEEDINGS: HEARING

COMMISSIONERS
PARTICIPATING: CHAIRMAN MATTHEW M. CARTER, II
COMMISSIONER LISA POLAK EDGAR
COMMISSIONER KATRINA J. McMURRIAN
COMMISSIONER NANCY ARGENZIANO
COMMISSIONER NATHAN A. SKOP

DATE: Tuesday, September 8, 2009

TIME: Commenced at 9:30 a.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: JANE FAUROT, RPR
Official FPSC Reporter
(850) 413-6732

PARTICIPATING: (As heretofore noted.)

DOCUMENT NUMBER - DATE

09341 SEP-98

FPSC-COMMISSION CLERK

I N D E X

WITNESSES

NAME:	PAGE NO.
STEVEN D. SCROGGS (rebuttal)	
Cross Examination by Mr. McGlothlin	647
RAJIV S. KUNDALKAR (rebuttal)	
Direct Examination by Mr. Anderson	659
Prefiled Rebuttal Testimony Inserted	661
Cross Examination by Mr. McGlothlin	676
STEVEN R. SIM (rebuttal)	
Direct Examination by Ms. Cano	680
Prefiled Rebuttal Testimony Inserted	682
Errata Sheet to Prefiled Testimony	733
Cross Examination by Mr. Davis	738
Cross Examination by Mr. Moyle	760
WINNIE POWERS (rebuttal)	
Direct Examination by Mr. Rubin	763
Prefiled Rebuttal Testimony Inserted	765
Errata Sheet to Prefiled Testimony	770
JOHN REED (rebuttal)	
Direct Examination by Ms. Cano	774
Prefiled Rebuttal Testimony Inserted	776
Errata Sheet to Prefiled Testimony	814
Cross Examination by Mr. McGlothlin	819
Cross Examination by Mr. Davis	829
Cross Examination by Mr. Moyle	842

EXHIBITS

	NUMBER:		ID.	ADMTD.
1				
2				
3	71-72			658
4	73-75			679
5	137	Earnings Conference Call, FPL	750	762
6	138	Strategic Decisions Conference 2009	751	762
7				
8	76-77			761
9	78-80			851
10				
11				
12				
13				
14				
15				
16				
17				
18				
19				
20				
21				
22				
23				
24				
25				

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

(Transcript follows in sequence from
Volume 3.)

CROSS EXAMINATION

BY MR. McGLOTHLIN:

Q. If you will turn to Page 10 of your rebuttal testimony. At Line 21, you say FPL understands that EPC contracts that are currently being offered for new nuclear generation provide little benefit in terms of cost control or risk management. And turning to Page 11, at Line 18, you say, FPL understands that some U.S. utilities using the AP 1000 design have entered into contracts with the consortium that provide for consolidated engineering procurement and construction, but contain scope, pricing, scheduling, and terms that make them significantly different from the EPC contracts that Witness Jacobs describes.

How many of the EPC contracts between the Shaw-Westinghouse consortium and other utilities have you personally reviewed, Mr. Scroggs?

A. I have only reviewed that, and that is just publicly available through the state cost-recovery cases in those issues.

Q. And would you suspect that the publicly available versions do not contain all the details and

1 terms and conditions of the actual EPC contract?

2 A. That is correct. It is an understanding based
3 on FPL's own knowledge and our negotiations with
4 Westinghouse-Shaw and what we can see reflected in the
5 publicly available portions of other owners who have
6 entered into EPC agreements.

7 Q. Would you expect that Westinghouse-Shaw and
8 the contracting utilities will probably guard the
9 details of those EPC contracts as confidential?

10 A. Yes.

11 Q. In fact, FPL would similarly guard any such
12 contract as confidential, would it not?

13 A. Yes, sir.

14 Q. So this understanding is based upon a review
15 of publicly available versions that have been -- that
16 have been shielded in terms of disclosing those terms
17 that the parties consider sensitive?

18 A. That is correct.

19 MR. McGLOTHLIN: May I have a moment?

20 CHAIRMAN CARTER: Absolutely.

21 MR. McGLOTHLIN: That's all I have.

22 CHAIRMAN CARTER: Thank you, Mr. McGlothlin.
23 Mr. Davis.

24 MR. DAVIS: Thank you, Mr. Chair.

25 CROSS EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. DAVIS:

Q. Mr. Scroggs, are you the appropriate person that keeps track of the financial condition at FPL as regards the Turkey Point 6 and 7 project?

A. I am responsible for the budgeting and financial reporting for the project, if that is your question, sir.

Q. Well, and one of the questions I have is FPL has acknowledged that there are factors that effect the financial capability of the corporation when it comes to the Turkey Point project, and those include general economic conditions, financial markets, rating agency and investor views, the regulatory environment in Florida, and predictable and consistent application of the nuclear cost-recovery rule, the support for nuclear construction on a national level, national energy policy on carbon emissions, and the experience of other companies who choose to construct new nuclear plants prior to Turkey Point 6 and 7.

Are those factors that you consider in terms of the financial capability of FPL to actually deliver Turkey Point 6 and 7?

A. I am part of the project management team that considers those in our project management decisions and the pace and risk that we see out there for the project,

1 but not an economic expert or a rating agency expert in
2 any of those specific categories.

3 Q. You rely on the rating agencies, however,
4 don't you, in terms of the ability to obtain capital?

5 A. Florida Power and Light Corporation certainly
6 relies on the rating agencies for access to capital
7 markets, yes, sir.

8 Q. And FPL has cited in an interrogatory answer
9 the Moody's article that I believe may have been
10 referred to before from June 2009, is that right?

11 A. I would accept, subject to check, that that is
12 true.

13 MR. DAVIS: Mr. Chair, if I may approach.

14 CHAIRMAN CARTER: You may approach.

15 MR. DAVIS: This is a previously admitted
16 Exhibit AG-3 on the list -- I'm sorry, it was AG-3 on
17 her list. Let me tell you what that is. That would be
18 Exhibit 63.

19 CHAIRMAN CARTER: Okay. You may approach.

20 BY MR. DAVIS:

21 Q. So, Mr. Scroggs, I have shown you the Moody's
22 article. You are familiar with that, are you not?

23 A. I am.

24 Q. And among other things, the title of it is New
25 Nuclear Generation Ratings Pressure Increasing from June

1 of 2009, and is this -- there is a mention in the
2 interrogatory answer about the lowering of the rating
3 for SCANA. That is part of this article, is it not?
4 You are familiar with that?

5 A. I am familiar with that, yes, sir.

6 Q. And what is SCANA?

7 A. SCANA is the operating company for South
8 Carolina Electric and Gas. Excuse me, holding company.

9 Q. And they are attempting to build an AP 1000,
10 is that correct?

11 A. That is correct.

12 Q. And in this article, Moody's states that we
13 view new nuclear generation plans as a bet the farm
14 endeavor for most companies due to the size of the
15 investment and length of time needed to build a nuclear
16 power facility. Do you know the size of FPL as related
17 to SCANA, for instance?

18 A. Yes. I believe we are larger in market
19 capitalization.

20 Q. Okay. Now, during the construction of the
21 nuclear plants that FPL constructed in the time period
22 '72 to '84, FPL's rating was reduced, was it not?

23 A. I don't have that information.

24 Q. It is in the article.

25 A. Okay.

1 Q. Subject to check, would you agree with that?

2 A. Subject to check, yes.

3 Q. And that was with Turkey Point 1 and 2 and the
4 St. Lucie Units, as well. That is what was being
5 constructed during that time frame, right?

6 A. That is correct.

7 Q. Now, have you looked at what would happen to
8 the project schedule and/or the project costs as a
9 result of the credit tightening or downrating of FPL
10 with its credit ratings?

11 A. Yes, sir, we have. As the Commission well
12 knows, our access to the capital markets is very
13 critical to our ability to deliver to our customers. A
14 higher rate of interest on capital that as a result of
15 the downgrade would go directly to the costs the
16 customers would pay. It is a significant portion of the
17 overall project costs.

18 Q. And where is the tightening of the credit
19 markets built into your economic analysis for these
20 reactors?

21 A. We have an assumption on escalation and a
22 regulated rate of return that defines our allowance for
23 funds used during construction. Our analysis uses
24 those -- what our history of escalation has been in
25 terms of interest uses what is the approved AFUDC rate

1 for construction.

2 Q. So, in other words, there is no contingency
3 built into your economic analysis for a downgrading of
4 your credit rating or a further tightening of financial
5 markets?

6 A. Not explicitly.

7 Q. Turning your attention to the schedule, you
8 have stated in your rebuttal testimony -- and this is
9 Page 22 at Line 7, that you disagree with
10 Mr. Gundersen's concerns -- I'm sorry, let me back up.
11 You agree with his concerns, but you disagree with the
12 implications raised by Mr. Gundersen of the concerns for
13 the delays in the schedule. Is that fair to say?

14 A. Sorry, if you could rephrase.

15 Q. I'll try to do that. If I read your testimony
16 correctly, when you talk about Mr. Gundersen's
17 testimony, you say that you have taken into account or
18 that you consider as you prepare your annual feasibility
19 analysis the issues that he raised in his testimony, is
20 that right?

21 A. Yes, sir.

22 Q. And yet you come to a different conclusion
23 about whether your schedule is going to slip, is that
24 right?

25 A. I think what we have said is that -- you know,

1 we set an aggressive schedule. We have a number of
2 items that we are looking at to guide us as to how we
3 control the pace and the risk of exposure in the
4 project. As we move forward, we collect information, we
5 evaluate that information, and we use that information
6 to tell us if we should accelerate the project,
7 decelerate the project, or stay on schedule. So right
8 now our schedule is 2018. We have postponed entering
9 into an EP or EPC contract, and in doing so we have
10 accepted that that increases the risk of being able to
11 maintain the 2018 schedule. So it is a slightly
12 different take on management and schedule. That is the
13 status of our project at this point.

14 Q. Well, and you state on Line 7 on Page 22 of
15 your rebuttal testimony, the project is approached with
16 a sense of urgency so as to continuously identify all
17 reasonable opportunities for schedule improvement and,
18 therefore, deliver the earliest practical schedule. And
19 then you contrast Mr. Gundersen's testimony as targeting
20 a most likely schedule. Your sense of urgency, is it
21 not delivering the most likely schedule?

22 A. Our sense of urgency is recognizing the
23 significant benefits that new nuclear offers our
24 customers; \$93 billion in fuel savings over the first 40
25 years, reduction in CO2, those are valuable benefits to

1 our customers similar to the benefits that customers
2 have received from the existing nuclear plants. We know
3 and we expect that this Commission wants us to bring
4 those benefits to bear as soon as reasonably possible
5 with a sense of urgency, and that is how we approached
6 the project because we feel that is our requirement and
7 our duty to our customers.

8 **Q.** And is it not a duty to this Commission to
9 present the most likely schedule so that the Commission
10 can assess the long-term feasibility of this project?

11 **A.** I disagree with the implication that we
12 haven't provided a reasonable schedule.

13 **Q.** I didn't say reasonable, I said most likely.

14 **A.** I don't know what most likely means in this
15 context.

16 **Q.** Most likely is not from a sense of wishful
17 thinking or urgency, it is most likely. It is something
18 that the Commission can sit here and rule upon whether
19 or not you have actually demonstrated long-term
20 feasibility.

21 **A.** We have put forth a schedule that is
22 achievable. We have done the studies and background
23 analysis to validate that it is achievable. We have
24 placed in our estimates for 2009 and 2010 the monies
25 necessary to achieve that schedule. We are waiting on

1 clarification of certain things, such as our regulatory
2 review schedule to understand if our previous
3 assumptions are still going to be valid after the NRC
4 issues its schedule for review and after the state
5 process takes in the initial completeness review, and
6 that we know that we can rely on those early stage
7 assumptions and, therefore, later assumptions.

8 Q. And meanwhile you want the Commission to rely
9 upon your urgent schedule instead of the most likely
10 one, is that right?

11 A. We have provided a schedule with the same
12 fidelity as all our scheduling activities. It's a
13 proper schedule. It's backed up by the best engineering
14 and analysis that we have available to us right now.

15 Q. Now, you had talked about the EP contract and
16 that you hoped to achieve that by the end of this year,
17 or achieve a decision by the end of this year. Mr. Reed
18 discussed -- is it Doctor Reed or Mr. Reed? I can't
19 remember. Mr. Reed discussed that the EP contract is a
20 give and take between FPL and Westinghouse-Shaw as to
21 who is going to accept certain risks. If
22 Westinghouse-Shaw refuses to accept risks that you want
23 them to, then your schedule slips even more, is that
24 correct?

25 A. Depending on the results of our negotiation,

1 we are going to take the steps that are appropriate for
2 our customers. If that means that we do not initiate an
3 EP contract and that we defer the project some months or
4 a year, then if that is the appropriate decision for our
5 customers that is the decision we will make.

6 **Q.** And if Westinghouse-Shaw decides and you agree
7 that you should be charged more for them accepting
8 greater risk, then your \$58 million that you projected
9 for 2010 for the engineering design part of the EP
10 contract won't be enough?

11 **A.** That is not necessarily correct. The early
12 stage design activities are fairly well-defined. They
13 are calendar driven, man-hour driven, and we believe
14 that the 58 million that we have scheduled for 2010
15 would be sufficient to maintain the schedule for 2018.

16 **Q.** Isn't it typical with a major contract like an
17 EP contract that there are contingency payments that you
18 have to make in case you back out at some future date?

19 **A.** Some structures result in those types of
20 payments, yes, sir.

21 **Q.** And that is an idea of risk being shifted from
22 Westinghouse to FPL?

23 **A.** That would be the result.

24 **Q.** Okay. Are those being discussed in your
25 negotiations with Westinghouse?

1 **A.** That would be the product of confidential
2 negotiations.

3 **MR. DAVIS:** I believe that's all I have.

4 **CHAIRMAN CARTER:** Okay. Staff.

5 **MR. YOUNG:** No questions.

6 **CHAIRMAN CARTER:** Commissioners.

7 Redirect.

8 **MR. ANDERSON:** None. Thank you.

9 **CHAIRMAN CARTER:** Exhibits. I am showing 71
10 and 72, Mr. Anderson.

11 **MR. ANDERSON:** Yes, sir. We offer those.

12 **CHAIRMAN CARTER:** Are there any objections?
13 Without objection, show it done.

14 (Exhibit Numbers 71 and 72 admitted into the
15 record.)

16 **CHAIRMAN CARTER:** Anything further for this
17 witness? Thank you. Have a nice day.

18 Call your next witness.

19 **MR. ANDERSON:** May Mr. Scroggs be excused?

20 **CHAIRMAN CARTER:** Yes, sir. You are excused.

21 **MR. ANDERSON:** Thank you.

22 **CHAIRMAN CARTER:** That was direct and rebuttal
23 for you, so have a nice day.

24 **MR. ANDERSON:** FPL calls Mr. Kundalkar.

25 **CHAIRMAN CARTER:** Okay. You may proceed, Mr.

1 Anderson.

2 **MR. ANDERSON:** Thank you.

3 RAJIV S. KUNDALKAR

4 was called as a rebuttal witness on behalf of Florida
5 Power and Light Company, and having been duly sworn,
6 testified as follows:

7 DIRECT EXAMINATION

8 **BY MR. ANDERSON:**

9 **Q.** You were sworn and testified earlier today,
10 Mr. Kundalkar?

11 **A.** Yes, that is correct.

12 **Q.** Just remind us of your name, by whom you are
13 employed, and your position?

14 **A.** My name is Rajiv S. Kundalkar. I am employed
15 with Florida Power and Light Company. I'm
16 Vice-President in the Nuclear Division for
17 Organizational Support, and I work at 700 Universe
18 Boulevard, Juno Beach, Florida.

19 **Q.** Have you prepared and caused to be filed 12
20 pages of prefiled rebuttal testimony in this proceeding
21 on August 10, 2009?

22 **A.** Yes, I did.

23 **Q.** Were there any errata to your testimony?

24 **A.** No, I do not.

25 **Q.** Did you have any further changes for

1 revisions?

2 **A.** No, I do not.

3 **Q.** If I asked you the same questions contained in
4 your prefiled rebuttal testimony, would your answers be
5 the same?

6 **A.** Yes, they would be.

7 **MR. ANDERSON:** FPL asks that the prefiled
8 rebuttal testimony be inserted into the record as though
9 read.

10 **CHAIRMAN CARTER:** The prefiled testimony of
11 the witness will be inserted into the record as though
12 read.

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **REBUTTAL TESTIMONY OF RAJIV S. KUNDALKAR**

4 **DOCKET NO. 090009-EI**

5 **August 10, 2009**

6

7 **Q. Please state your name and business address.**

8 A. My name is Rajiv S. Kundalkar and my business address is 700 Universe
9 Blvd., Juno Beach, FL 33408

10 **Q. Have you previously provided testimony in this docket?**

11 A. Yes.

12 **Q. Are you sponsoring any rebuttal exhibits in this case?**

13 A. Yes. I am sponsoring the following exhibits that are attached to my rebuttal
14 testimony:

15 Exhibit RSK-10, Nuclear Policy 703, Long Range Plan

16 Exhibit RSK-11, Nuclear Plant Overview

17 Exhibit RSK-12, Turkey Point Unit 3 Overview

18 **Q. What is the purpose of your rebuttal testimony?**

19 A. My rebuttal testimony addresses the direct testimony provided by William R.
20 Jacobs on behalf of the Office of Public Counsel (OPC).

21 **Q. Please summarize your testimony.**

22 A. As outlined in my direct testimony and detailed below, FPL employs a
23 rigorous, in-depth engineering-based process to ensure that only costs that are
24 “separate and apart” from those that would have been incurred absent the

1 Extended Power Uprate (EPU) project have been included in determining the
2 amount of FPL's Nuclear Cost Recovery Clause (NCRC) request for the EPU
3 project.

4
5 Without discussing or criticizing any specific aspect of FPL's extensive,
6 careful management controls and processes that support FPL's "separate and
7 apart" determination, Witness Jacobs simply repeats the same claim he made
8 in last year's NCRC case -- that the only way to satisfy the "separate and
9 apart" standard is to conduct a time consuming and speculative study
10 forecasting the performance of each and every part of the nuclear plant that
11 would or would not have had to be changed or replaced in the future if,
12 hypothetically, the EPU project did not occur. As explained in my testimony,
13 this approach where FPL is to somehow determine the future component-by-
14 component performance of the Turkey Point and St. Lucie nuclear plants,
15 absent the uprates, is not reasonable and should be rejected.

16
17 In addition, even assuming that (i) such a speculative study as proposed by
18 Witness Jacobs was performed; and (ii) it were hypothetically to show that
19 one or another component would have needed to be replaced over the next 20
20 years absent the EPU project, the resulting accounting most likely would
21 result in increased, not decreased, costs for FPL's customers.

22

1 The Commission may be assured that by accepting FPL's carefully designed
2 and executed "separate and apart" process that the carrying costs for only the
3 correct "separate and apart" work is included in FPL's NCRC request.
4 Accordingly, FPL's analysis and its results should be accepted by the
5 Commission for NCRC purposes, and Witness Jacobs's claim should be
6 rejected.

7 **Q. Witness Jacobs asserts on page 10 of his testimony that FPL has**
8 **"steadfastly refused to conduct the necessary study to confirm that the**
9 **uprate costs for which it is requesting recovery are separate and apart**
10 **from nuclear costs that would have been necessary to provide safe and**
11 **reliable service had there been no uprate project." Do you agree?**

12 A. No. Witness Jacobs's claim that FPL has failed to conduct necessary analyses
13 to meet the requirements of the Commission's Rule 25-6.0423 and
14 contemplated by the stipulation in last year's NCRC case is incorrect.

15
16 The facts are absolutely to the contrary of Witness Jacobs's assertion. In fact,
17 FPL's entire engineering, analytical and accounting approach to the uprate
18 project is aimed at ensuring that only appropriate uprate costs are incurred and
19 included for recovery in its NCRC request.

20 **Q. Please describe how FPL's engineering, analytical and accounting**
21 **approach to the uprate project provides assurance that only appropriate**
22 **"separate and apart" costs are included in the determination of FPL's**
23 **NCRC request.**

1

2 A. FPL's "separate and apart" analysis focuses on (i) determining the scope of
3 modifications required for the uprate conditions through detailed engineering
4 analyses; (ii) reviewing historical nuclear division plans for plant expenditures
5 to validate that none of the modifications necessary for the EPU project were
6 included in prior plans; (iii) reviewing Nuclear Regulatory Commission
7 (NRC) license renewal commitments to validate that none of the
8 modifications necessary for the uprate conditions were included in FPL's
9 existing license renewal commitments; (iv) establishing a cross-functional
10 review team including engineering, accounting, business operations, and
11 others to review uprate activities and confirm these activities are separate and
12 apart from nuclear costs that would have been necessary to provide safe and
13 reliable service had there been no uprate project; and (v) the careful process of
14 recording costs and compiling its Nuclear Filing Requirements, and the many
15 processes and procedures attendant thereto.

16 **Q. Please elaborate on the engineering process FPL uses to ensure that only**
17 **"separate and apart" expenditures are included.**

18 FPL began with a detailed, engineering-based scoping study to outline the
19 activities, replacements and modifications necessary for the uprates, including
20 "benchmark" studies of other similar utilities that have performed power
21 uprates.

22

1 After these studies, initial evaluations of the activities planned for the uprates
2 were performed to better define the scope of upgrades needed. This phase
3 was followed by the detailed engineering phase currently in progress.

4
5 The detailed engineering phase is the most intense evaluation phase to define
6 the optimum scope of upgrades needed and demonstrate the capability of the
7 plant to be licensed and operated safely and efficiently at the uprated
8 conditions. FPL continues to evaluate and optimize the scope of activities that
9 are needed to support the power uprate under this phase. In this phase, FPL
10 may identify new activities that are needed to support the power uprate
11 conditions, such as equipment modifications, removals, and installations not
12 previously identified. Other scope changes could include the elimination of
13 initially identified activities.

14
15 The fact that FPL continues at every stage to scrutinize the scope of necessary
16 activities exemplifies FPL's aggressive management of the project and desire
17 to correctly identify only those costs that are necessary for the uprate and are
18 separate and apart from nuclear costs that would have been necessary to
19 provide safe and reliable service had there been no uprate project.

20 **Q. Please describe the relevant document review conducted by FPL.**

21 A. Based on the scope of modifications identified, to conduct the separate and
22 apart analysis, FPL reviewed the Nuclear Division 2005 Business Plan to
23 validate that modifications necessary for the uprate conditions were not

1 included in prior plans. The Nuclear Division 2005 Business Plan includes
2 planned Operations & Maintenance (O&M) expenditures for 2005 – 2009 and
3 the seven (7) year plan of capital expenditures for 2004 – 2010, which has
4 been produced in discovery. FPL's Nuclear Policy 703, Long Range Plan, is
5 attached as Exhibit RSK-10 and requires each site to maintain such properly
6 approved 7 year plans for major outage and non-outage projects.

7
8 This review confirmed that the EPU Project will only modify, remove and/or
9 replace equipment that is necessary to support the units in the power uprate
10 conditions of increased temperatures, pressures, flow rates, and electrical
11 output and there was no duplication of modifications between the EPU Project
12 and the planned expenditures outlined in the Business Plan.

13
14 Similarly, to ensure the uprate activities are separate and apart from license
15 renewal requirements, FPL completed a thorough examination of FPL's
16 license renewal commitments. The license renewal process specifically
17 included passive components that perform functions important to safety and
18 specifically excludes active components. Active components are those with
19 moving parts such as pumps, valves, generators, and turbines. The NRC relies
20 on plants predictive maintenance and surveillance activities to determine
21 required replacements of these active components. When the need for
22 replacements is identified, they are included in the Business Plan described
23 above. The license renewal process resulted in FPL's commitment to perform

1 numerous aging management programs on an ongoing basis. These license
2 renewal aging management programs are just some of FPL's comprehensive
3 equipment inspection, surveillance, and monitoring activities that ensure the
4 plant is operated safely and reliably. FPL's review of the license renewal
5 commitments confirmed that the EPU modifications are separate and apart
6 from the license renewal commitments.

7 **Q. Does Witness Jacobs criticize FPL's process of ensuring only separate**
8 **and apart costs are included in its request?**

9 A. No. Witness Jacobs has not identified any flaws with FPL's analyses or
10 processes. His entire position is premised on the idea that his suggested 20
11 year study -- and only the suggested 20 year study -- would constitute an
12 appropriate "separate and apart" analysis.

13
14 I disagree with his claims that such a study is either a viable solution or the
15 only solution to determining what is "separate and apart." Moreover, such a
16 study would be impractical and meaningless because it would rely on
17 conjecture and speculation as opposed to FPL's actual engineering plans and
18 information. FPL's approach is the more appropriate method for ensuring that
19 only separate and apart costs are included in its request.

20 **Q. Please explain why you think Witness Jacobs's study would be**
21 **meaningless.**

1 A. In order to understand why Witness Jacobs's claimed study is so speculative
2 as to be meaningless for decision-making purposes, it is helpful to consider
3 exactly what it is that Witness Jacobs is saying should be studied.

4
5 Witness Jacobs's study would require FPL to conduct a predictive study on a
6 component by component basis to determine the future requirements for its
7 four Florida nuclear units for the next 20 years – based on FPL's units as they
8 would *hypothetically* exist if the EPU project did not take place. Witness
9 Jacobs would then have FPL include in the NCRC process only those EPU
10 project components whose counterparts in that hypothetical world did not
11 require potential replacement. Thus it is clear that Witness Jacobs's process is
12 speculative in nature, while FPL's processes are firmly rooted in actual
13 engineering evaluations which take into account a reasonable time horizon
14 that is consistent with FPL's actual operations and planning horizons for its
15 units.

16
17 The operation of a nuclear power plant is a very complicated and dynamic
18 process. In the typical nuclear plant there are approximately 135 systems
19 made up of thousands of components that must function or have a high
20 reliability that they will function when needed. Exhibit RSK-11 attached to
21 my testimony represents an overview of a nuclear plant. Exhibit RSK-12, also
22 attached to my testimony represents a detailed overview of Turkey Point Unit
23 3. There are rigorous monitoring, surveillance and overhaul programs that

1 have been implemented and are periodically updated, many through the
2 combined experience of the industry, usually identified as “best industry
3 practices” which help FPL maintain its facilities to provide safe, reliable
4 electricity for our customers. This is also consistent with the NRC’s regulatory
5 framework.

6
7 To support these constantly improving processes, FPL maintains a 7 year
8 forward looking plan of capital expenditures that is periodically updated to
9 reflect current conditions and improving industry practices. It is not practical
10 to expand this to the 20 year interval suggested by Witness Jacobs, or to a
11 hypothetical case where the EPU project was not conducted, for the reasons
12 described above.

13
14 FPL’s long range planning practices are consistent with industry standards and
15 “best practices” and regulatory requirements. It should also be noted that no
16 predictive study of the type suggested by Witness Jacobs is required by the
17 NRC for the license renewal of a nuclear plant for active components such as
18 pumps, motors and valves. In contrast, the NRC relies on FPL’s continued
19 vigilance in performance monitoring, inspection and maintenance programs
20 for early identification with appropriate actions to ensure each facility will
21 operate as designed.

22

1 Moreover, FPL cannot predict with any certainty future actions which may be
2 required by the NRC or future industry-wide events which may require
3 improvements to equipment. For example, let's say someone needs to replace
4 the water pump in his car with a larger pump because he is installing a bigger
5 engine with greater horsepower. Can that person say that the original pump
6 would have failed in the next 20 years? Can he say that the manufacturer of
7 the original pump never would have recalled that piece of equipment and
8 required installation of the new pump anyway? Of course not. However,
9 what the car owner does know, is that this piece of equipment is needed now
10 for the new larger engine to function properly.

11 **Q. What would be the economic impact of Witness Jacobs's proposal on**
12 **FPL's customers?**

13 A. Witness Jacobs's approach would increase costs to customers. First, the cost
14 of Witness Jacobs's study itself would increase project costs for customers.
15 Second, any capital expenditures moved out of the clause would simply be
16 moved into a Construction Work in Progress account, where they would
17 accrue Allowance for Funds Used During Construction (AFUDC) until the
18 uprated units enter commercial operation, resulting in higher total costs for
19 recovery in rates. Accordingly, even assuming Witness Jacobs's approach
20 could be used and applied, and even if certain costs were identified as
21 candidates for removal from clause recovery, the shift in accounting for those
22 costs would increase, not decrease, costs for FPL's customers.

1 **Q. Please summarize your points concerning why Witness Jacobs's claim**
2 **that only a 20 year predictive study of FPL's plants absent the EPU**
3 **project would satisfy the "separate and apart" requirement.**

4 A. A 20 year forecast of hypothetical plant operations and capital expenditure
5 absent the uprates is not feasible or useful for the NCRC process, would be
6 unduly speculative, and would clearly result in increased costs for the uprate
7 project and for FPL's customers. Therefore, Witness Jacobs's claim that FPL
8 perform his claimed 20 year predictive study should be rejected.

9 **Q. Please comment on Witness Jacobs's assertion on page 10 that FPL has**
10 **been uncooperative in resolving this issue and has not acted in the spirit**
11 **of the stipulation in Docket No. 080009-EI.**

12 A. FPL has been cooperative and transparent with respect to this issue, and has
13 fully complied with Rule 25-6.0423 and the separate and apart stipulation
14 approved by the FPSC. For example, FPL participated in a highly cooperative
15 manner in the Commission Staff "lessons learned" workshops focused on
16 making improvements to the filing process and information to be provided in
17 the NCRC process, all of which FPL has met.

18
19 In addition, specifically with respect to the "separate and apart" issue, Staff
20 during its "lessons learned" workshops requested that FPL provide specific
21 information and examples of "separate and apart" components, in order to
22 foster the parties' understanding of one another's positions, which FPL
23 prepared and sent to all parties including OPC. Most significantly, as

1 described in this rebuttal and my direct testimony, FPL has structured its
2 business processes to provide complete assurance to the Commission, OPC,
3 and others that only those costs necessary for the uprate are accounted for
4 with respect to the NCRC.

5
6 My March 2009 testimony includes Exhibit RSK-5, which is a listing of
7 uprate activities required for the uprate project and explanations of the need
8 for each activity. My March and May 2009 testimonies also present a detailed
9 explanation of the cross-functional review team and the suite of controls and
10 processes utilized by the project team to ensure only appropriate costs are
11 incurred and reflected in the NCRC.

12
13 Thus, FPL has also provided information to OPC through its testimony and
14 discovery to explain its separate and apart approach and show why this
15 approach is analytically rigorous, comprehensive, and reliable for a
16 determination on whether costs are in fact "separate and apart" from other
17 nuclear costs.

18 **Q. Does this conclude your testimony?**

19 **A. Yes.**

1 **BY MR. ANDERSON:**

2 Q. You sponsored three exhibits to your rebuttal
3 testimony?

4 A. Yes, I did.

5 Q. RSK-10, 11, and 12?

6 A. That is correct.

7 **MR. ANDERSON:** Chairman Carter, these have
8 been previously identified as 73 to 75 on Staff's
9 Comprehensive Exhibit List.

10 **CHAIRMAN CARTER:** For the record, 73 through
11 75.

12 **BY MR. ANDERSON:**

13 Q. Have you prepared a summary of your rebuttal
14 testimony?

15 A. Yes, I have.

16 Q. Please provide it at this time.

17 A. Good afternoon, Chairman Carter and
18 Commissioners. My rebuttal testimony responds to the
19 criticism of FPL's uprate project made by OPC Witness
20 Jacobs and explains how FPL is in full compliance with
21 what is referred to as separate and apart requirement.

22 FPL's entire engineering and electrical and
23 accounting approach to the uprate project is aimed at
24 ensuring that only appropriate uprate costs are incurred
25 and included for recovery. This is based on FPL's

1 systematic analysis that is made up of four parts.

2 First, FPL determined the scope of
3 modifications required through detailed engineering
4 analysis for the uprate conditions at high reactor power
5 with corresponding high feed water flows and high steam
6 flows required to generate greater electric output.

7 Second, FPL reviewed the nuclear division's
8 long range plans which are required for long-term
9 reliable operation without uprates to validate that none
10 of these modifications necessary for the uprates were
11 included in these prior long-range plans.

12 Third, FPL reviewed the Nuclear Regulatory
13 Commission's license renewal commitments associated with
14 20 years of extended plant license to confirm that none
15 of the modifications necessary for the uprate conditions
16 were included in FPL's existing license renewal
17 commitments.

18 And lastly, FPL established an independent
19 cross functional review team to review uprate activities
20 to help ensure that these activities are separate and
21 apart from nuclear costs that would have been necessary
22 to provide safe and reliable service had there been no
23 uprate project.

24 Based on the results of these reviews and
25 analyses, the applicable costs are then recorded and

1 nuclear filing requirements are compiled. In contrast,
2 Witness Jacobs' study would require FPL to conduct a
3 speculative study on a component-by-component basis to
4 determine the future requirements of its four nuclear
5 units for the next 20 years or so based on FPL's units
6 as they would hypothetically exist if the uprate project
7 did not take place, and then have FPL include in the
8 nuclear cost-recovery clause process only those
9 components whose counterparts in the hypothetical study
10 did not require potential replacements.

11 The proposed study is unnecessarily
12 speculative in nature and needlessly overlooks the fact
13 that FPL's processes are firmly rooted in evaluations of
14 actual engineering data and are based on performance
15 monitoring and predicted maintenance of equipment.
16 FPL's approach is consistent with the best industry
17 practices, while Witness Jacobs' approach is not.

18 In conclusion, FPL is in full compliance with
19 Commission orders and utilizes in-depth processes to
20 ensure that only equipment and modifications needed to
21 support the uprate conditions are included in the
22 nuclear cost-recovery clause.

23 And this concludes my summary, Chairman
24 Carter.

25 **CHAIRMAN CARTER:** Thank you.

1 **MR. ANDERSON:** Mr. Kundalkar is available for
2 cross-examination.

3 **CHAIRMAN CARTER:** Mr. McGlothlin, you're
4 recognized.

5 CROSS EXAMINATION

6 **BY MR. McGLOTHLIN:**

7 **Q.** Is it Kundalkar? Am I close?

8 **A.** That's pretty close.

9 **Q.** All right. Mr. Kundalkar, I have several
10 questions for you.

11 **A.** Please.

12 **Q.** I am looking at Page 6 of your rebuttal
13 testimony, Lines 14 and 15. Now, one of the items to
14 which you point in your testimony is the NRC's license
15 renewal requirements, is that correct?

16 **A.** That is correct.

17 **Q.** Isn't it true that the NRC requirements for
18 license renewal generally cover only the nuclear safety
19 related components of a nuclear project?

20 **A.** They include safety related components and
21 many other things. They include nonsafety related
22 components if they effect the safety -- function of the
23 safety-related components, and there are other five
24 categories; fire protection, station blackout, and two
25 other scenarios. So it is much broader than just safety

1 related components.

2 Q. Well, there is safety related with respect to
3 radiological safety and then there is safety related
4 operational.

5 A. That is correct, yes.

6 Q. And would you agree that all of the things
7 that you just mentioned refer to the broader definition
8 of safety related?

9 A. That is correct, yes.

10 Q. Is it true, then, that the NRC requirements
11 for license renewal would not cover main transformers?

12 A. They do not cover main transformers.

13 Q. Is it true that the license renewal process
14 would not cover feedwater heaters?

15 A. That is correct.

16 Q. And there are other items that the license
17 renewal process would not cover, correct?

18 A. That is correct.

19 Q. On the same page, please refer to Lines 2 and
20 3. In the course of your testimony you refer to a plan
21 of capital expenditures. Is it true that the capital
22 expenditure plan to which you refer and the one in
23 which, that FPL conducts is a seven-year horizon?

24 A. Yes, that is correct.

25 Q. Now refer to Page 10, Lines 21 through 22. In

1 this portion of your testimony you describe what would
2 happen to any uprate related costs that are excluded
3 from clause recovery, do you not?

4 **A.** Yes, I do.

5 **Q.** Would you agree with me that it is potentially
6 possible that within the universe of all costs
7 associated with completing the uprate project there may
8 be some that don't qualify for recovery through the
9 nuclear cost-recovery process?

10 **A.** Can you elaborate on your question, again?

11 **Q.** Yes. And it's a hypothetical. Would you
12 agree with me that with respect to all the costs
13 incurred to complete the uprate project there may be
14 some that don't qualify for recovery through the nuclear
15 cost-recovery clause?

16 **A.** I think through the uprate project, if all --
17 in our assessment all the components would qualify for
18 nuclear cost-recovery process based on the approach and
19 assessment we have completed.

20 **Q.** Well, I understand that is the company's
21 position, but if the Commission -- well, first, would
22 you agree with me that there are criteria that govern
23 whether costs go through the clause or whether they are
24 base rate related?

25 **A.** Yes, I agree with that.

1 **Q.** And if the Commission were to determine that
2 certain costs are ineligible for the clause, you are not
3 suggesting that the Commission permit the utility to
4 flow those through the clause anyway, are you, sir?

5 **A.** No, I'm not.

6 **MR. McGLOTHLIN:** That's all the questions I
7 have.

8 **CHAIRMAN CARTER:** Thank you, Mr. McGlothlin.
9 Mr. Davis.

10 **MR. DAVIS:** I have none. Thanks.

11 **CHAIRMAN CARTER:** Staff?

12 **MR. YOUNG:** No questions.

13 **CHAIRMAN CARTER:** Commissioners. Redirect.

14 **MR. ANDERSON:** Let me check for just a second.

15 **CHAIRMAN CARTER:** Okay.

16 **MR. ANDERSON:** None; thanks.

17 **CHAIRMAN CARTER:** Exhibits.

18 **MR. ANDERSON:** FPL offers 73 to 75.

19 **CHAIRMAN CARTER:** Are there any objections?
20 Without objection, show it done.

21 (Exhibit Number 73 through 75 admitted into
22 the record.)

23 **CHAIRMAN CARTER:** This completes it for this
24 witness for both direct and rebuttal, is that correct?

25 **MR. ANDERSON:** Yes, sir, that's right.

1 **CHAIRMAN CARTER:** Thank you, sir, and have
2 yourself a great evening.

3 **THE WITNESS:** Thank you.

4 **CHAIRMAN CARTER:** Call your next witness.

5 **MS. CANO:** FPL calls Doctor Steven Sim.

6 **CHAIRMAN CARTER:** You may proceed.

7 STEVEN R. SIM

8 was called as a rebuttal witness on behalf of Florida
9 Power and Light Company, and having been duly sworn,
10 testified as follows:

11 DIRECT EXAMINATION

12 **BY MS. CANO:**

13 **Q.** Hello, again, Doctor Sim.

14 **A.** Hello, again.

15 **Q.** You were previously sworn, correct?

16 **A.** That is correct.

17 **Q.** Would you please restate your name, business
18 address, and position?

19 **A.** Steve Sim, address is 9250 West Flagler
20 Street, Miami, Florida.

21 **Q.** Did you prepare and cause to be filed 51 pages
22 of prefiled rebuttal testimony in this proceeding?

23 **A.** Yes.

24 **Q.** Did you also prepare and cause to be filed an
25 errata to that testimony?

1 **A.** That is correct.

2 **Q.** Do you have any other changes or revisions to
3 your prefiled rebuttal testimony?

4 **A.** Yes, I do on one page. On Page 21 on Lines 18
5 and 20, I make reference to the year 2008. That should
6 read on both lines 2007.

7 **Q.** Thank you. With those changes and with the
8 errata, if I were to ask you the same questions
9 contained in your prefiled rebuttal testimony today,
10 would your answers be the same?

11 **A.** Yes, they would.

12 **MS. CANO:** Chairman Carter, I ask that the
13 prefiled rebuttal testimony of Doctor Sim be inserted
14 into the record as though read.

15 **CHAIRMAN CARTER:** The prefiled testimony of
16 the witness will be inserted into the record as though
17 read.

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **REBUTTAL TESTIMONY OF DR. STEVEN R. SIM**

4 **DOCKET NO. 090009 - EI**

5 **August 10, 2009**

6
7 **Q. Please state your name and business address.**

8 A. My name is Steven R. Sim and my business address is Florida Power & Light
9 Company, 9250 West Flagler Street, Miami, Florida 33174.

10 **Q. Have you previously submitted direct testimony in this proceeding?**

11 A. Yes.

12 **Q. Are you sponsoring any rebuttal exhibits in this case?**

13 A. Yes. I am sponsoring the following exhibits that are attached to my rebuttal
14 testimony:

15 Exhibit SRS-6: A Discussion Regarding Screening Curve Analyses from
16 Steven R. Sim Testimony in Docket No. 080407 – EG

17 Exhibit SRS-7: An Alternate Calculation for Witness Cooper’s “Diversity
18 of Resources” Analysis

19 **Q. What is the purpose of your rebuttal testimony?**

20 A. The purpose of my rebuttal testimony is to discuss and respond to a number of
21 statements and recommendations made by Southern Alliance for Clean
22 Energy (SACE) Witness Cooper who has filed testimony in this docket.

23 **Q. Please summarize your rebuttal testimony regarding SACE’s witness
24 Witness Cooper.**

1 A. SACE's witness Witness Cooper declares there is a high level of uncertainty
2 in the future. Then, when reviewing FPL's current economic analysis of
3 Turkey Point 6 & 7, Witness Cooper - who does not appear to have any utility
4 system planning or electric generation analytical background or experience -
5 attempts to persuade the state of Florida to discontinue the on-going
6 evaluation of this option which would provide emission-free, fossil fuel-free,
7 capacity and energy at a 90% capacity factor for at least 40 years. He attempts
8 to do so by choosing to suspend his belief in future uncertainty at carefully
9 selected points. At those points he selects a specific futures forecast, or
10 contentious pending legislation, as certain guideposts for how the future will
11 unfold for the next 50 years. Finally, he offers no meaningful economic
12 analysis that contradicts FPL's 2009 economic analyses, nor is he able to
13 support his conclusion that other resources will improve FPL's system fuel
14 diversity more than new nuclear capacity.

15
16 Therefore, Witness Cooper's recommendation that Florida stop its on-going
17 evaluation of the new Turkey Point 6 & 7 nuclear units does not warrant
18 serious consideration.

19 **Q. Please provide an overview of your rebuttal testimony.**

20 A. I have organized my comments regarding Witness Cooper's testimony into the
21 following four categories for discussion:

22
23 I. How to Address Uncertainty;

1 II. FPL's Economic Analyses and the Assumptions Used;

2 III. Witness Cooper's "Economic Analyses";

3 IV. Witness Cooper's "Diversity Analysis"; and,

4
5 **I. How to Address Uncertainty**

6
7 **Q. What do you believe the main points of Witness Cooper's testimony are?**

8 A. I believe there are three main points to Witness Cooper's testimony: (i) he
9 believes there is great deal of uncertainty in the future (and, for purposes of
10 this testimony, I'll call this his 'core belief'); (ii) he believes that some key
11 assumptions are currently not favorable for new nuclear units; and (iii)
12 therefore, Florida should cease any further evaluation of, and expenditures on,
13 new nuclear units.

14 **Q. What is your reaction to these points?**

15 A. I agree with his first point – there is great deal of uncertainty in the future. I'm
16 sure that most people would share that view. However, I disagree with his
17 second and third points.

18 **Q. Please explain.**

19 A. I don't agree with his second point, that a number of key assumptions are
20 currently unfavorable for new nuclear units, for several reasons. First, Witness
21 Cooper discusses only a few assumptions that are important in an evaluation
22 of resource options. He does not meaningfully address a number of other
23 assumptions, nor does he address various attributes of nuclear units, that are

1 important to any resource planning evaluation of new nuclear units. A partial
2 list of these items that Witness Cooper does not discuss in a meaningful way
3 would include, in no particular order: (i) the flexibility in both FPL's resource
4 planning and operations that would be gained with 2,200 MW of additional
5 baseload capacity; (ii) the increasing costs of securing firm transportation for
6 natural gas to support new gas-fired generation as an alternative to nuclear
7 generation; (iii) the significant reductions in system emissions, including
8 carbon dioxide (CO₂), that results from having 2,200 MW that operates with
9 zero emissions at a 90% capacity factor and will do so for at least 40 years;
10 and, (iv) the significant improvements in system fuel diversity that will result
11 from having 2,200 MW that uses no fossil fuel in operating at a 90% capacity
12 factor for at least 40 years. I will address several of these items later in my
13 testimony.

14
15 Second, Witness Cooper does not make a convincing case that even the few
16 assumptions he discusses are unfavorable for continuing to evaluate new
17 nuclear units. In discussing these assumptions, which he admits on one hand
18 are uncertain, Witness Cooper repeatedly tries to reach a conclusion by using
19 one specific forecast or projection as if it accurately reflected the future. In
20 other words, when it suits his purpose – stopping further evaluation of new
21 nuclear units in Florida – Witness Cooper is perfectly willing to suspend his
22 'core belief' ('the future is very uncertain'), and instead express a belief with
23 certainty that a 2009 forecast, or projection (such as the potential passage of

1 pending legislation), accurately represents what the future conditions will be
2 for 50 years or more.

3
4 This approach is not only inconsistent with his 'core belief,' it defies basic
5 common sense and experience. We know that most forecasts, particularly
6 those stretching decades out into the future, will almost certainly be wrong in
7 a variety of ways. We just do not know the magnitudes and the directions of
8 the errors. In addition, we also know that forecasts change constantly.
9 Therefore, why should a decision of whether to continue an on-going
10 evaluation of a promising resource option, such as new nuclear units, be based
11 solely on one forecast or projection that is interpreted to be unfavorable at one
12 point in time?

13
14 Finally, for the reasons just discussed, I disagree with Witness Cooper's third
15 point – that Florida should cease its on-going evaluation of new nuclear units.
16 I believe that the fact that the future is uncertain is a very strong argument to
17 continue to evaluate new nuclear units, not to cease this evaluation now. The
18 various attributes of new nuclear units, such as those mentioned above,
19 represent tremendous potential benefits for FPL' customers in addition to
20 potentially large economic benefits. It simply makes sense to continue to
21 evaluate the option of the new nuclear units, Turkey Point 6 & 7.

22

1 In the following sections of this testimony, I'll focus on the specific
2 assumptions in FPL's 2009 economic analyses that Witness Cooper is
3 concerned about. I'll also discuss Witness Cooper's "economic analysis" and
4 "diversity analysis" regarding new nuclear units and examine some of the
5 exhibits he presented in his testimony.

6 7 **II. FPL's Economic Analyses and the Assumptions Used**

8
9 **Q. Much of Witness Cooper's testimony regarding the feasibility of pursuing**
10 **the option of new nuclear units appears to be based on his concerns**
11 **regarding four assumptions used in FPL's economic analyses. What**
12 **assumptions is he concerned about?**

13 **A.** Starting on page 2, line 19, and continuing through to the top of page 5, of his
14 testimony, Witness Cooper discusses concerns with four assumptions that
15 were used in FPL's economic analyses supporting the 2007 need filing for
16 Turkey Point 6 & 7. The four assumptions he has concerns about from this
17 two year- old analysis presented in the need filing are (paraphrasing):

- 18
- 19 1. A high rate of demand growth in the load forecast;
- 20 2. A downplaying of the potential contributions of energy efficiency and
21 renewables to meet the need for electricity;
- 22 3. High projected prices for fossil fuels and CO₂ compliance costs; and,
- 23 4. A low estimate for the cost of the new nuclear units.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

Witness Cooper's concern is that the assumptions used in the 2007 need filing: *"have been called into question in the time since the evidence was filed in their (FPL and Progress) petitions for determination of need."* In other words, Witness Cooper has observed that a number of the assumptions used in the 2007 need filing have now changed.

Witness Cooper summarizes his position on page 4, lines 4 – 8: *"The evidence presented by the companies to the Commission does not take these factors fully into account and does not reflect the highly uncertain future that nuclear reactors face. If the Commission were to merely conclude that the changes in conditions make the future highly uncertain, that conclusion alone would argue strongly against continuing with these reactors."*

Q. What is your reaction to this?

A. Witness Cooper is merely stating the obvious: a number of assumptions or forecasts have certainly changed since 2007. Forecasts are always uncertain and forecasts will continue to change from month-to-month and from year-to-year. Forecasts for fuel costs, like many other commodities, change daily if not more frequently. And, as with all forecasts, no one knows the directions or the magnitudes of these changes.

Most importantly, FPL recognizes the uncertainty in any specific forecast – and the fact that these forecasts will continue to change – in its analytical

1 approach used in conducting economic analyses of the Turkey Point 6 & 7
2 units. Starting with the 2007 need filing, FPL has used 3 different fuel cost
3 forecasts and 4 environmental compliance cost forecasts for several types of
4 emissions (SO₂, NO_x, and CO₂) in its analyses. This allows a number of
5 combinations of fuel and environmental compliance costs to serve as possible
6 future scenarios with which to view the economics of Turkey Point 6 & 7.
7 These scenarios provide a wide range of possible fuel and environmental
8 compliance “futures” with which to address uncertainty.

9
10 Furthermore, FPL annually updates these projections of fuel costs and
11 environmental compliance costs, along with a number of other assumptions
12 such as the load forecast, for its economic analyses. Witness Cooper
13 apparently fails to recognize that FPL is not relying on its 2007 analysis.
14 Rather, FPL continues to analyze the feasibility of these units each year. In
15 2009, FPL’s economic analyses utilized a number of updated assumptions for
16 load, fuel costs, and environmental compliance costs.

17
18 The Commission also recognizes that uncertainty exists in forecasts utilized in
19 economic analyses, and that many of these assumptions will change each year,
20 when it required that an annual feasibility analysis for the new nuclear units
21 be filed with the Commission.

22

1 Consequently, there appears to be no disagreement among Witness Cooper,
2 the Commission, and FPL in regard to the fact that the future is uncertain or
3 that assumptions used in economic analyses change.

4
5 However, as evidenced by Witness Cooper's testimony, there does appear to
6 be disagreement at least between Witness Cooper and FPL regarding: (i)
7 whether these assumptions will continue to change in the future (FPL believes
8 they will continue to change, but Witness Cooper seems to believe that some
9 selected current forecasted values will not change), and (ii) in what directions
10 those assumptions will move. I'll return to these issues later in my testimony.
11 I'll now turn my attention to the four assumptions that Witness Cooper is most
12 concerned about.

13 **Q. Would you please discuss the first assumption that Witness Cooper has**
14 **concerns about: the load forecast that FPL used in its 2009 economic**
15 **analyses?**

16 A. Yes. The January 2009 load forecast used in FPL's 2009 economic analyses
17 of both the nuclear uprates and Turkey Point 6 & 7 is an updated forecast. It is
18 significantly different from the load forecasts used in prior nuclear feasibility
19 analyses. The 2009 updated forecast shows a significant drop in projected load
20 growth, particularly in the near-term. For example, as shown in Exhibit SRS –
21 1 in my direct testimony, the forecasted Summer peak load for the year 2020
22 dropped from 30,910 MW in the 2008 forecast to 27,715 MW in the 2009
23 forecast, for a drop of 3,195 MW.

1
2 However, Witness Cooper refers to projected load for the year 2017 in his
3 testimony so I'll focus on that year. The projected decrease in Summer peak
4 load for 2017 from the 2008 load forecast (28,621 MW) to the 2009 load
5 forecast (25,401 MW) is similar, 3,220 MW. Therefore, for the discussion that
6 follows, I'll assume that the drop in projected Summer peak load is
7 approximately 3,200 MW.

8 **Q. Witness Cooper asked on page 9, lines 21 – 22, of his testimony: “Is this**
9 ***dramatic shift in demand fully reflected in the 2009 Economic Analysis?”***

10 **A.** I note that Witness Cooper's testimony did not answer his own question, so I
11 will do so. The answer is yes. FPL fully accounted for the change in
12 forecasted demand and for the accompanying changes in forecasted annual
13 energy to be served. This same updated load forecast was used in analyzing
14 both the new nuclear units and the combined cycle capacity to which the new
15 nuclear units were compared.

16
17 Had he taken the time to examine Table ES.1 in the Executive Summary
18 sections of FPL's 2008 and 2009 Site Plans, Witness Cooper would have
19 learned how FPL's resource plans have changed due in large part to this
20 decrease in forecasted load. I'll summarize those changes by discussing the
21 major changes in FPL's resource plan from the 2008 Site Plan to the 2009 Site
22 Plan. (A number of smaller changes, such as MW ratings to existing units,
23 also occurred, but these changes were relatively minor.)

1
2 For the years 2009 through 2017 (the years addressed in both the 2008 and
3 2009 Site Plans), the major differences are:

- 4 - In the 2008 Site Plan, FPL projected the addition of 3 new greenfield
5 combined cycle (CC) units, each with 1,219 MW (Summer) capacity,
6 that would add approximately 3,660 MW of total capacity.
- 7 - In the 2009 Site Plan, FPL removed these 3 greenfield CC units and
8 added the conversions/modernizations at its existing Cape Canaveral
9 and Riviera sites. The addition of two new CC units (approximately
10 2,430 MW in total from the new units), and the removal of
11 approximately 1,350 MW of existing generating unit capacity at those
12 two existing sites as part of the conversion process, results in a net
13 gain of approximately 1,080 MW (= 2,430 – 1,350) from these
14 conversions.
- 15 - In addition, FPL's 2009 Site Plan shows the temporary removal of
16 approximately 2,400 MW of existing generating unit capacity that will
17 be placed into Inactive Reserve status in the first few years of the ten-
18 year reporting period, and then returning to active status in the future
19 as needed to meet reserve margin requirements. The 2009 Site Plan
20 projected that about 1,600 MW of this capacity would be returned to
21 active service by 2017. This results in a net reduction in active
22 generating capacity by 2017 of 800 MW.

- 1 - Therefore, FPL's 2009 Site Plan shows a net capacity increase of
2 approximately 280 MW (= 1,080 – 800) by 2017.
- 3 - Consequently, FPL's 2009 Site Plan, compared to the 2008 Site Plan,
4 shows a decrease in new net capacity additions of approximately 3,380
5 MW (= 3,660 – 280) by 2017.

6

7 The decrease in FPL's forecasted load of approximately 3,200 MW equates to
8 a decrease in the amount of new generation resources needed of about 3,840
9 MW due to the 20% reserve margin criterion. Thus FPL's projection of
10 resource needs by 2017 dropped by approximately 3,840 MW. A comparison
11 of the 2008 and 2009 Site Plans shows a reduction in planned new net
12 capacity by 2017 of approximately 3,380 MW to address the reduction in
13 projected resource needs. This is a clear indication that FPL has adjusted its
14 resource plan to address the lower load forecast.

15 **Q. Is the load forecast likely to change after 2009?**

16 A. Yes. FPL's official load forecast is typically reviewed and revised from one
17 year to another to reflect the best information available. Therefore, it is likely
18 that new load forecasts will be developed each year. If so, those new load
19 forecasts will be used in FPL's annual resource planning work, including the
20 annual economic analyses of new nuclear capacity. However, what neither
21 FPL nor Witness Cooper knows with certainty is what the magnitudes and
22 directions of changes will be in future load forecasts compared to the 2009
23 forecast.

1 **Q. Suppose that the new nuclear units are built and FPL's load in the future**
2 **is actually smaller than is currently projected. Omitting any**
3 **consideration of economics, would FPL's customers still benefit from**
4 **having Turkey Point 6 & 7 on the system?**

5 A. Yes. There would still continue to be numerous benefits to FPL's customers.
6 Turkey Point 6 & 7 would add 2,200 MW of baseload capacity and energy
7 that are projected to operate at projected capacity factors in the 90% range
8 using no fossil fuel and operating with no air emissions. Furthermore, the
9 units are projected to do this for at least 40 years. Economic considerations
10 aside, this resource would bring at least the following benefits to the FPL
11 system: (i) significant increases in system fuel diversity; (ii) significant
12 decreases in system emissions, including CO₂; and (iii) significant additional
13 flexibility for FPL's future resource planning and system operations:

14 **Q. How would Turkey Point 6 & 7 result in significant additional flexibility**
15 **for FPL's resource planning and system operations if the load was**
16 **smaller than currently projected?**

17 A. If future loads were to be smaller than currently projected at the time Turkey
18 Point 6 & 7 come on-line, a number of options would open up for FPL. These
19 options would become available because the large amount of capacity offered
20 by Turkey Point 6 & 7, combined with lower load, would enable FPL to more
21 easily meet its reserve margin requirements for the purpose of maintaining
22 system reliability, thus freeing up possible courses of action. These potential
23 courses of action include, but are not necessarily limited to, the following: (i)

1 taking additional existing units out-of-service and converting the sites with
2 new, highly efficient generating units (as is being currently done at FPL's
3 existing Cape Canaveral and Riviera sites), thus continuing to modernize
4 FPL's fossil fueled generating fleet; (ii) taking additional older existing units
5 out-of-service either temporarily (Inactive Reserve) or permanently (unit
6 retirement); and (iii) having the potential for more time for both planned and
7 unplanned maintenance outages for existing generating units if such action is
8 desired to gain greater long-term reliability and operational cost savings.

9
10 On the other hand, if FPL's load is actually larger than currently projected, the
11 benefits of Turkey Point 6 & 7 would likely be larger than the currently
12 projected benefits shown in FPL's 2009 economic analyses.

13 **Q. Would you please discuss the second assumption that Witness Cooper is**
14 **concerned about, accounting for efficiency and renewables in its**
15 **economic analyses?**

16 A. Yes. Witness Cooper contends that FPL's economic analyses should account
17 for larger contributions from energy efficiency and renewables. He bases this
18 contention on two points (paraphrasing): (i) proposed federal legislation may
19 direct utilities to move in the direction of more efficiency and renewables; and
20 (ii) efficiency and renewables should be incorporated anyway once they are
21 either 'understood' to be superior options, or once advancements reach the
22 point where they will become superior options.

1 **Q. What does Witness Cooper contend should be assumed regarding**
2 **proposed federal legislation when conducting economic analyses of new**
3 **nuclear units?**

4 A. Witness Cooper discusses proposed federal legislation in various places in his
5 testimony including beginning on page 15, line 22, through page 16, line 4:
6 *“Q. Please describe the full suite of federal policies that affect the long-term*
7 *feasibility of these nuclear reactors. A. On the supply-side, the legislation has*
8 *a renewable energy standard that would require utilities to meet an*
9 *increasing part of their load with renewables. Within a decade, they would be*
10 *required to get 20% of their generation from renewables, with as much as 8*
11 *percent of that total coming from efficiency.”* Witness Cooper contends that
12 current economic analyses of new nuclear units should incorporate these
13 aspects of the proposed legislation as if the proposed legislation were already
14 established law. However, Witness Cooper chooses not to discuss how the
15 currently proposed legislation addresses new nuclear units in the renewables
16 section of the legislation. FPL Witness Reed does discuss the “nuclear
17 neutral” aspect of the proposed legislation in his rebuttal testimony.

18
19 The proposed federal legislation that Witness Cooper discusses appears to be
20 HR 2454 that very narrowly passed the U.S. House of Representatives a short
21 while ago. This legislation, at least in the current form that barely passed one
22 body of Congress, was not even proposed several months ago when FPL’s
23 economic analyses were conducted. More importantly, this legislation has not

1 yet passed the U.S. Senate, much less been signed into law. In other words,
2 this legislation is still only proposed legislation.

3
4 Moreover, I would expect that if this legislation actually passes both houses of
5 Congress, numerous changes in the legislation are likely, so that the final
6 version may be significantly different than the version that narrowly passed
7 the House. In addition, if some form of the legislation is passed and signed
8 into law, it is likely that legal challenges will occur that could result in
9 changes to the law itself and/or in changes to rules and regulations that seek to
10 direct activities of utilities and other entities.

11
12 Witness Cooper expresses many times in his testimony that he believes that
13 the future is uncertain. However, he contends that this proposed legislation –
14 which has proven to be quite contentious - should be treated as a ‘certainty’ in
15 regard to assumptions that are used today in economic analyses of resource
16 options. His contention shows that he is willing to waive his core belief of
17 great uncertainty when it suits him - when he believes it helps bolster an
18 argument against continued evaluation of new nuclear units in Florida - and
19 assume that a proposed legislative bill accurately reflects what the future will
20 hold.

21 **Q. Why does FPL include environmental compliance costs for CO₂ in its**
22 **analyses if there is currently no law addressing these emissions?**

1 A. There are two reasons for this. First, it has become increasingly likely over the
2 last couple of years that some form of federal CO₂ regulation will occur.
3 Second, despite Witness Cooper's statement on page 15, lines 2 -3 that: "*To*
4 *my knowledge, the state of Florida has not put a price on carbon, nor is it*
5 *contemplating doing so*", the state of Florida has taken steps to develop a
6 recommendation regarding CO₂ regulation.

7
8 Therefore, with the likely outcome of CO₂ regulation, FPL has included a
9 range of environmental compliance costs for CO₂ in all of its resource
10 planning work during the last few years to ensure that CO₂ compliance costs
11 are addressed.

12
13 However, the details of how compliance would actually "work" have varied
14 greatly in the numerous pieces of legislation that have been proposed or
15 considered. For this reason, FPL believes it is premature to attempt to
16 incorporate a wide variety of potential other impacts, such as those discussed
17 by Witness Cooper, at this time in its resource planning analyses. If/when CO₂
18 compliance legislation is signed into law – and the many and varied facets of
19 the law are then known – FPL will incorporate these facets into its resource
20 planning work, including future economic analyses of new nuclear units. Until
21 that time, FPL believes it is wise to use a basic approach of examining a
22 variety of CO₂ compliance costs.

1 **Q. You stated earlier that you believe Witness Cooper suggests that greater**
2 **contributions from energy efficiency and renewables should have been**
3 **accounted for in any case in FPL’s economic analyses of new nuclear**
4 **units. Would you please discuss?**

5 A. Yes. On page 19, lines 9 – 11, Witness Cooper says the following about
6 energy efficiency: *“For efficiency, the change in the terrain is largely a*
7 *matter of increasing confidence that substantial increases in efficiency are*
8 *achievable at relatively low cost.”* Then, in regard to renewables, he states the
9 following beginning on page 18, line 22, through page 19, line 2: *“...there are*
10 *ways in which the alternative technologies are likely to receive an even larger*
11 *boost. There are also many programs targeted at various technologies that*
12 *are in earlier stages of development that may enjoy larger cost reductions as*
13 *the science advances and the scale of production ramps up.”* On line 5 of that
14 same page, Witness Cooper points out which type of technologies he has in
15 mind when he mentions the: *“...availability and cost of renewables...”*

16
17 In other words, Witness Cooper believes that efficiency and renewables might
18 be viewed as being superior alternatives to new nuclear if: (i) people can be
19 convinced that efficiency is economical; and (ii) there are technological
20 breakthroughs for renewable energy options.

21 **Q. What is your reaction?**

22 A. In regard to the concept of having to convince people that efficiency is
23 economical, this strikes me as a very strange concept. One can accurately

1 compare the economics of two resource options if one will simply ensure that
2 all of the costs associated with each resource option are accounted for in the
3 analyses. The only time this becomes a problem is if an incomplete, and
4 therefore inaccurate, analytical approach is used in an attempt to show that
5 someone's preferred option is better than would actually be the case if a
6 complete and accurate analysis was conducted.

7
8 Witness Cooper bases his case regarding the economics of efficiency and
9 renewables on such an incomplete analytical approach – a screening curve
10 approach that only looks at levelized cents/kwh costs of resource options.
11 With such an incomplete – and inaccurate - approach to evaluating the
12 economics of resource options, it is no wonder that he perceives that there is a
13 real problem with convincing people efficiency is the economic choice. (I will
14 further discuss the problems inherent with a screening curve approach to
15 analyzing resource options in section III of my testimony.)

16
17 Now, in regard to expecting, or hoping for, technological breakthroughs that
18 may result in renewable options potentially becoming superior to new nuclear
19 capacity, Witness Cooper is again choosing to drop his core belief of great
20 uncertainty. He proposes that FPL should stop an on-going evaluation of one
21 resource option – new nuclear units – with tremendous potential, based only
22 on the hope that renewable technology development may produce a better
23 option. Once again, Witness Cooper is willing to suspend his concerns about

1 uncertainty if he believes this will help him in his argument against continuing
2 the evaluation of new nuclear units in Florida.

3
4 FPL is a very strong proponent of renewable energy, believes it has an
5 important role to play in FPL's future plans and operations, and intends to
6 pursue renewable energy options vigorously. However, because of the very
7 view that Witness Cooper repeatedly claims to have – uncertainty regarding
8 the future – FPL also strongly believes that the on-going evaluation of new
9 nuclear units should continue. With tremendous uncertainty in the future, one
10 should pursue all promising options.

11 **Q. Returning to Witness Cooper's concerns regarding efficiency and**
12 **renewables, does FPL's 2009 economic analysis for this docket**
13 **incorporate efficiency and renewables?**

14 A. Yes. One of the reasons that FPL's 2009 load forecast has dropped so much is
15 that it accounts for an additional 895 MW of energy efficiency that is
16 projected to result from updated federal appliance efficiency and lighting
17 standards. In addition, the 2009 economic analysis includes a projection of all
18 achievable, cost-effective FPL DSM that had been identified at the time the
19 economic analysis was conducted.

20
21 Regarding renewable energy, the 2009 economic analysis included the impact
22 of several new, large-scale renewable energy projects by FPL. These projects
23 include: (i) the DeSoto Next Generation Solar Energy Center (a 25 MW

1 photovoltaic (PV) facility; (ii) the Space Coast Next Generation Solar Energy
2 Center (a 10 MW PV facility); and (iii) the Martin Next Generation Solar
3 Energy Center (a 75 MW solar thermal facility).

4
5 As FPL's resource planning work continues from year-to-year, updated
6 assumptions for energy efficiency and renewables will be incorporated into
7 FPL's economic analyses as appropriate.

8 **Q. Would you please discuss the third assumption, or set of assumptions,**
9 **that Witness Cooper is concerned about: projected costs for natural gas**
10 **and CO₂ compliance cost?**

11 A. Yes. Witness Cooper's basic position in this docket is that the projected costs
12 for natural gas and environmental compliance costs for CO₂ that were used in
13 FPL's 2009 economic analyses are too high.

14
15 He first refers to FPL's response to a Staff interrogatory (Interrogatory 45)
16 asking for an explanation of why the economic advantage of nuclear
17 compared to natural gas-fired combined cycle units has increased in the 2009
18 economic analysis compared to the ²⁰⁰⁷2008 analysis. FPL's response was that the
19 primary reasons are higher projected natural gas costs and CO₂ compliance
20 costs than were projected in ²⁰⁰⁷2008. Witness Cooper then discusses why he
21 believes FPL's projected values for natural gas and CO₂ should have been
22 lower.

1 **Q. What does Witness Cooper offer in support of his view that FPL's**
2 **projected natural gas prices are too high?**

3 A. He offers the following statement on page 12, lines 15 – 17 in terms of
4 'qualitative' support: *"There is increasing optimism about natural gas*
5 *resources. There are efficiency programs targeted at natural gas consumption*
6 *in the climate change legislation moving through Congress, which may free*
7 *up supply and put downward pressures on price."* In terms of 'quantitative'
8 support, he offers the following Q & A exchange on page 13, lines 5 – 7: *"Q.*
9 *Please provide empirical evidence to support your concerns about the natural*
10 *gas projections employed by FPL. A. The evidence relies on futures prices."*

11 **Q. What is your reaction to these qualitative and quantitative statements**
12 **that Witness Cooper believes support his belief that future natural gas**
13 **costs in Florida will be significantly lower than projected in FPL's 2009**
14 **economic analyses for this docket?**

15 A. First, in regard to his qualitative statement, he again suspends his concern
16 regarding uncertainty about the future and pins his case on the same proposed,
17 contentious legislation which, if enacted, *"...may...put downward pressure on*
18 *prices."* Suffice it to say that the pending legislation may not pass in its
19 current form and, even if it did, it may not put downward pressure on gas
20 prices.

21
22 Second, in regard to his quantitative statement that supposedly provides
23 *"empirical evidence"* that natural gas prices will be lower in the future

1 (presumably for the 40-plus years starting in 2018 in which Turkey Point 6 &
2 7 will operate), he offers what appears to be a single natural gas futures price
3 forecast of recent vintage. Witness Cooper ignores the fact that futures prices
4 change constantly. By so doing, he once again suspends his concern about
5 uncertainty regarding the future when it suits him. He chooses instead to
6 attempt to make a case that this single futures price forecast is an accurate
7 indicator of natural gas commodity prices for the next 50 years.

8
9 Third, Witness Cooper's discussion is solely about natural gas commodity
10 prices. He does not address increases in projected firm gas transportation costs
11 that have occurred since 2007. These fixed costs are separate from gas
12 commodity prices in FPL's analyses, but are a substantial portion of annual
13 total gas costs for a new gas-fired unit.

14
15 Witness Cooper may not recognize the significant contribution that firm gas
16 transportation costs make in analyses involving combined cycle units. Even
17 relatively small increases in firm gas transportation costs on a \$/mmBTU
18 basis will result in significant increased annual costs for combined cycle units.
19 For example, a \$0.10/mmBTU increase in firm gas transportation costs
20 equates to an increase in annual costs of approximately \$15,000,000 for the
21 combined cycle capacity to which Turkey Point 6 & 7 is compared in the
22 economic analyses. Therefore, increasing firm gas transportation costs, not

1 mentioned by Witness Cooper, clearly enhances the economic feasibility of
2 new nuclear capacity compared to new gas-fired combined cycle capacity.

3 **Q. Have others commented on projected natural gas commodity prices in**
4 **Florida recently and what was their view?**

5 A. Yes. In docket (Docket No. 090172-EI) regarding the EnergySecure natural
6 gas pipeline, Witness Benjamin Schlessinger provided testimony on behalf of
7 the Florida Gas Transmission Company (FGT). In his testimony, Witness
8 Schlessinger states on page 7, lines 20 – 23: *“FPL may have severely*
9 *understated future natural gas prices because depletion of gas resources and*
10 *diversion of LNG supplies away to higher-paying markets in Europe and Asia*
11 *– these kinds of factors may cause Henry Hub gas prices to rise in real dollar*
12 *terms, plus more for inflation.”*

13
14 The forecast that Witness Schlessinger is discussing is the same natural gas
15 commodity price forecast that is used in the ‘Medium Gas Cost’ forecast in
16 FPL’s 2009 nuclear cost recovery docket. Although FPL does not agree with
17 Witness Schlessinger’s assertion, it is clear that Witness Schlessinger and
18 Witness Cooper each look at the same FPL gas commodity price forecast and
19 come to completely opposite conclusions about what actual future gas
20 commodity prices will really be. I conclude that Witness Cooper’s original
21 statement that the future is very uncertain is correct, but also conclude that
22 Witness Cooper’s subsequent claim that his selected single futures market

1 forecast correctly predicts natural gas commodity prices for the next 50 years
2 is less than convincing.

3
4 FPL believes that there is significant uncertainty regarding what future fuel
5 costs will be and that this uncertainty is heightened by the unpredictability of
6 future environmental compliance costs. Consequently, FPL's 2009 economic
7 analyses for both the nuclear uprates and the Turkey Point 6 & 7 units
8 continue to use a scenario approach in which 3 fuel cost forecasts and 4
9 environmental compliance costs forecasts are utilized. The intent is to
10 recognize the uncertainty in both projections and to try to ensure that a wide
11 variety of potential outcomes are represented in the analyses. And, as stated
12 before, FPL updates its fuel cost forecasts each year and these updates are
13 used in the nuclear economic analyses.

14 **Q. In regard to projected CO₂ compliance costs, what does Witness Cooper
15 have to say about the values used in FPL's 2009 economic analyses?**

16 A. Starting on page 14, line 23, and continuing on to page 15, line 1, Witness
17 Cooper makes the following statement: "*The companies have put a high price
18 on carbon in their economic analyses.*" He then explains that pending federal
19 legislation, HR 2454, does: "*...not simply put a price on carbon directly.
20 Rather, it establishes an elaborate scheme of allowances to emit carbon,
21 which will indirectly set a price on carbon. Moreover, policies other than
22 putting a price on carbon, particularly policies to promote efficiency and
23 renewables, play a large role as well.*"

1 **Q. What is your reaction to these statements?**

2 A. I have two reactions. My first reaction is in regard to Witness Cooper's
3 contention that FPL should have incorporated the "...an elaborate scheme of
4 allowances...", in addition to "... policies other than putting a price on
5 carbon..." from HR 2454 in FPL's economic analysis. This simply does not
6 make sense. The current version of the proposed bill did not even exist when
7 FPL performed its analyses. Furthermore, this bill is still only pending
8 legislation, the legislation is quite contentious, and the details of the
9 legislation are almost certain to continue to change if some version of the
10 legislation is to become law.

11
12 Witness Cooper has once again decided to suspend his belief that the future is
13 uncertain and assume that a bill currently pending, and almost certain to
14 undergo changes if it does become law, accurately represents the future of
15 CO₂ compliance costs.

16
17 If/when a bill that regulates CO₂ emissions is signed into law, then FPL will
18 develop a strategy for complying with whatever "...elaborate scheme of
19 allowances..." and other "...policies..." that the law requires. However, FPL
20 does not believe that it is productive to attempt to include in its resource
21 analyses numerous potential aspects of a myriad of competing bills (and a
22 myriad of interpretations of each bill) when addressing prospective CO₂
23 compliance costs in its analyses. Such an approach may give one a false sense

1 of precision. However, this approach ignores the range of uncertainty that will
2 continue to exist until legislation is signed into law and the accompanying
3 implementing regulations are determined. Therefore, until these occur, it is far
4 more productive to recognize the uncertainty that exists regarding CO₂
5 regulation and to address it by a wide range of CO₂ compliance costs.

6
7 Second, I note that Witness Cooper is providing testimony in this docket on
8 behalf of SACE, and in the current DSM goals docket (Docket No. 080407 –
9 EG), SACE is represented by other witnesses including Witness William
10 Steinhurst.

11
12 SACE witness Cooper's contention in this docket that FPL's compliance costs
13 for CO₂ are too high contrasts strongly with SACE witness Steinhurst's
14 testimony in the DSM goals docket. On page 22, lines 13 – 14, of Witness
15 Steinhurst's testimony in the DSM goals docket, Witness Steinhurst makes the
16 following comment regarding projected CO₂ compliance costs of FPL: "*I*
17 *consider those values to be at the extreme low end of the reasonable range of*
18 *estimates...*"

19
20 It is clear that these two witnesses for SACE do not agree with each other
21 regarding projected compliance costs for CO₂. It is also evident that SACE
22 has taken one position – projected CO₂ costs should be higher – when higher
23 costs are beneficial to one objective (justifying more energy efficiency in the

1 DSM goals docket), yet has taken the opposite position – projected CO₂ cost
2 should be lower – when lower costs are beneficial to another objective
3 (stopping development of new nuclear units in Florida in this docket).

4 **Q. The fourth of Witness Cooper's concerns about assumptions was that**
5 **FPL used a low cost estimate for new nuclear units. Would you care to**
6 **comment?**

7 A. Yes. FPL witnesses Reed and Scroggs discuss one aspect of Witness Cooper's
8 concern in this area: why it is appropriate for FPL to continue to utilize the
9 same non-binding capital cost estimate range of \$3,108/kw to \$4,540/kw in
10 2007\$ in FPL's ongoing economic analyses. I will discuss another aspect of
11 Witness Cooper's concern regarding nuclear capital costs.

12
13 This concern involves what he calls the '\$1/kw factor'. Witness Cooper states
14 on page 34, lines 9 – 12: "*The \$1/kw factor has changed significantly between*
15 *2007 and 2009, as shown in Exhibit MNC – 13. The decline in the implicit*
16 *\$1/kw factor accounts for between one-tenth and one-quarter of the increase*
17 *in the breakeven capital figure."* He attempts to show this in Exhibit MNC –
18 13.

19
20 In other words, Witness Cooper believes that FPL has changed the \$1/kw
21 factor for some reason and the result of that change is that the breakeven
22 capital costs for the new nuclear units have increased in the 2009 analysis by
23 10% to 25%.

1 **Q. Is Witness Cooper correct in his assertions? If not, please explain.**

2 A. Witness Cooper is not correct. Let's start by first discussing what the \$1/kw
3 factor is. It is a calculated factor that equates what \$1/kw of overnight capital
4 cost equates to in cumulative present value of revenue requirements (CPVRR)
5 for the capital costs for 2,200 MW of new nuclear capacity (i.e., Turkey Point
6 6 & 7). The factor was developed to assist in the calculation of capital
7 breakeven costs in the last step of FPL's economic analysis of new nuclear
8 units.

9
10 For example, if one were to look at Exhibit SRS – 5 of my direct testimony in
11 this docket, the values in columns (5) and (6) can be used to show how the
12 \$1/kw factor is applied. Let's look at the last row of column (5) where we see
13 the cost differential between the Plan with Nuclear and the Plan without
14 Nuclear – CC is \$9,909 million CPVRR in 2009\$. The question is what
15 overnight construction cost (in terms of \$/kw) for 2,200 MW of new nuclear
16 capacity will make the capital cost of new nuclear generation equal to \$9,909
17 CPVRR, which, in turn, will result in the two resource plans having identical
18 (breakeven) CPVRR costs.

19
20 The actual factor FPL is applying in column (6) is approximately \$0.5282/kw
21 of overnight capital cost per \$1 million CPVRR in 2009\$. Therefore, when the
22 \$9,909 million CPVRR cost differential in column (5) is multiplied by the
23 \$0.5282 value, the result is \$5,234/kw of overnight capital costs for new

1 nuclear generation. This overnight capital cost will result in the two resource
2 plans, the Resource Plan with Nuclear and the Resource Plan without Nuclear
3 – CC, breaking even for this fuel and environmental compliance cost scenario.
4

5 Witness Cooper's approach in his Exhibit MNC – 13 is to use the inverse of
6 this factor, $1/0.5282 = 1.893$. He shows this value on what appears to be the
7 6th column of his exhibit. The exhibit also derives the inverse of the factor
8 FPL used in its 2007 need filing (which was approximately 0.5068), $1/0.5068$
9 = 1.973. To this point there is no problem in Witness Cooper's approach.
10

11 However, he does create a problem in his last column of the exhibit. In this
12 column, entitled "*Factor Change as % of Break even change*", he appears to
13 attempt the following calculation (he supplies no explanation or formulae):
14 divide the percentage difference in his \$1/kw factors by the percentage
15 difference in the breakeven costs. The result of his dividing a percentage by a
16 percentage is shown in this last column – a series of values ranging from
17 approximately 10 to 27. He interprets these results to mean that the change in
18 his \$1/kw factors from 1.973 to 1.893 "... *accounts for between one-tenth and*
19 *one-quarter of the increase in the breakeven capital figure.*"
20

21 In other words, Witness Cooper believes this slight factor change somehow
22 has driven up the breakeven cost by 10% to 25%. This interpretation of his

1 calculation results is incorrect. The breakeven costs for nuclear have not
2 increased by 10% to 25% due to this slight change in the factor.

3 **Q. What is the actual impact of the change in the \$1/kw factor?**

4 A. The \$1/kw factor has changed by only 4%. This can be derived simply by
5 computing the percentage change in Witness Cooper's factors: $(1.973/1.893) -$
6 $1 = 0.042$, or 4%. Therefore, if the only change in the economic analysis from
7 2007 to 2009 was this slight change in the \$/kw factors, the most that the
8 breakeven costs would have increased is 4%.

9 **Q. Why did the \$1/kw factor change and is the real impact of the change a**
10 **4% increase in breakeven costs?**

11 A. The factor changed slightly because the discount rate changed from the 2007
12 analysis to the 2009 analysis. This change in the discount rate automatically
13 results in a change in the \$/kw value that equates to \$1 million in CPVRR cost
14 for 2,200 MW of new nuclear.

15
16 However, it is worth noting that the change in the discount rate was applied
17 also to the calculation of costs for the combined cycle units. Therefore, the
18 actual impact of the change in the \$1/kw factor on the breakeven capital costs
19 for nuclear is likely less than 4%.

20 **Q. Was there any other concern regarding FPL's economic analyses that**
21 **Witness Cooper has that you wish to address?**

22 A. Yes. On page 35, lines 7 – 20, Witness Cooper discusses (paraphrasing) that
23 FPL's economic analyses may have assumed that any excess capacity on the

1 system (presumably resulting from the large 1,100 MW nuclear units) would
2 be used to make potential 'off-system' sales that could result in the nuclear
3 units appearing more cost-effective than they should versus the "small" (page
4 35, line 3) combined cycle units.

5 **Q. Did FPL's economic analyses utilize such an approach?**

6 A. No. In FPL's economic analyses of both the nuclear and combined cycle units,
7 the only assumption for sales (other than to native load customers) was that
8 existing sales contracts would be served. The assumptions for these contracts
9 were identical in the calculations for both the Resource Plan with Nuclear and
10 the Resource Plan without Nuclear - CC. There were no other potential (i.e.,
11 not under current contract) sales assumed in the analyses.

12
13 Furthermore, even if FPL had assumed that excess capacity could be used for
14 potential sales, nuclear might have been disadvantaged by this assumption.
15 This is because the combined cycle units are 1,219 MW, significantly larger
16 than the 1,100 MW nuclear units, a fact that has been part of each of FPL's
17 economic analyses of new nuclear units including the 2007 need filing.

18
19 **III. Witness Cooper's "Economic Analyses"**

20
21 **Q. Did Witness Cooper provide a meaningful, comprehensive economic**
22 **analysis that showed what the system economic impacts would be if the**

1 **new nuclear units, Turkey Point 6 & 7, were not added to the FPL**
2 **system?**

3 A. No.

4 **Q. Did Witness Cooper provide any economic analysis at all?**

5 A. No. The entire extent of his “economic analysis” was to state that
6 (paraphrasing) it costs less on a cents/kwh basis to either produce a kwh with
7 other generating options, or to save a kwh through energy efficiency, than to
8 generate a kwh with a new nuclear unit.

9
10 For example, Witness Cooper makes the following statement on page 20,
11 lines 8 - 11 of his testimony: *“As shown in Exhibit MNC – 6, paged 1 and 2,*
12 *in half a dozen studies the cost of alternatives that included renewables and/or*
13 *efficiency, every analyst found several non-fossil resources less costly than*
14 *nuclear.”* An examination of MNC – 6, pages 1 and 2, present a series of
15 comparisons of a number of resource options that were performed by various
16 parties. (It does not appear that Witness Cooper performed any of these
17 comparisons.) No information is provided on the exhibit’s pages to indicate
18 what type of economic analysis was performed. Some “cost” was developed
19 for nuclear and this cost value was assigned a value of 100%. Then values for
20 all other resource options were developed and compared, in percentage terms,
21 to nuclear.

22

1 Despite the lack of information on this slide, it appears safe to assume from
2 Witness Cooper's testimony that the cost values used were levelized cost
3 values on a cents/kwh basis. On page 33, line 7, Witness Cooper discussed
4 how resource options can be compared: *"The typical methodology is a*
5 *levelized cost comparison of the different alternatives."* On lines 12 -13 of the
6 same page, he states: *"Generally, analysts calculate the projected cost per*
7 *kilowatt-hour."*

8
9 Unfortunately, this is the full extent of Witness Cooper's "economic analysis"
10 that supposedly supports his recommendation that Florida cease its on-going
11 evaluation of new nuclear units.

12 **Q. Does Witness Cooper at least provide the information used to develop**
13 **these cents per kwh values so that one could determine key aspects of the**
14 **calculation including, but not limited to: what costs were included in the**
15 **calculations, what costs were excluded in the calculations, the vintage of**
16 **assumptions, the source of the assumptions, what years the calculations**
17 **addressed, what year or years the costs were levelized to, and how the**
18 **calculations were performed?**

19 **A. No.**

20 **Q. Besides the fact that no explanation or detail is provided for these**
21 **calculations, what is your reaction to Witness Cooper's use of a cents/kwh**
22 **approach for attempting to judge the economics of competing resource**
23 **options?**

1 A. I found it both informative and disappointing.

2 **Q. How was it informative and disappointing?**

3 A. The informative portion was the statement on lines 12 – 13 on page 33:

4 *“Generally, analysts calculate the projected cost per kilowatt-hour.”* Note
5 that he said “analysts” use this method. He did not say that ‘utility resource
6 planners’, or ‘Commissions’, - both parties that seek to evaluate resource
7 options with a complete accounting of all of the cost impacts on a specific
8 utility system from competing resource options - use this approach to make
9 resource option decisions. The reason that parties seeking economic analyses
10 with a complete accounting of all system cost impacts do not use a levelized
11 cents/kwh approach is that it is fundamentally flawed when used in an attempt
12 to compare a variety of resource options because this approach does not
13 account for a variety of system costs.

14

15 Therefore, the ‘analysts’ Witness Cooper is referring to are individuals and
16 organizations who are not interested in a full accounting of costs, especially
17 system costs, when evaluating resource options. The fact that such individuals
18 and organizations either do not recognize the problems inherent in a levelized
19 cents/kwh approach, or recognize this but choose anyway to use this approach
20 because it gives them the ‘answer’ they seek, is disappointing.

21 **Q. Have the flaws inherent in this analytical approach been discussed**
22 **previously in Commission dockets?**

1 A. Yes. Most recently, I submitted rebuttal testimony in the DSM goals docket,
2 Docket No. 080407 – EG, that discussed the fundamental flaws in using this
3 approach for the purpose Witness Cooper attempts to use it for – an economic
4 comparison of very different resource options.

5
6 That discussion appears in Exhibit SRS – 6 to this rebuttal testimony. The
7 discussion explains the fundamental flaws inherent in using a typical
8 ‘screening curve’, or levelized cents/kwh, approach when attempting to
9 evaluate a variety of resource options. The discussion also presents an
10 example of the projected levelized cents/kwh value approach applied to a
11 combined cycle unit. The levelized value that is derived from a typical
12 screening curve analysis is provided first. That value is 6.8 cents/kwh, a value
13 that falls within the range of approximately 6 to 13 cents/kwh for this type of
14 generating unit in Witness Cooper’s Exhibit MNC – 6, page 3 of 4.

15
16 The discussion then shows what happens when one slightly modifies the
17 original screening curve calculation so that only two of the flaws inherent in a
18 typical screening curve approach are addressed. The result is a dramatic
19 decrease in the levelized cents/kwh value for a combined cycle unit from 6.8
20 to 1.2 cents/kwh. In summary, this discussion points out the fact that typical
21 screening curve analyses use very incomplete information, thus guaranteeing
22 that comparative evaluations of a variety of resource options will produce
23 inaccurate and misleading results.

1 **Q. In summary, how should one view any economic analysis based only on a**
2 **screening curve analysis?**

3 A. When a person attempts to justify a resource option selection solely with a
4 screening curve analysis, the individual attempting to use such an analysis as
5 justification either does not understand how utility systems work, or knows
6 better but is trying to seek a decision from the Commission that would be
7 based on very incomplete information.

8
9 The Commission, and any other interested party, should view a screening
10 curve analysis as an approach that utilizes only an incomplete subset of
11 information, and which, therefore, provides incorrect analysis results.
12 Therefore, resource decisions should not be based upon this analytical
13 approach because a full accounting of system cost impacts has not been
14 presented.

15
16 It is for these reasons that FPL does not make resource decisions, nor seek
17 Commission approval for resource additions, based solely on screening curve
18 analyses. FPL's resource planning analyses are designed to capture all
19 relevant, quantifiable costs and system cost impacts on FPL's system in its
20 analyses of competing resource options. FPL utilized this comprehensive
21 analytical approach in the analyses presented in this docket.

22 **Q. Did Witness Cooper offer any other perspective on the economics of new**
23 **nuclear units that you'd like to discuss?**

1 A. Yes. On Witness Cooper's testimony starting on page 35, lines 22 – 23, and
2 concluding on page 36, line 1, he states: "*The economic advantage claimed*
3 *for nuclear is actually quite small, when compared to the total costs of the*
4 *system.*" He then attempts to show this through a calculation in his Exhibit
5 MNC – 14 in which he attempts to compare the total system CPVRR costs
6 with the two new nuclear units versus the system CPVRR costs with two
7 combined cycle units. He summarizes the conclusion of his analysis on page
8 38, lines 8 – 9, of his testimony where he reports the results as: "*...an*
9 *economic analysis that gives nuclear a slight, 4 – 5 percent, cost advantage.*"

10 **Q. What is your reaction to this?**

11 A. Witness Cooper appears to be mixing assumptions and data from FPL's 2007
12 and 2009 analyses in his calculation. At best, I find that to be a questionable
13 approach. But let's ignore that and see what the point of his analysis appears
14 to be. He appears to be trying to make a point that a CPVRR cost advantage of
15 4% to 5% is small when comparing Supply options on a very large utility
16 system such as FPL's.

17

18 On a system the size of FPL's, I find that cost advantage to be fairly large in
19 comparison to what FPL typically sees in resource option evaluations. In
20 comparisons of Supply options on our system, we often see cost advantages
21 closer to 1% to 2%. Using an analogy of DSM analyses versus Supply
22 options, achieving a benefit-to-cost ratio of 4% to 5%, or as it is usually

1 presented, 1.04 to 1.05, represents a clear economic choice (assuming the
2 analysis accounts for all DSM-related costs).

3
4 Witness Cooper's choice of this metric – savings as a percent of total system
5 costs – is a bit unusual and is misleading for a utility the size of FPL. For
6 example, in all of FPL's nuclear economic analyses since the 2007 need filing,
7 the projected fuel savings from 2021 –on (after both nuclear units are in-
8 service) is at least \$1 billion per year in nominal dollars. This annual savings
9 value is an enormous number. The use of Witness Cooper's metric would
10 result in this amount of savings appearing as a smaller % savings value for
11 FPL's system than it would for a utility system half of FPL's size. From this
12 perspective, Witness Cooper's metric is definitely misleading. One billion
13 dollars per year of fuel savings for FPL's customers is an enormous savings
14 no matter how large the utility system is.

15 16 IV. Witness Cooper's "Diversity Analysis"

17
18 **Q. Witness Cooper discusses "diversity" on page 32 of his testimony. He also**
19 **provides Exhibit MNC – 12, "Diversity of Resource Under Various**
20 **Technology Scenarios" in which he attempts to examine diversity for**
21 **three resource plans. Did you review this discussion and exhibit?**

22 **A. Yes. The Herfindahl-Hirschman Index (HHI), as described by Witness Cooper**
23 **on page 32, lines 7 -9, is: "...used frequently in economics to evaluate the**

1 *concentration of markets. In fact, the Merger Guidelines of the Department of*
2 *Justice and the Federal Trade Commission are written in terms of the HHI.”*

3 I was curious to see how Witness Cooper attempted to apply this index to
4 utility resource planning and to see what the results of his calculation would
5 indicate.

6 **Q. Would you provide your understanding of how the HHI index works?**

7 A. Yes. Witness Cooper’s testimony on page 32 provides the calculation formula
8 that is used to calculate the HHI value. The HHI represents a measure of
9 “market concentration” or market “diversity”. From examining the calculation
10 formula, the lower the HHI value is, the better. In other words, the lower the
11 HHI value is, the more diverse the market is.

12
13 The calculation methodology can derive a lower HHI value in at least two
14 different ways. For example, assume that an HHI calculation has five market
15 categories that are included in the analysis. The calculated HHI value gets
16 lower as the percentages assumed for each of the five categories approach
17 equilibrium (i.e, as the percentages assumed for each of the five categories
18 approaches 20%, thus indicating an equal distribution among the five
19 categories). This is the first way in which an HHI value can be lowered. If
20 each of the five categories does have a 20% share value, the calculated HHI
21 value is 2,000.

22

1 The second way in which an HHI value can be lowered is to introduce more
2 categories to which a non-zero percentage is assigned. Let us assume that our
3 example now has 10 categories and that each category is assigned a 10%
4 percentage. The resulting HHI value now drops to 1,000.

5 **Q. Would you now explain how Witness Cooper applied this calculation**
6 **methodology in his Exhibit MNC – 12?**

7 A. Yes. Witness Cooper's first column provides a listing of five "resources"
8 which are actually fuel/energy types (coal, nuclear, etc.) The 2nd through the
9 4th columns are directed at FPL (with his 5th through the 7th columns directed
10 at Progress). In regard to the three columns that are directed at FPL, the 2nd
11 and 3rd columns utilize selected data from FPL's 2007 need filing for Turkey
12 Point 6 & 7. The 4th column contains assumed data for a hypothetical resource
13 plan scenario of Witness Cooper's choosing.

14
15 In the 2nd column, he appears to extract projected FPL system fuel mix
16 percentage values for the year 2018 from two different scenarios of fuel cost
17 and environmental compliance costs. Then he averages the two values to
18 derive an average fuel mix value. (Witness Cooper provides virtually no
19 explanation of his calculations or assumptions, but one can match his values
20 in the 2nd column using the approach described above.) The values in the 2nd
21 column are from FPL's Resource Plan without Nuclear – CC in the 2007 need
22 filing.

23

1 The values in the 3rd column appear to be calculated in the same manner, but
2 the values are from FPL's Resource Plan with Nuclear in the 2007 need filing.
3 Therefore, one of Witness Cooper's column headings is mislabeled. The
4 column heading for his 2nd column is "*FPL No Nuclear*". This is descriptive
5 enough (but it would have been clearer if he had simply labeled it as FPL's
6 "Resource Plan without Nuclear – CC".) However, the column heading for his
7 3rd column is "*Gas*". This is not only unclear, it is in error. The values shown
8 utilize data from FPL's "Resource Plan with Nuclear" and the column heading
9 should reflect that.

10
11 The HHI value for the Resource Plan with Nuclear is 5,385 which is lower
12 than the HHI value for the Resource Plan without Nuclear – CC which is
13 5,782. Therefore, one would conclude that the Resource Plan with Nuclear is
14 better from a fuel diversity perspective than the Resource Plan without
15 Nuclear – CC. (However, this outcome can be seen clearly from just
16 examining the fuel mix values used by Witness Cooper as inputs.)

17
18 In his 4th column, Witness Cooper creates another resource plan to which he
19 attributes additional efficiency and renewables. It is not clear what he means
20 by "efficiency" but for purposes of this discussion, I'll assume he means DSM
21 energy efficiency programs and/or appliance and lighting standards. It is also
22 unclear how much energy efficiency and renewables he is assuming are in this
23 resource plan he has created. In his testimony on page 32, lines 18 – 19, he

1 states: “Efficiency is assumed to be 12% of the total resource, while
2 incremental renewables are set at 3 percent.” Thus it appears that he is
3 assuming a total 15% contribution from 12% efficiency and 3% renewables.
4 However, in his 4th column, the values shown are 8% for efficiency and about
5 7% for renewables (which he places in the “Other” category). Perhaps the text
6 of his testimony simply does not match the values in the exhibit, or he may
7 have performed a calculation (that he neglects to show) that results in the
8 efficiency and renewable percentages being different than those in the text of
9 his testimony.

10
11 Presumably due to the addition of efficiency and renewables, Witness Cooper
12 adjusts the percentages for all other fuel mix categories (again with no
13 explanation of how he does so.) The HHI value he derives from this new
14 resource plan for FPL is 4,290, lower than either of the other two resource
15 plans. His conclusion, stated on page 32, lines 19 – 20, is that: “...*the*
16 *efficiency and renewable mix is more diverse than either the nuclear or gas*
17 *scenarios...*”.

18 **Q. What is your reaction to the analysis presented in Witness Cooper’s**
19 **exhibit and the conclusion that Witness Cooper draws from the results?**

20 **A.** I believe that his analysis is flawed and, therefore, his conclusion is
21 meaningless. In his calculation, Witness Cooper made at least three errors.

22

1 The first error was not ensuring that his resource plan creation was
2 comparable, at least in terms of system reliability, to the two FPL resource
3 plans. The two FPL resource plans were created by FPL to have comparable
4 system reliability. However, there is no information given to show that
5 Witness Cooper even considered system reliability when he created his
6 resource plan; i.e., the third resource plan shown in his exhibit.

7
8 Therefore, the comparison Witness Cooper attempts to make may well be an
9 “apples-to-oranges” comparison in which his resource plan creation does not
10 offer comparable system reliability. If that is the case, then any “diversity”
11 analysis is meaningless. In addition, Witness Cooper provides no information
12 regarding the economic impacts, particularly the impact on electric rates, of
13 his resource plan if it were to be implemented on the FPL system. Witness
14 Cooper’s sole focus is on system fuel diversity, not on whether his resource
15 plan creation has serious adverse economic or system reliability impacts.

16
17 This may be because Witness Cooper believes that his earlier – and
18 fundamentally flawed – screening curve analysis results “prove” these
19 resources are economic. Regardless of Witness Cooper’s reasons, it is
20 necessary - at a minimum - to ensure that resource plans being compared
21 provide the FPL system with comparable system reliability.

22

1 This fundamental error renders the analysis meaningless even if the
2 calculation methodology had been without error. However, that is not the
3 case.

4
5 In regard to the calculation methodology, it is important to remember that the
6 values he starts his calculations with are projected fuel mix percentages for a
7 given year. These values represent the relative percentages of different types
8 of fuel that will be used to serve the annual total kwh used by FPL's
9 customers. This annual total of kwh used by FPL's customers is a value after
10 the impact of all of FPL's DSM programs (i.e., efficiency) have been taken
11 into account. In other words, the 2nd and 3rd columns show the fuel usage after
12 efficiency has been accounted for.

13
14 Witness Cooper's second mistake is to account for incremental efficiency as if
15 it were a new fuel resource, and assigning it as a new category. Incremental
16 efficiency should have been accounted for by reducing the amount of kwh
17 served by the utility system, just as efficiency was accounted for in the two
18 FPL resource plans. (Strangely enough, Witness Cooper actually takes the
19 correct approach in his handling of additional renewable energy when he
20 places it in the existing "Other" category.)

21
22 This mistake of how he accounts for additional efficiency not only results in
23 incorrect fuel mix percentage values for all of the actual fuel categories, it

1 artificially lowers the calculated HHI value due to the introduction of another
2 non-zero category (as was discussed earlier) for his resource plan creation that
3 was not accounted for in the same manner in the two FPL resource plans.
4

5 His third mistake is to assume that additional efficiency and renewables will
6 lower the fuel mix percentages for all fuel types on the FPL system, including
7 nuclear and coal. On FPL's system, natural gas and oil are the fuels "at the
8 margin" in FPL's operation. Nuclear and coal are baseload energy sources that
9 would see negligible (if any) impact from additional efficiency or renewables
10 that might be added to FPL's system. The fuel use impact of additional
11 efficiency or renewables would be on the marginal fuels, gas and oil, and
12 primarily on gas.
13

14 In other words, the same amount of nuclear and coal fuel will continue to be
15 used. Therefore, as Witness Cooper was adjusting fuel mix values due to the
16 assumed addition of efficiency and renewables, the fuel mix percentages for
17 nuclear and coal should have increased, not decreased, because the same
18 amount of nuclear and coal fuel would be divided by a smaller total amount of
19 total system fuel used.

20 **Q. Would you discuss how the HHI calculation might have looked if these**
21 **three errors had been corrected?**

22 A. Yes. Witness Cooper's failure to create a new resource plan that ensures the
23 same system reliability as the two FPL resource plans presents a serious

1 problem. However, we can overcome this problem for the purpose of this
2 explanation by doing two things. We first ignore Witness Cooper's flawed
3 resource plan, then we use the two FPL resource plans, the Resource Plan
4 with Nuclear and the Resource Plan without Nuclear – CC, as starting points.
5 Then we'll add the same amount of efficiency and renewables to both
6 resource plans. Because the two FPL resource plans already have comparable
7 system reliability, and identical efficiency and renewable resources will be
8 added to both plans, the resulting resource plans will at least have comparable
9 system reliability.

10
11 Using that approach to correct for Witness Cooper's first error, Exhibit SRS –
12 7 shows an alternate HHI calculation. In page 1 of 2 of this exhibit, there are
13 two rows of calculations. The first row uses the Resource Plan without
14 Nuclear - CC as the starting point. The second row uses the Resource Plan
15 with Nuclear as the starting point. Calculations are then made in each row
16 from these two starting points.

17
18 The second error (adding a new category for "Efficiency") is corrected by first
19 removing that extra category, then by adding a new column titled "Amount of
20 Fuel". The reduction in system fuel usage from additional efficiency and
21 renewables is addressed in this new column. The third error (assuming that all
22 fuel categories are affected by additional efficiency and renewables on FPL's
23 system) is corrected by the simple recognition of the fact that, on FPL's

1 system, the impact of these additional resources will primarily be a reduction
2 in natural gas usage, not a reduction in the use of all fuels types. For
3 simplicity's sake in this example, we'll assume all of the reduction will be
4 from natural gas usage.

5
6 In the first row, calculation (1) is merely a duplicate of Witness Cooper's
7 calculation for FPL's Resource Plan without Nuclear - CC and the HHI value
8 of 5,782 matches the value he derived. Calculation (2) then assumes that FPL
9 serves 8% less energy due to additional energy efficiency and that this
10 reduction results solely in a reduction in gas usage. (This can be seen by
11 comparing the "Amount of Fuel" column values in calculations (1) and (2).)
12 The values in the "Resulting Fuel Mix Percentage" column for gas decline,
13 but increase for all other fuels. This is because the amount of energy produced
14 the other fuel types is unchanged, but their percentages are now calculated
15 from a smaller total fuel use value. The result of calculation (2) is that the HHI
16 value has been lowered to 5,514 due to the additional efficiency.

17
18 Calculation (3) now adds in a contribution of 7% of annual energy coming
19 from renewables. This is seen by an increase in the "Amount of Fuel" column
20 of 7% in the "Other" fuel type, and a further decrease of 7% in the "Gas" fuel
21 type. The HHI value now drops further to a value of 4,548.

22 **Q. What conclusion do you draw from these calculations so far?**

1 A. The conclusion so far is that if one starts from a resource plan that does not
2 include the new nuclear units, the addition of 8% efficiency and 7%
3 renewables can lower the HHI index. The value calculated for this resource
4 plan is 4,548. The question is what will be the HHI value if the same additions
5 of efficiency and renewables are added to a comparable resource plan that
6 features two new nuclear units?

7
8 To answer that question, we return to Exhibit SRS – 7, page 1 of 2, and
9 calculation (4). This calculation is for the Resource Plan with Nuclear and the
10 same HHI value of 5,385 is derived that was shown in Witness Cooper's
11 exhibit.

12
13 Calculations (5) and (6) now account for the identical amounts of additional
14 efficiency (8%) and renewables (7%), and account for them in the same way,
15 as was done in calculations (2) and (3). The resulting HHI index of 4,210 is
16 lower than the 4,548 value for the Resource Plan without Nuclear – CC. (In
17 addition, the 4,210 value for the Resource Plan with Nuclear is also lower
18 than the 4,290 value Witness Cooper derived for his resource plan creation, a
19 resource plan that is likely not even be a comparable plan in regard to system
20 reliability.)

21 **Q. How would the results have changed if, in row 2, 15% more nuclear had**
22 **been added in place of the 15% total for efficiency and renewables?**

1 A. This scenario is examined on Exhibit SRS – 7, page 2 of 2. On this page,
2 calculations (1) through (4) are unchanged, but calculations (5) and (6) have
3 changed due to the assumption of additional nuclear replacing the incremental
4 efficiency and renewables. In this scenario, the HHI value for the Resource
5 Plan with Nuclear in calculation (6) would have increased slightly from 4,210
6 to 4,359, but would still be lower than the calculation (3) value of 4,548.

7 **Q. What do you conclude from these HHI calculations?**

8 A. In summary, I believe that although the HHI approach is one way to attempt
9 to measure diversity on a utility system, I don't believe it is a particularly
10 meaningful approach to use. Its narrow focus on "diversity" tends to divert
11 attention from a comprehensive analysis that address all impacts that a
12 resource option has on a utility system including system economics, system
13 reliability, etc. Therefore, I currently do not see that an HHI index analysis
14 provides much meaningful information that would not already be available
15 from a more comprehensive analytical approach such as that used by FPL.

16
17 Nevertheless, Witness Cooper chose to use the HHI approach. After reviewing
18 the results of that approach, once several errors in his calculation methodology
19 had been corrected, I find no merit to his suggestion that new nuclear capacity
20 cannot improve system fuel diversity. As these calculations show, greater
21 diversity can be achieved by pursuing a variety of resource options: new
22 nuclear, efficiency, and renewables. FPL is pursuing all of these resource
23 options.

1 Q. Does this conclude your rebuttal testimony?

2 A. Yes.

**BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION**

In re: Nuclear Power Plant)
Cost Recovery Clause)

DOCKET NO. 090009-EI
 FILED: September 4, 2009

ERRATA SHEET

TESTIMONY OF STEVEN R. SIM, MAY 2, 2009

Revised Exhibit SRS-5, attached.

REBUTTAL TESTIMONY OF STEVEN R. SIM

<u>PAGE#</u>	<u>LINE #</u>	<u>CHANGE</u>
Page 29	Line 14	“\$9,909” to “\$9,467”
Page 29	Line 16	“\$9,909” to “\$9,467 million”
Page 29	Line 22	“\$9,909” to “\$9,467”
Page 29	Line 23	“\$5,234” to “\$5,000”

1 **BY MS. CANO:**

2 Q. Are you also sponsoring exhibits to your
3 rebuttal testimony?

4 A. Yes.

5 Q. And do those consist of SRS-6 and SRS-7?

6 A. Yes.

7 **MS. CANO:** Chairman Carter, I would note that
8 these have been premarked for identification as Numbers
9 76 and 77.

10 **CHAIRMAN CARTER:** For the record, 76 and 77 on
11 Staff's Comprehensive Exhibit List.

12 **BY MS. CANO:**

13 Q. Have you prepared a summary of your rebuttal
14 testimony?

15 A. Yes, I have.

16 Q. Would you please provide that at this time.

17 A. Yes, I would be happy to. Good afternoon,
18 again, Chairman Carter and Commissioners. My rebuttal
19 testimony addresses the direct testimony of Doctor Mark
20 Cooper, who is representing SACE, and I will summarize
21 my rebuttal testimony as follows.

22 First, Doctor Cooper essentially recommends
23 that the state of Florida stop any further evaluation of
24 new nuclear units and his recommendation is based on
25 four main points. First, a core belief that the future

1 is uncertain. Number two, he believes certain current
2 forecasts or assumptions are unfavorable for nuclear.
3 Number three, he believes that screening curve analyses
4 someone else did shows that nuclear is not
5 cost-effective. And, finally, he believes that a
6 calculation that he did perform shows fuel diversity is
7 aided more by renewables and energy efficiency than by
8 additional nuclear energy.

9 In regard to his first two points, the future
10 is uncertain and certain forecasts are unfavorable for
11 nuclear are basically contradictory in nature. The
12 future is always uncertain, especially when an analysis
13 addresses a 50-year period as we are talking about here.
14 Yet Doctor Cooper is willing to suspend his core belief
15 of an uncertain future if he finds a current forecast
16 that he believes is unfavorable to new nuclear and then
17 somehow assuming that this forecast accurately projects
18 the next 50 years.

19 Conversely, Doctor Cooper either ignores other
20 forecasts that are favorable to nuclear or points out
21 that these forecasted values will certainly change in
22 the future. Furthermore, Doctor Cooper largely ignores
23 the fact that FPL's analyses address uncertainty by
24 using nine scenarios of fuel and environmental
25 compliance costs and by updating these forecasts plus a

1 number of other assumptions each year.

2 Doctor Cooper offers no economic analyses
3 regarding Turkey Point 6 and 7. Instead, he makes
4 references to screening curve analyses performed by
5 others, such as those introduced by SACE in the current
6 DSM goals docket. Such an analytical approach is
7 fundamentally flawed when attempting to evaluate two
8 very different resource options because the approach
9 does not address numerous economic impacts to the
10 utility system as a whole. Consequently, his references
11 to screening curve analyses results of nuclear versus
12 other resource options are meaningless.

13 Doctor Cooper attempts to show that utility
14 system fuel diversity is aided more by renewables and
15 energy efficiency than by additional nuclear energy by
16 performing an HHI index calculation, a tool not
17 typically used in utility resource planning. However,
18 his calculation contains several errors. Once those
19 errors are corrected, the resulting calculation for
20 FPL's system shows exactly the opposite result, that
21 FPL's fuel diversity will be enhanced more by the
22 addition of new nuclear capacity.

23 In conclusion, Doctor Cooper's testimony
24 attempts to derail further evaluation of promising new
25 nuclear units in the state of Florida. He attempts to

1 do so by, one, stating a core belief that the future is
2 uncertain when it helps him, but suspending this core
3 belief when he finds a forecast that is unfavorable to
4 nuclear.

5 Number two, performing no economic analyses
6 himself and relying instead on screening curve analyses
7 performed by others that are fundamentally flawed when
8 comparing very different resource options.

9 And, number three, performing a fuel diversity
10 analysis that contains several errors that when
11 corrected shows a new nuclear unit will result in
12 greater enhancement of system fuel diversity than other
13 resource options. Consequently, Doctor Cooper's
14 recommendation that the state of Florida cease any
15 further serious evaluation of new nuclear units does not
16 deserve consideration.

17 Commissioners, FPL's 2009 analyses, which do
18 directly address uncertainty, show that Turkey Point
19 Units 6 and 7 are still projected to be a solidly
20 cost-effective resource addition for our customers.
21 Therefore, the results of FPL's 2009 economic analyses
22 support the feasibility of continuing to proceed with
23 the evaluation of these units. Thank you.

24 **MS. CANO:** FPL tenders the witness for cross.

25 **CHAIRMAN CARTER:** Mr. McGlothlin.

1 **MR. McGLOTHLIN:** No questions.

2 **CHAIRMAN CARTER:** Mr. Davis, you're
3 recognized.

4 **MR. DAVIS:** Yes, I have some. Mr. Chair, I
5 just wondered what the Chair's pleasure is for how late
6 we go today.

7 **CHAIRMAN CARTER:** Roll it.

8 **MR. DAVIS:** I will give it my best shot, and I
9 will try not to be too long. I understand that the
10 Commission has been very busy lately. Thank you.

11 CROSS EXAMINATION

12 **BY MR. DAVIS:**

13 **Q.** Doctor Sim, did you write your rebuttal
14 testimony?

15 **A.** Yes, I did.

16 **Q.** Did you have assistance from an attorney?

17 **A.** I had assistance from several people who
18 reviewed it at various stages.

19 **Q.** Including attorneys?

20 **A.** Yes.

21 **Q.** And did you read Doctor Cooper's testimony?

22 **A.** Yes, I did.

23 **Q.** Can you find anywhere in Doctor Cooper's
24 testimony, and I will give you the opportunity if you
25 would like, where he says don't evaluate the nuclear

1 option in the state of Florida?

2 **A.** Not to parse words, Commissioners, but my
3 understanding of Doctor Cooper's testimony was
4 essentially recommending that the state of Florida spend
5 no more money to evaluate nuclear, certainly not to
6 pursue it in any serious vein. That is my
7 interpretation of Doctor Cooper's testimony.

8 **Q.** But nowhere do you read in his testimony where
9 he says do not evaluate the nuclear option in Florida?

10 **A.** I would have to reread it in order to figure
11 out if he used the word evaluate or not. That is my
12 interpretation of his testimony.

13 **Q.** Were you here when Doctor Cooper gave his
14 summary of his testimony a few minutes ago?

15 **A.** No, I was not here.

16 **Q.** Okay. So you didn't hear him say
17 unequivocally that he is in favor of continuing to
18 evaluate the nuclear option in the state of Florida and
19 that continuous evaluation is appropriate because of the
20 uncertainties that he has identified?

21 **A.** What was the first part of your question, sir?

22 **Q.** I said -- I'll see if I can rephrase it.

23 **A.** Well, let me see if I can cut short this.

24 Regardless of what Doctor Cooper said in his statement
25 today, my interpretation of his direct testimony was

1 that the state of Florida should not seriously pursue
2 new nuclear capacity further.

3 Q. Well, so, in other words, you ignore what he
4 says on the page and you have your own interpretation?

5 A. Again, I interpreted the body of his testimony
6 to be a suggestion for the Commission to cease further
7 serious evaluation, or for FPL to cease serious
8 evaluation of the new nuclear capacity option.

9 Q. Well, and I hate to state the obvious, but
10 obviously FPL is doing a lot more than evaluating the
11 nuclear option. FPL is asking this Commission to charge
12 the ratepayers certain expenses for engineering
13 contracts, for, you know, attorneys for one thing, to
14 get licenses. That is far more than evaluating the
15 nuclear option isn't it?

16 A. Well, I think in something as complex as new
17 nuclear units evaluation can cover a lot of areas.

18 Q. So you can evaluate up until the time you
19 spend \$18 billion, is that correct?

20 A. No, sir. I would say that we will be
21 evaluating at least up to the point at which we decide
22 that we will begin to construct nuclear units. My
23 general interpretation of evaluation leads me to all of
24 the efforts that FPL is undertaking at least up to that
25 point.

1 **Q.** How much will you have spent by then?

2 **A.** I don't know.

3 **Q.** Today, how much are firm costs of that
4 \$18 billion?

5 **A.** I do not have that information.

6 **Q.** Now, your colleague, Mr. Scroggs, doesn't use
7 the term evaluation for any of the activities that FPL
8 is conducting or proposes to conduct in 2009 and 2010.
9 He uses development. Isn't that a more apt phrase than
10 evaluation for what FPL is doing right now?

11 **A.** Again, sir, it is my interpretation of what I
12 mean by the term evaluation. I view it a bit
13 differently once FPL has decided it is time to make a
14 decision as to whether or not we construct these units.

15 **Q.** In what time frame will that occur?

16 **A.** I do not know when that will occur.

17 **Q.** Now, Mr. Scroggs has also mentioned off-ramps.
18 I don't know if you used that term, but when we talk
19 about opportunities for an off-ramp, that could come at
20 any time, could it not?

21 **A.** I presume it could, yes.

22 **Q.** Now, let me turn to your testimony. You have
23 just stated in your summary that Doctor Cooper is
24 willing to suspend his belief in uncertainty for certain
25 purposes, and I think you related that in particular to

1 the cost of carbon.

2 **A.** I don't believe I addressed in my summary the
3 cost of carbon.

4 **Q.** Well, you stated in your testimony that Doctor
5 Cooper would suspend his belief in uncertainty with
6 regard to the predictability of the energy efficiency in
7 renewables mandates in a certain bill in the House of
8 Representatives as compared to the portion of the bill
9 that deals with the cost of carbon. Is that a correct
10 summary of your testimony?

11 **A.** I would say in general that is a fair
12 summation. That my interpretation of his testimony was
13 that he was willing to state that albeit that he
14 provided no suggested cost of carbon himself that should
15 have been used in the analysis, he made the assumption
16 that FPL's carbon costs were too high. He didn't point
17 out which of the four different carbon costs we used in
18 our evaluation might have been considered too high.

19 **Q.** Well, as a matter of fact, he said all of them
20 were too high because they are all higher than the
21 current estimates based upon the Waxman-Markey bill that
22 has actually passed the House, and estimates that EPA
23 had provided based upon the terms of that bill that had
24 passed.

25 **A.** Well, I would point out to the Commissioners

1 that at least one of the four carbon cost forecasts that
2 we used is directly in line with the estimates for at
3 least the first ten years that the Congressional Budget
4 Office produced. I would also remind the Commissioners
5 that SACE produced a witness in the recently concluded
6 DSM goals docket, Mr. Steinhurst (phonetic) --

7 **MR. DAVIS:** I object to that response and ask
8 that it be stricken. I don't believe that what another
9 SACE witness has anything to do with Doctor Cooper's
10 testimony.

11 **CHAIRMAN CARTER:** When you ask a question the
12 witness can answer yes or no, but they are allowed to
13 explain their answer. Overruled.

14 You may proceed.

15 **THE WITNESS:** Well, I will point out that this
16 is also in my rebuttal testimony. That SACE sponsored a
17 witness, Mr. Steinhurst -- or Doctor Steinhurst, I'm
18 sorry, I can't remember -- who looked at the exact same
19 carbon cost forecast that we used in this evaluation and
20 paraphrasing came to the conclusion that those costs not
21 only were not too high, but they were at the extreme low
22 end of a reasonable range. And I find it -- I find it
23 interesting that on one hand SACE is sponsoring a
24 witness that claims that carbon costs that FPL used in
25 its evaluation for both DSM and for new nuclear units

1 are viewed as being too high when those carbon costs
2 would benefit new nuclear units, but on the extreme low
3 end of the range when if they were higher they would
4 have greatly benefited DSM.

5 **BY MR. DAVIS:**

6 Q. Isn't it true that Doctor Steinhart's (sic)
7 numbers were pretty much the same as the EPA numbers,
8 which is also what Doctor Cooper is referring to?

9 A. I do not know what Doctor Steinhurst's numbers
10 were reflecting. I simply cannot recall. But I am
11 pointing out that FPL's numbers were identical in both
12 the DSM filing and in the nuclear filing, and one SACE
13 witness said they were at the extreme low end of any
14 reasonable range, and Doctor Cooper in this docket is
15 saying that they are far too high.

16 Q. Well, I think Doctor Cooper is saying that
17 your environmental costs in Cases 2, 3, and 4 are far
18 too high, and that in Case 1, Environmental 1 if they
19 are -- that they are approximately the EPA numbers. I
20 believe that is what he said. And if you look at
21 your -- do you have your testimony, your direct
22 testimony in front of you?

23 A. Let me check. Yes, I do.

24 Q. If you will look, please, at SRS-5. Do you
25 have that in front of you?

1 **A.** Yes, sir, I do.

2 **Q.** So the bottom row of SRS-5, which is the low
3 gas costs and the low environmental costs, that is
4 Environmental 1, that is your low costs?

5 **A.** That is correct.

6 **Q.** You say that is based upon the Waxman-Markey
7 bill that passed the House and EPA's analysis of that,
8 or is it comparable to that?

9 **A.** No, I'm not. I am saying the one that was
10 comparable to the Congressional Budget Office is
11 Environmental 2.

12 **Q.** But not EPA's analysis of the Waxman-Markey
13 bill?

14 **A.** I'm not familiar enough with the EPA estimates
15 to say one way or the other, sir.

16 **Q.** Okay. And you are aware that Doctor Cooper
17 used the EPA analysis of the Waxman-Markey bill?

18 **A.** I believe he made reference to that in his
19 testimony, yes.

20 **Q.** And are you aware that Doctor Cooper has
21 stated that the carbon costs in your Environmental 1 are
22 even higher than the EPA numbers?

23 **A.** I don't recall that from his testimony.

24 **Q.** Okay. Now, just so we understand, and I want
25 the Commission to understand, have you analyzed the

1 Waxman-Markey bill yourself?

2 **A.** No, I have not.

3 **Q.** And this is the only bill, as a matter of
4 fact, you have given it its correct number, that has
5 passed either house of Congress that would not only
6 create a cost of carbon emissions, but also has a
7 renewable portfolio standard, is that right?

8 **A.** To my knowledge, yes.

9 **Q.** And you chose in your analysis to focus on a
10 cost of carbon, but not on the renewable portfolio
11 standard part of Waxman-Markey, correct?

12 **A.** Yes, for the following reason. At the time
13 that we were required to freeze assumptions and proceed
14 with the analysis in order to make the May 1st date, we
15 were informed by our environmental affairs folks that
16 there were a number of bills still with a good chance to
17 make it through the House, and in looking at those
18 prospective pieces of legislation with our environmental
19 affairs folks, we felt like the best way to proceed was
20 simply to use a wide range of carbon costs in our
21 analyses. If by this time next year a bill has passed
22 both the House and the Senate and has been signed into
23 law, we will have a better defined projection of not
24 only CO2 costs, but of all other -- I will call them
25 ramifications of the bill that would impact our resource

1 planning and we will be able to incorporate those.

2 Q. And just so the record reflects the right
3 number, it is HR-2454 that passed the House, which has
4 both the renewable portfolio standard as well as a
5 carbon cap and trade system. Are you familiar with any
6 bills in the Senate that have passed the committees or
7 at least a committee in the Senate that address energy
8 efficiency and renewables?

9 A. Not to any great detail. We have folks in
10 other departments that follow those bills more closely.

11 Q. And you have heard of the -- have you heard of
12 the Bingaman bill, Bingaman?

13 A. Yes, I have heard, and there have been to my
14 knowledge at least several versions of that over the
15 years.

16 Q. And one that in June passed the environment
17 and public works -- passed out of the environment and
18 public works committee in the Senate?

19 A. I'm not aware of that development, sir.

20 Q. And that bill has a renewable portfolio
21 standard, correct?

22 A. Again, I'm not familiar with that bill, sir.

23 Q. So, you chose to focus on costs of carbon
24 based upon bills that never even made it out of
25 committee, but did not include the renewable portfolio

1 standard for bills that have passed the House or passed
2 out of committee?

3 **A.** No, sir, I would disagree with that statement.
4 Commissioners, what we chose to do is at the time we
5 were required to freeze assumptions and proceed with our
6 analyses, there was no bill that had been passed and
7 signed into law. There were a number of conflicting
8 pieces of legislation, or proposed pieces of
9 legislation, just as there have been over the last
10 several years that addressed greenhouse gas emissions in
11 a variety of ways.

12 Until there is a more definitive bill that has
13 passed both houses of Congress and has been signed into
14 law, FPL's belief is the most appropriate way to address
15 carbon costs is to look at it on a broad range of CO2
16 compliance costs, and that is what we chose to do here.

17 **Q.** And all of those were higher than EPA's
18 analysis for the bill that did pass?

19 **A.** If you are -- again, I am not familiar with
20 the EPA estimate, but if what you are stating is that
21 one entity did an analysis of a proposed piece of
22 legislation and came out with numbers that differ from
23 FPL's numbers, I don't find that surprising.

24 Again, one of our forecasts, Environmental 2,
25 seems to be exactly in line with what the Congressional

1 Budget Office projects for CO2 costs. But, until we
2 have a passed piece of legislation that has been signed
3 into law, and probably after we also go through a number
4 of court challenges will we only then begin to have a
5 definitive view of how carbon should be treated in
6 resource planning analyses.

7 Q. Now, you know, do you not, that the bill that
8 passed the House also contains tougher standards for
9 energy efficiency for buildings and appliances?

10 A. I am told that is the case, but I don't know
11 the details of that.

12 Q. Now, FPL is relying upon this bill even though
13 it has only passed one house of Congress --

14 MR. DAVIS: And I seem to have lost any help
15 back here, but may I approach the witness and pass out
16 some exhibits, please?

17 CHAIRMAN CARTER: You may approach. Do you
18 need a number for that?

19 MR. DAVIS: Yes, I do.

20 CHAIRMAN CARTER: Hang on a second. Mr.
21 Anderson or Ms. Helton may have an objection to it, so
22 let's see -- for sequencing, Commissioners, that will be
23 Number 137. A short title?

24 MR. DAVIS: A short title is Earnings
25 Conference Call, FPL.

1 **CHAIRMAN CARTER:** Earnings Conference Call,
2 FPL. You may proceed.

3 **MR. DAVIS:** Thank you, Mr. Chair.

4 (Exhibit Number 137 marked for
5 identification.)

6 **BY MR. DAVIS:**

7 **Q.** Doctor Sim, I downloaded this from FPL's
8 website, and this is an earnings conference call dated
9 July 28th, 2009. Are you aware that FPL is tauting its
10 positioning to take advantage of the American Clean
11 Energy and Security Act which passed the House?

12 **A.** I'm sorry, what was the verb you used?

13 **Q.** Tauting its positioning to take advantage of
14 the renewable electricity standard that would be
15 encompassed in this bill?

16 **A.** I'm not aware of that one way or the other,
17 sir.

18 **Q.** FPL Group's clean generation portfolio is well
19 positioned given the long-term trends affecting the
20 industry. Would you agree with that statement?

21 **A.** I would say that is probably accurate, yes.
22 We are a very clean utility and we will become even
23 cleaner with new nuclear capacity on our system.

24 **CHAIRMAN CARTER:** Is that a different
25 document, Mr. Davis?

1 **MR. DAVIS:** Yes. I am going to pass out one
2 more exhibit.

3 **CHAIRMAN CARTER:** 138, Commissioners. 138.
4 Short title?

5 **MR. DAVIS:** Strategic Decisions Conference,
6 2009.

7 **CHAIRMAN CARTER:** Thank you.

8 **MR. DAVIS:** May I proceed, Madam Chair?

9 **COMMISSIONER EDGAR:** Yes, sir.

10 **MR. DAVIS:** Thank you.

11 (Exhibit Number 138 marked for
12 identification.)

13 **BY MR. DAVIS:**

14 **Q.** Doctor Sim, do you have this Exhibit 139
15 (sic), I believe it is, in front of you?

16 **A.** Yes, sir.

17 **Q.** The second page talks about the Waxman-Markey
18 bill as perhaps the most comprehensive body of energy
19 and climate legislation ever contemplated. This is from
20 a conference where Lew Hay, the Chairman and CEO, made a
21 presentation in May of 2009. Do you agree with that?

22 **A.** Subject to check. I'm not aware of this
23 presentation. This is the -- this document is the first
24 document I have seen that is associated with it.

25 **Q.** Also, downloaded from FPL's website. And FPL

1 talks about in this particular --

2 **MS. CANO:** Madam Chairman.

3 **COMMISSIONER EDGAR:** Yes, ma'am.

4 **MS. CANO:** I am going to need to object here.
5 Both of these documents so far, and we have allowed a
6 little bit of questioning, but they are related to FPL
7 Group and Doctor Sim does not address FPL Group or the
8 implications of any legislation on FPL Group in his
9 testimony.

10 **COMMISSIONER EDGAR:** To the objection.

11 **MR. DAVIS:** I think they are closely related.
12 I am not aware of the innerworkings of the FPL corporate
13 structure, but I think that in terms of Lew Hay, being
14 the Chairman and CEO, I thought he is also an executive
15 of the FPL that we are dealing with here today. If I'm
16 wrong about that, please correct me. I'm not from
17 around here.

18 **COMMISSIONER EDGAR:** Will you respond.

19 **MS. CANO:** I'm sorry?

20 **COMMISSIONER EDGAR:** Please respond.

21 **MS. CANO:** Lew Hay is not an executive of FPL
22 Company.

23 **MR. DAVIS:** I have no further response on
24 that.

25 **COMMISSIONER EDGAR:** Ms. Helton.

1 **MS. HELTON:** Not that I am an expert on
2 Florida Power and Light's corporate structure, either,
3 but I do think that Mr. Hay is Mr. Olivera's boss. I
4 think I have learned that in the course of the last few
5 weeks. You know, this is another one of those tough
6 ones, Madam Chairman.

7 **COMMISSIONER EDGAR:** May I ask this, can you
8 share with us a little bit what it is, or what line, or
9 where you are going with this?

10 **MR. DAVIS:** Yes.

11 **COMMISSIONER EDGAR:** I mean, with each of
12 these.

13 **MR. DAVIS:** Sure, Madam Chair.

14 **COMMISSIONER EDGAR:** Thank you.

15 **MR. DAVIS:** The witness in his rebuttal
16 testimony has argued that Doctor Cooper was wrong to
17 rely upon the renewable portfolio standard that is part
18 of the Waxman-Markey bill, or the American Clean Energy
19 and Security Act of 2009, which is discussed in these
20 slides. And that ultimate passage of this bill and the
21 ultimate implementation of the renewable portfolio
22 standard from the federal level is too uncertain to rely
23 upon. Where on the other hand, FPL is relying upon
24 carbon charges that are based upon bills that never
25 passed either house of Congress. So the point is that

1 FPL itself is relying upon the renewable portfolio
2 standard of the Waxman-Markey bill in terms of
3 projecting its ability to take advantage of the
4 renewable portfolio standard financially in the future.

5 **COMMISSIONER EDGAR:** Ms. Helton.

6 **MS. HELTON:** Madam Chairman, my inclination is
7 to recommend to you that cross-examination on this
8 exhibit be allowed as long as he can -- I think he has
9 shown that there is relevance to the testimony thus far
10 in the record, just keeping in mind that this, I think,
11 would constitute hearsay evidence, and so unless there
12 is an exception, which I guess you could say this is an
13 admission by an FPL executive, that is the type of
14 evidence we are dealing with.

15 **MR. DAVIS:** It would either be that or a
16 business record kept in the normal course of business
17 with sufficient indicia of reliability on its face, and
18 I believe it would come in pursuant to Florida Statute
19 90.706.

20 **COMMISSIONER EDGAR:** Okay. I think we are in
21 a gray area, but recognizing that generally we try to
22 round out the information that is before us, I will
23 allow. So you may proceed.

24 **MR. DAVIS:** Thank you, Madam Chair. And I
25 think I have already asked the questions I wanted to ask

1 about the exhibits.

2 **COMMISSIONER EDGAR:** Well, why don't you pose
3 the question to the witness.

4 **BY MR. DAVIS:**

5 **Q.** I guess at the point of the objection we were
6 talking about the Sanford Bernstein and Company
7 Strategic Decisions Conference 2009 exhibit, and my
8 question to the witness was hasn't FPL Group stated that
9 the Waxman-Markey bill was perhaps the most
10 comprehensive body of energy and climate legislation
11 ever contemplated?

12 **A.** Well, that certainly is the first sentence on
13 the second page of the document you handed me. But,
14 Commissioners, in regard to this docket, the
15 Waxman-Markey bill was signed after we had filed our
16 analyses for this docket. Therefore, I am a bit at a
17 loss to understand how FPL could have incorporated the
18 projected effects of a bill that by our company's
19 information changed significantly a number of times
20 before passage and we needed to freeze assumptions
21 months ahead of time before the May 1st filing.

22 And as I indicated before, if this bill, which
23 is still a proposed bill and a contentious bill, if it
24 passes both houses of Congress, and it is signed into
25 law, and there are specific requirements that need to be

1 made, we will do our best to attempt to incorporate them
2 in our resource planning from that point forward,
3 including nuclear cost-recovery filings in the future.

4 **Q.** Now, Doctor Sim, if there is no bill that
5 passes before the end of the year or early next year
6 that includes a carbon tax or a cap and trade program
7 that would result in a carbon charge, would you take
8 that out of your analysis?

9 **A.** I'm sorry, would I take what out of my
10 analysis?

11 **Q.** A carbon charge, a carbon tax, or cost?

12 **A.** In all likelihood, no, we would not take it
13 out because we would be in the same situation we have
14 been in for the last several years, since 2007, when we
15 have included a variety of environmental compliance cost
16 forecasts in our analyses. Chances are we would be
17 doing something similar along those same lines until
18 legislation passed and was signed into law and gave us
19 something more definitive to work with.

20 **Q.** And don't get me wrong, I'm not criticizing
21 FPL or any other utility for projecting into the future
22 what carbon costs might be imposed by future
23 legislation. We have advocated that in integrated
24 resource planning before, but it makes no sense to
25 include a carbon charge but not another likely

1 provision, which is the renewable portfolio standard.
2 Isn't that true?

3 **A.** I would say if there is more uncertainty in
4 our company's mind regarding efficiency standards than,
5 say, carbon costs, I disagree with your statement. I
6 would say that we would in that case be inclined to
7 continue to include carbon costs but continue to be more
8 cautious in regard to any efficiency standards.

9 **Q.** And you don't know what the certainty is one
10 way or another about the efficiency standards?

11 **A.** I don't think anyone knows with certainty what
12 any piece of proposed legislation's final outcome is
13 going to be.

14 **Q.** Including carbon costs?

15 **A.** Including carbon.

16 **MR. DAVIS:** Give me just a minute, Madam
17 Chair.

18 **COMMISSIONER EDGAR:** Yes, sir.

19 **BY MR. DAVIS:**

20 **Q.** You have talked about in your rebuttal
21 testimony that an investment in new nuclear power units
22 would provide more flexibility to FPL. How many
23 combined cycle gas units could be built for \$18 billion?

24 **A.** It would depend upon the cost of the combined
25 cycle units, the cost of the firm gas transportation, et

1 cetera, so I don't have a firm number for you. But it
2 would be a fair number. However, as the Commission is
3 well aware of, we are projecting to be serving our
4 customers around 2017/2018, the energy produced will be
5 roughly 66, 67 percent natural gas fired units.

6 **Q.** Let me -- I know what you are going to launch
7 into, your canned statement again. But before we do
8 that, how quickly could those natural gas units be
9 built?

10 **A.** With the Commission's current bidding rule,
11 each unit would require roughly four years or so to be
12 announced to be bid, to go through a need determination
13 filing, and then to be constructed. So somewhere, four,
14 four and a half years.

15 **Q.** So you are telling this Commission that an
16 \$18 billion nuclear plant is more flexible than combined
17 cycle gas that provides you more flexibility? How do
18 you get there?

19 **A.** I guess it would depend upon your term of
20 flexibility. I don't believe my definition of
21 flexibility may match yours.

22 **Q.** Just like your term evaluation doesn't match
23 anyone else's?

24 **A.** I'm not sure it matches anybody else's, I'm
25 not sure that it matches any one individual; it is my

1 term, sir. In regard to flexibility in nuclear units, I
2 think the point I made in my rebuttal testimony is if we
3 were to have on our system another 2,200 megawatts of
4 base load capacity that operates at 90 percent for a
5 minimum of 40 years, uses absolutely no fossil fuel,
6 absolutely no system emissions, fully serves the needs
7 of approximately one million FPL customers fully, that
8 provides a great deal of operational and planning
9 flexibility for our system, and that is the point I made
10 in my rebuttal testimony.

11 Q. And if that nuclear capacity came in at
12 50 percent more than the 18 billion projected,
13 100 percent more than the 18 billion projected, that
14 flexibility is totally gone because you have got to
15 operate that sucker no matter what it costs at that
16 point, right?

17 A. My discussion of flexibility, as I stated in
18 my rebuttal testimony, was absent any consideration of
19 economics. It assumed that the decision was made to
20 build and that the units were brought on-line. So it
21 was an economics aside decision.

22 I assume if we got to the point where nuclear
23 units, the capital costs were looking prohibitively
24 expensive, we might well be seeking one of those
25 offramps that you decided, but we are not at that point

1 now. Nothing that we see in our analyses indicates that
2 we are approaching that.

3 **MR. DAVIS:** That's all I have.

4 **MR. YOUNG:** No questions.

5 **COMMISSIONER EDGAR:** No questions from staff.
6 Any questions from the bench? Redirect.

7 **MR. MOYLE:** Could I ask one, Madam Chair?

8 **COMMISSIONER EDGAR:** Did we not come to you?

9 **MR. MOYLE:** No.

10 **COMMISSIONER EDGAR:** Were you here?

11 **MR. MOYLE:** It's good to be missed.

12 **COMMISSIONER EDGAR:** Before we go to redirect,
13 Mr. Moyle.

14 CROSS EXAMINATION

15 **BY MR. MOYLE:**

16 **Q.** Just one question? Have you ever heard of the
17 term in the utility industry of a lumpy investment?

18 **A.** I don't think I have heard the phrase lumpy
19 investment.

20 **Q.** Or a lumpy project? Do you have any
21 understanding of the use lumpy in the --

22 **A.** Perhaps if you could clarify for me.

23 **Q.** I have seen it, I believe, in the context of
24 an expenditure that didn't provide a lot of flexibility.
25 It was, you know, a lumpy expenditure. Do you have any

1 familiarity with that?

2 **A.** I have never heard that term in that regard,
3 no.

4 **MR. MOYLE:** That's all I have.

5 **COMMISSIONER EDGAR:** I believe now we are at
6 redirect.

7 **MS. CANO:** No redirect. Thank you.

8 **COMMISSIONER EDGAR:** No redirect. Okay.
9 Let's take up exhibits.

10 **MS. CANO:** FPL moves Exhibit Numbers 76 and
11 77.

12 **COMMISSIONER EDGAR:** Hearing no objections,
13 76 and 77 entered into the record.

14 (Exhibit Number 76 and 77 admitted into the
15 record.)

16 **COMMISSIONER EDGAR:** I believe that brings us
17 to the back.

18 **MR. DAVIS:** SACE moves 138 and 139.

19 **COMMISSIONER EDGAR:** 138 and 139. Any
20 objection?

21 **MR. YOUNG:** Excuse me, Madam Chair, I have it
22 as 137 and 138.

23 **MR. DAVIS:** I'm sorry.

24 **COMMISSIONER EDGAR:** Well, let me
25 double-check, because I am getting tired. I have left

1 an empty spot, and so you are correct. Earnings
2 Conference Call, 137, and Strategic Decisions Conference
3 2009 as 138.

4 **MR. YOUNG:** Yes, ma'am.

5 **COMMISSIONER EDGAR:** Okay. Thank you for that
6 correction. I had missed a spot when I flipped the
7 page. Okay. Any objection to either of those?

8 **MS. CANO:** FPL maintains the objection that
9 these are related to FPL Group and outside the scope of
10 Doctor Sim's testimony and irrelevant.

11 **COMMISSIONER EDGAR:** And per our previous
12 discussion, the objection is noted and the documents
13 will be entered into the record as we had marked them,
14 137 and 138.

15 (Exhibit Numbers 137 and 138 admitted into the
16 record.)

17 **COMMISSIONER EDGAR:** And the witness is
18 excused. Thank you.

19 **THE WITNESS:** Thank you.

20 **CHAIRMAN CARTER:** Call your next witness.

21 **MR. ANDERSON:** FPL calls Winnie Powers.

22 **CHAIRMAN CARTER:** You may proceed.

23 **MR. RUBIN:** Thank you, Chairman Carter.

24 WINNIE POWERS

25 was called as a rebuttal witness on behalf of Florida

1 Power and Light Company, and having been previously
2 sworn, testified as follows:

3 DIRECT EXAMINATION

4 **BY MR. RUBIN:**

5 Q. Have you been sworn earlier today?

6 A. Yes, I have.

7 Q. Could you please remind the Commission of your
8 name and state your business address?

9 A. Yes. My name is Winnie Powers. My business
10 address is 9250 West Flagler Street, Miami, Florida.

11 **CHAIRMAN CARTER:** Hang on one second.

12 Commissioners, can you all hear on that end? Are you
13 okay? Staff, can you hear?

14 **MR. YOUNG:** Yes, sir.

15 **CHAIRMAN CARTER:** Okay. You may proceed.

16 **MR. RUBIN:** Thank you.

17 **BY MR. RUBIN:**

18 Q. Please remind the Commission about by whom you
19 are employed and in what capacity.

20 A. Yes. I am employed by Florida Power and Light
21 Company, the New Nuclear Accounting Project Manager.

22 Q. Have you prepared and caused to be filed five
23 pages of prefiled rebuttal testimony in this proceeding
24 on August 10, 2009?

25 A. Yes.

1 **Q.** Did you also cause to be filed errata to your
2 testimony on September 4, 2009?

3 **A.** Yes.

4 **Q.** Do you have any further changes or revisions
5 to your prefiled rebuttal testimony?

6 **A.** No, I do not.

7 **Q.** If I asked you the same questions contained in
8 your prefiled rebuttal testimony, would your answers be
9 the same?

10 **A.** Yes.

11 **MR. RUBIN:** Chairman Carter, FPL asks that
12 Ms. Powers' prefiled rebuttal testimony of August 10,
13 2009, with errata, be inserted into the record as though
14 read.

15 **CHAIRMAN CARTER:** The prefiled testimony of
16 the witness will be inserted into the record as though
17 read.

18
19
20
21
22
23
24
25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **REBUTTAL TESTIMONY OF WINNIE POWERS**

4 **DOCKET NO. 090009-EI**

5 **August 10, 2009**

6

7 **Q. Please state your name and business address.**

8 A. My name is Winnie Powers. My business address is 9250 W. Flagler St,
9 Miami, Florida 33174.

10 **Q. Have you previously provided testimony in this docket?**

11 A. Yes.

12 **Q. What is the purpose of your rebuttal testimony?**

13 A. My rebuttal testimony addresses three policy issues.

14 **Q. In general terms, what policy issues do you address?**

15 A. I direct my comments to three issues identified by Staff. The first is related to
16 over or under collections in the Nuclear Cost Recovery Clause (NCRC). The
17 second is the carrying charge that should be accrued on deferred balances
18 approved for recovery in the Capacity Cost Recovery Clause (CCRC). The
19 third is the recovery of the incremental/decremental difference on Allowance
20 for Funds Used During Construction (AFUDC) when the related plant is
21 placed into service.

22 **Q. Should over or under collections in the CCRC be included in the**
23 **calculation of recoverable costs in the NCRC? (Issue 1A)**

1 A. No. The CCRC is the designated recovery clause for NCRC costs. Therefore,
2 over and under collections in the CCRC should remain in the CCRC since
3 they are the result of over/under collections of actual sales revenues that are
4 greater than or less than costs to be recovered in the CCRC, as is the practice
5 with current capacity charge over and under recoveries.

6
7 Rule 25-6.0423 (the Rule) defines the appropriate costs to be recovered in the
8 NCRC. FPL files its projected costs and/or carrying costs eligible for
9 recovery according to the Rule and Statute 366.93, F.S. for the NCRC using
10 the Nuclear Filing Requirement Schedules (NFRs).

11
12 Through the NFRs, carrying costs are calculated at the fixed FPL rate of
13 7.42% (pre-tax 11.04%) provided for pursuant to Section 2(b)2 of Rule 25-
14 6.0423. Projected costs and/or carrying costs determined through the NFRs
15 for the NCRC are recovered in the following year in the CCRC.

16
17 Once NCRC costs have been approved for recovery in the CCRC, any
18 differences between actual sales revenues collected through the CCRC and the
19 projected costs approved for recovery in the NCRC results in an over or under
20 recovery that remains in the CCRC. This over or under recovery in the CCRC
21 will incur interest at the commercial paper rate.

22

1 Differences between the NCRC actual costs incurred and the actual/estimated
2 or projected costs will be included in the calculation of recoverable costs in
3 the NCRC and will accrue a carrying charge at the fixed FPL rate of 7.42%
4 (pre-tax 11.04%) provided for pursuant to Section 2(b)2 of Rule 25-6.0423,
5 through the NCRC until recovered in a future period.

6 **Q. When a utility elects to defer recovery of some or all of the costs that the**
7 **Commission approves for recovery through the Capacity Cost Recovery**
8 **Clause, what carrying charge should accrue on the deferred balance?**
9 **(Issue 1B)**

10 A. Rule 25-6.0423 establishes the procedures for the Commission to conduct
11 current (annual) prudence and reasonableness reviews to determine whether
12 costs are appropriate for NCRC recovery. If a utility requests deferral of
13 approved costs, and the Commission approves such deferral, then the
14 Commission has effectively created a regulatory asset for future recovery
15 through the CCRC. The regulatory asset should remain in the NCRC and
16 continue to accrue carrying charges at the pre-tax AFUDC rate as of June
17 2007. The Commission has allowed a return on items that have been deferred,
18 both regulatory assets and regulatory liabilities, which are not reflected in
19 rates. For example, per Order No. 10306, Docket No. 810002-EU, the
20 Commission created regulatory assets related to Martin dam costs and
21 expanded fuel storage facilities at Turkey Point and authorized FPL to charge
22 AFUDC to the deferred amounts. Similarly, per Order No. PSC-94-0393-
23 FOF-EI, Docket No. 940042-EI, the Commission directed FPL to create a

1 regulatory liability for gains associated with emission allowances. In this
2 instance, FPL credits its Environmental Clause with amounts based on the
3 pre-tax cost of capital applied to the regulatory liability. Deferred amounts
4 (i.e., regulatory assets in the NCRC) do not contribute to over or under
5 recoveries that are subject to interest at the commercial paper rate applied to
6 the CCRC.

7 **Q. Should FPL and PEF be permitted to record in rate base the incremental**
8 **difference between AFUDC permitted by Section 366.93, F.S. and their**
9 **respective most currently approved AFUDC, for recovery when the**
10 **nuclear plant assets enter commercial operation?**

11 A. Yes. As defined by the Nuclear Cost Recovery Rule 25-6.0423(2)(d), "costs"
12 includes, but is not limited to, all capital investments including rate of return.
13 Utilities should be allowed to recover the approved carrying costs by tracking
14 the incremental/decremental difference between the carrying charge rate
15 required by Section 366.93, F.S. and the most currently Commission-
16 approved AFUDC. The incremental/decremental difference will be
17 accumulated and recorded to CWIP and recovered/returned through base rates
18 over the useful life of the related plant assets placed in service.

19
20 For example, in April 2008, the FPSC approved the change in the Company's
21 AFUDC rate from 7.42% to 7.65% effective January 1, 2008. The resulting
22 increment of .23%, when compared to the statutory fixed FPL rate for the NCRC
23 of 7.42%, was recorded in CWIP. In May 2009, the FPSC approved the change
24 in the Company's AFUDC rate from 7.65% to 7.41% effective January 1, 2009.

1 The resulting decrement of .01%, when compared to the statutory fixed FPL rate
2 for the NCRC of 7.42%, is being credited to CWIP, reducing the amount of
3 AFUDC increment previously recorded.

4
5 The net amount will continue to remain in CWIP and be adjusted each period
6 until the related plant goes into service and is recovered through base rates. This
7 method allows for recovery of the Company's Commission-approved carrying
8 cost through the NCRC, while ensuring the customer only pays for these
9 approved carrying costs, no more and no less.

10 **Q. Does this conclude your testimony?**

11 **A. Yes.**

12

13

14

15

16

17

18

19

20

21

22

23

**BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION**

In re: Nuclear Power Plant)
Cost Recovery Clause)

DOCKET NO. 090009-EI
 FILED: September 4, 2009

ERRATA SHEET

REBUTTAL TESTIMONY OF WINNIE POWERS

<u>PAGE#</u>	<u>LINE #</u>	<u>Change</u>
4	13 - 16	<p>“Utilities should be allowed to recover the approved carrying costs by tracking the incremental/decremental difference between the carrying charge rate required by Section 366.93, F.S. and the most currently Commission-approved AFUDC.”</p> <p style="text-align: center;">TO</p> <p>“Utilities should be allowed to recover the approved carrying costs under the Rule while tracking the incremental/decremental difference between the carrying charge rate required by Section 366.93, F.S. and the most currently Commission-approved AFUDC.”</p>
5	6 - 9	<p>“This method allows for recovery of the Company’s Commission-approved carrying cost through the NCRC, while ensuring the customer only pays for these approved carrying costs, no more and no less.</p> <p style="text-align: center;">TO</p> <p>“This method allows for recovery of the Company’s Commission-approved carrying cost through the NCRC, while ensuring the customer ultimately only pays for the actual financing costs, no more and no less.”</p>

1 **BY MR. RUBIN:**

2 **Q.** Do you have any exhibits that you are
3 sponsoring with your rebuttal testimony?

4 **A.** Yes. No, I'm sorry, I don't.

5 **Q.** Have you prepared a summary of your rebuttal
6 testimony?

7 **A.** Yes, I have.

8 **Q.** Would you please provide the summary to the
9 Commission.

10 **A.** Good afternoon, again, Mr. Chairman,
11 Commissioners. The purpose of my rebuttal testimony is
12 to address three issues. One, over/under collections in
13 the capacity cost-recovery clause, or CCRC, to the
14 carrying charge that should be accrued on deferred
15 balances approved for recovery in the CCRC, and, three,
16 the recognition of the incremental or decremental
17 difference on allowance for funds used during
18 construction, or AFUDC.

19 Regarding the first issue, over or
20 underrecoveries in the CCRC, it is FPL's position that
21 over and under collections in the CCRC should not be
22 included in the nuclear cost-recovery clause, but should
23 remain in the CCRC. These amounts are the result of
24 over or under collections of actual sales revenues
25 compared to costs to be recovered in the CCRC, and this

1 treatment is consistent with the current treatment of
2 capacity charge over and underrecoveries.

3 On the second issue, the carrying charges on
4 deferred balances, if a utility requests deferral of
5 approved costs and the Commission approves such a
6 deferral, a regulatory asset will be created for future
7 recovery through the CCRC. The regulatory asset will
8 remain in the nuclear cost-recovery clause and continue
9 to accrue carrying charges at the statutory rate until
10 it is recovered. Deferred amounts in the nuclear
11 cost-recovery clause do not contribute to over or
12 underrecoveries that are subject to interest at the
13 commercial paper rate applied to the CCRC and,
14 therefore, should not be treated as such.

15 Lastly, FPL's method of recognizing the
16 incremental or decremental difference on FPL's AFUDC
17 rate as opposed to the statutory carrying charge rate is
18 fair to both customers and to the company. This method
19 allows for recovery of the company's actual costs and
20 only those costs. The most currently Commission
21 approved AFUDC rate represents the company's actual
22 financing costs.

23 Commissioners, in order to ensure equity, FPL
24 must continue to recognize the incremental or
25 decremental difference between the statutory carrying

1 charge rate and the most currently Commission approved
2 AFUDC rate. The incremental or decremental difference
3 between actual financing costs and the statutory rate
4 allowed for recovery in the nuclear cost-recovery clause
5 is a cost as that term is defined by the statute and the
6 rule. Because this incremental or decremental cost
7 cannot be included in the nuclear cost-recovery clause,
8 it must be recovered or refunded in base rates when the
9 related plant assets are placed into service. This will
10 ensure the customer only pays for the actual costs of
11 these projects, no more and no less. This concludes my
12 summary.

13 **MR. RUBIN:** FPL tenders the witness for
14 cross-examination.

15 **CHAIRMAN CARTER:** Thank you. Mr. McGlothlin.

16 **MR. MCGLOTHLIN:** I have no questions.

17 **CHAIRMAN CARTER:** Mr. Davis.

18 **MR. DAVIS:** None. Thanks.

19 **CHAIRMAN CARTER:** Mr. Moyle.

20 **MR. MOYLE:** No questions.

21 **CHAIRMAN CARTER:** Staff.

22 **MR. YOUNG:** No questions.

23 **CHAIRMAN CARTER:** Commissioners. No redirect,
24 then probably, huh?

25 **MR. RUBIN:** Yes, sir.

1 business address for the record?

2 **A.** John Reed. My business address is 293 Boston
3 Post Road, Marlborough, Massachusetts.

4 **Q.** Did you prepare and cause to be filed 39 pages
5 of prefiled rebuttal testimony in this proceeding?

6 **A.** Yes, I did.

7 **Q.** Did you also prepare and cause to be filed an
8 errata sheet to your rebuttal testimony?

9 **A.** Yes, I did.

10 **Q.** Do you have any other changes or revisions to
11 make to your prefiled rebuttal testimony?

12 **A.** No, nothing further.

13 **Q.** With the errata, if I were to ask you the same
14 questions contained in your prefiled rebuttal testimony
15 today, would your answers be the same?

16 **A.** Yes, they would.

17 **MS. CANO:** Chairman Carter, I ask that the
18 prefiled rebuttal testimony of this witness be inserted
19 into the record as though read.

20 **CHAIRMAN CARTER:** The prefiled testimony of
21 the witness will be inserted into the record as though
22 read.

23

24

25

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION
FLORIDA POWER & LIGHT COMPANY
REBUTTAL TESTIMONY OF JOHN J. REED
DOCKET NO. 090009-EI
AUGUST 10, 2009

1 **I. INTRODUCTION**

2

3 **Q. Please state your name and business address.**

4 A. My name is John J. Reed. My business address is 293 Boston Post Road West,
5 Marlborough, Massachusetts 01752.

6 **Q. Are you the same John J. Reed who previously filed direct testimony in this**
7 **proceeding?**

8 A. Yes, I am.

9 **Q. Are you sponsoring any exhibits along with this testimony?**

10 A. Yes I am. The following exhibits are attached to my rebuttal testimony in this
11 proceeding:

12 Exhibit JJR_2 – The Contract Price/Owner Contingency Dynamic

13 Exhibit JJR_3 – Nuclear Reactors under Construction, Planned or Proposed

14 Exhibit JJR_4 – NYMEX Natural Gas Futures Prices

15 **Q. Please state the purpose of your rebuttal testimony.**

16 A. I have been asked by Florida Power & Light (“FPL” or the “Company”) to respond
17 to certain portions of the direct testimony of Dr. William Jacobs testifying on behalf
18 of the Florida Office of the Public Counsel (“OPC”), and the direct testimony of
19 Arnold Gunderson and Dr. Mark Cooper, both of whom are testifying on behalf of

1 the Southern Alliance for Clean Energy (“SACE”). Specifically, FPL has asked me
2 to provide my opinion regarding OPC Witness Jacobs’ criticism of FPL’s selection
3 of Black & Veatch/Zachry (“BVZ”) to conduct preliminary construction engineering
4 for the Company’s Turkey Point 6 & 7 (“PTN 6 & 7”) new nuclear project and
5 FPL’s decision not to enter into an Engineering, Procurement and Construction
6 (“EPC”) agreement in 2008, and OPC Witness Jacobs’ request that the Commission
7 direct FPL to update the Company’s cost estimate for the PTN 6 & 7 project. With
8 regard to SACE Witness Gundersen, FPL has asked me to respond to his
9 contentions that the Company has failed to demonstrate the feasibility of the PTN 6
10 & 7 project due to certain schedule and cost uncertainties. I have also been asked to
11 respond to SACE Witness Cooper’s assertions that the PTN 6 & 7 project is no
12 longer feasible due to projected decreases in electricity demand, lower natural gas
13 and environmental compliance prices, the cost and availability of alternative
14 resources and his analysis of the cost of to develop and construct PTN 6 & 7.
15 Finally, FPL has asked me to respond to SACE Witness Cooper’s assertion that in
16 times of uncertainty FPL should focus its generation investment on smaller natural
17 gas-fired generation.

18 **Q. Please describe how the remainder of your testimony is organized.**

19 A. The remainder of my testimony is organized into six sections. Section II of my
20 testimony discusses my conclusions related to each witness’s testimony. In Section
21 III I respond to OPC Witness Jacobs’ concerns regarding FPL’s selection of BVZ to
22 perform preliminary construction engineering for the PTN 6 & 7 project. In Section
23 IV, I respond to OPC Witness Jacobs’ request that the Commission direct FPL to
24 update its cost estimate for the PTN 6 & 7 project. Finally, Section V of my

1 testimony responds to the cost and schedule uncertainties discussed by SACE
2 Witness Gundersen, and Section VI of my testimony responds to the assertions and
3 analysis of SACE Witness Cooper.

4
5 **II. SUMMARY OF CONCLUSIONS**

6
7 **Q. Please summarize your conclusions regarding the direct testimony of OPC**
8 **Witness Jacobs.**

9 A. OPC Witness Jacobs has raised several concerns related to FPL's decision to retain
10 BVZ to perform certain construction related engineering work and FPL's decision
11 not to use an updated cost estimate for the PTN 6 & 7 project's feasibility analysis.
12 Neither of his concerns relate to the prudence of FPL's 2007 and 2008 costs nor
13 FPL's 2009 and 2010 cost projections. However, OPC Witness Jacobs does note
14 that FPL should be put on notice that the decision to retain BVZ could result in
15 higher cost for FPL's customers in the future. With regard to FPL's decision to
16 retain BVZ, OPC Witness Jacobs is concerned that BVZ may not be a qualified to
17 perform the work and that, by selecting BVZ to perform this scope of work, FPL is
18 precluded from entering into an EPC agreement with a consortium of Shaw and
19 Westinghouse at a later date. Based on Concentric's review of the project to date,
20 selecting BVZ for this scope of work does not preclude the Company from later
21 entering into a EPC agreement, but it does foster potential competition should FPL
22 decide to put the construction of the PTN 6 & 7 project out to bid. In addition,
23 BVZ was selected for this scope of work based on an internal review process and
24 appears qualified to perform the specific scope of work for which it was retained.

1 Despite OPC Witness Jacobs' assertion to the contrary, putting FPL on notice today
2 that the Company will be responsible for any additional cost that could result from
3 this decision is exactly the type of hindsight review the Commission must reject.
4 Results-oriented approaches to a prudence review are completely inappropriate, and
5 OPC Witness Jacobs' recommendation, if adopted, would send a very negative
6 message to investors and the financial community. Finally, FPL's feasibility analysis
7 continues to rely upon the best information available to the company and provides a
8 reasonable basis from which to determine the feasibility of the PTN 6 & 7 project.

9 **Q. Please summarize your conclusions regarding the direct testimony of SACE**
10 **Witness Gundersen in this proceeding.**

11 A. SACE Witness Gundersen has presented a number of uncertainties related to the
12 construction of new nuclear power plants. Each of these uncertainties is clearly
13 recognized by FPL. In fact, SACE Witness Gundersen cites portions of the
14 testimony of FPL Witness Scroggs which indicate that FPL is keenly aware of each
15 of these risks. However, SACE Witness Gundersen has not presented any new
16 uncertainties or risk faced by the project and has failed to discuss any FPL document
17 which demonstrates that FPL has not fully assessed these risks. In addition it is my
18 understanding that SACE Witness Gundersen did not request access to and has not
19 reviewed any of the materials FPL produced during discovery prior to offering his
20 opinions in his pre-filed testimony.

21 **Q. Please summarize your conclusions regarding the direct testimony of SACE**
22 **Witness Cooper in this proceeding.**

23 A. SACE Witness Cooper states that a number of conditions related to the long-term
24 feasibility of the project have changed since the Commission issued its

1 Determination of Need for the PTN 6 & 7 project. These changes include changes
2 in the price of fossil fuels, environmental compliance, the cost to construct the PTN
3 6 & 7 project and the cost and availability of competing resources. Based on these
4 changes SACE Witness Cooper contends that the prudent course of action is to
5 eliminate the option of nuclear power for FPL's customers. It is my opinion that the
6 approach advocated by SACE Witness Cooper in this proceeding is exactly the
7 opposite of prudent utility management. Rather than halting the development of
8 options during periods of extreme uncertainty, FPL and the Commission should
9 preserve every option available to them. This strategy allows FPL to be more nimble
10 when responding to any final climate change legislation and implementing
11 regulations. Finally, I believe SACE Witness Cooper has erred in several of his
12 analyses presented in his direct testimony. These errors included the use of long-
13 dated NYMEX natural gas futures contracts to project the long-term (i.e., greater
14 than 10 years) cost of natural gas, his application of the HHI to FPL's resource
15 portfolio and his comparison of various nuclear construction cost estimates.
16 Contrary to SACE Witness Cooper's position, it is my opinion that FPL has
17 demonstrated the continued feasibility of the PTN 6 & 7 project.

18 **III. BVZ PRELIMINARY ENGINEERING CONTRACT**

19
20 **Q. Please briefly describe the concern expressed by OPC Witness Jacobs' related**
21 **to the BVZ contract for preliminary construction engineering.**

22 A. Based on my review of OPC Witness Jacobs' testimony, it would appear that OPC
23 Witness Jacobs is concerned about FPL's choice of BVZ to perform certain
24 preliminary engineering services related to the PTN 6 & 7 project because he

1 believes there is a potential for this decision to ultimately increase the total project
2 costs. Further, it would appear, based upon this section of his testimony, which
3 OPC Witness Jacobs believes FPL has firmly committed itself to using a separate
4 contractor for the construction of the PTN 6 & 7 project.

5 **Q. Has FPL committed to using a separate contractor to construct the PTN 6 &
6 7 project?**

7 A. No, FPL has not committed to using a separate contractor to construct the PTN 6 &
8 7 project. Instead, FPL has prudently sought to preserve the option to competitively
9 bid the construction portion of the PTN 6 & 7 project at a later date. Nothing FPL
10 has done to date would preclude the Company from pursuing an EPC agreement
11 with the Shaw/Westinghouse consortium. In this regard, it should be made clear
12 that FPL has also not executed an engineering and procurement agreement for PTN
13 6 & 7.

14 **Q. Why is it prudent for FPL to preserve the option to competitively bid the
15 construction of the PTN 6 & 7 project?**

16 A. As will be discussed later in my testimony, from the beginning of the PTN 6 & 7
17 project, FPL has recognized the significant uncertainty that is inherent in the
18 construction of a new nuclear generating station. Thus, FPL has sought to delay or
19 defer entering into commitments for the PTN 6 & 7 project as long as feasible while
20 still preserving the deployment schedule for PTN 6 & 7 project where practical.
21 FPL's decision to retain BVZ is in accordance with this stepwise approach to project
22 management. At this time there is no need to retain a construction contractor for
23 the PTN 6 & 7 project to preserve the schedule. Further between today and the
24 time at which FPL may be required to retain a construction contractor, a significant

1 portion of the generic detailed design of the AP 1000 will be completed. Thus an
2 opportunity could exist to competitively bid the largest scope of work for PTN 6 &
3 7 project. This could create future savings for FPL's customers.

4 **Q. How could this competitive bidding opportunity result in savings for FPL's**
5 **customers?**

6 A. To answer this question, one must first understand how construction contractors
7 price large construction contracts. Specifically, these types of contracts are priced
8 based on two very general inputs: the cost of the resources needed to complete the
9 project and the risk the contractor is being asked to retain. Currently, there is a
10 substantial amount of risk associated with entering into a construction contract for a
11 new nuclear reactor. This is because the reactor designs are still at a preliminary
12 stage that leaves open a number of items. As a result, a construction contractor must
13 either push this risk onto the project sponsor, in this case FPL and its customers, or
14 include a substantial contingency to account for possible cost and schedule over-runs
15 that occur once the final detailed design work nears completion. In contrast, once
16 the detailed design work is complete, a construction contractor is able to gain much
17 greater certainty regarding the ultimate cost to construct the facility. The contractor
18 can then more comfortably assume additional risk based upon the more detailed
19 project design information, and price the contract with a smaller amount of
20 contingency included. It is also important to note that no EPC vendor to date has
21 been willing to enter into a full turn-key/fixed price EPC agreement for a new
22 nuclear power plant.

23 **Q. Have you observed other sponsors of new nuclear projects considering or**
24 **pursuing this approach?**

1 A. Yes I have. While OPC Witness Jacobs correctly notes that other AP 1000 sponsors
2 have entered in complete EPC agreements, through Concentric's experience working
3 with three sponsors of new nuclear facilities and two potential investors in new
4 nuclear projects, I am aware of other parties that are considering separating the EP
5 and C functions. With one exception the companies that are pursuing this approach
6 have generally not publicly disclosed their intentions to do so in order preserve their
7 negotiating position with each of their vendors. Luminant Energy, however,
8 announced on July 6, 2009, that it would pursue an engineering and procurement
9 contract with Mitsubishi Heavy Industries while reserving the option to separately
10 contract for construction services (Contract).

11 **Q. Have there been any public discussions of the EP and C approach to**
12 **constructing new nuclear plants?**

13 A. Yes, a recent article by Standard & Poor's succinctly described the challenges faced
14 by nuclear developers (Prabhu). First, this article points out that the type of turnkey,
15 lump-sum agreements which OPC Witness Jacobs is advocating in this proceeding
16 are simply not available in the current market despite what some developers or the
17 construction firms may be stating publicly. The article goes on to discuss the
18 inherent trade-offs between the risk allocated to the construction firm and the price
19 the owner is charged. In Exhibit JJR_2, I have produced a chart which is derived
20 from this article. This chart illustrates this trade-off. However, this chart goes
21 further to demonstrate that as more of the project risk is allocated to the EPC firm
22 the total project cost including the owner's contingency will initially fall and then
23 increase. This relationship results from the fact that past a certain level of risk, the

1 EPC firm's risk tolerance is not directly correlated with the risk tolerance of the
2 owner. The point where this inflection occurs is the lowest total project cost.

3
4 The chart in Exhibit JJR_2 also illustrates what is expected to occur over time. That
5 is to say the cost of the total project cost will fall as additional detailed design is
6 complete. This results from the fact that the construction firm no longer requires as
7 significant a contingency to cover potential cost over-runs. Similarly, the owner's
8 contingency can also be reduced because there is greater certainty in the ultimate cost
9 to construct the facility. However, at some point the total project cost will begin to
10 rise as the contractor must incur additional cost to meet the project schedule.

11
12 In addition to the Standard & Poor's article discussed above, a recent article which
13 appeared in Power Engineering International provides additional support for FPL's
14 approach to potentially bidding the construction contract. The author of this article
15 notes the following:

16 "In general, early NRC design certification approval provides a firmer
17 foundation for defining and pricing the scope of work. Hence,
18 without approval, owners and EPC contractors are left with a larger
19 portion of the scope that remains variable price and with risks that
20 are not properly allocated."

21 Thus by waiting to commit itself to a single construction firm, FPL will be able
22 capitalize on the more complete NRC design certification. This should provide FPL
23 with an opportunity to reduce the total cost of the project by lowering the overall

1 contingency and fixing or firming up the price of a larger portion of the total
2 construction scope.

3 **Q. OPC Witness Jacobs indicates that the single EPC approach will reduce the**
4 **risk to FPL. Is this true?**

5 A. The answer to this question is unclear at this time. The basis for this statement
6 seems to be that the Shaw/Westinghouse consortium would be willing to assume
7 substantial risk at a reasonableness cost. However, there is evidence, including the
8 S&P article discussed above, that the EPC contracts being offered by the
9 Shaw/Westinghouse Consortium are not the “turn-key” approach that OPC Witness
10 Jacobs cites or that have been routinely used for less complex construction projects.
11 Also, my review of publicly available EPC agreements from Southern Company,
12 Progress Energy Florida, SCANA and others indicates these agreements are likely
13 subject to cost escalation due to changes in agreed upon cost indices.

14 **Q. Is BVZ a qualified contractor for performing this scope of work?**

15 A. Yes it is. FPL undertook a significant internal review process before deciding to
16 retain BVZ for this project. As support for his concerns, OPC Witness Jacobs cites
17 one portion of a FPL single source justification memorandum (“SSJ”) which notes
18 BVZ is a qualified engineering firm. In his testimony OPC Witness Jacobs chose to
19 add emphasis to a particular section of this memorandum which identifies BVZ as
20 the only qualified vendor that does not have experience with the AP 1000 design. In
21 doing so, he has neglected the remainder of the SSJ which discusses the complete
22 rationale for selecting BVZ on a single source basis. The remainder of the SSJ notes
23 the current BVZ contract is a small portion of the overall development and
24 construction efforts. By selecting BVZ at this stage, BVZ is able to gain sufficient

1 experience with the AP 1000 design to allow BVZ to potentially submit a
2 competitive bid for the construction of the PTN 6 & 7 project at a time when there
3 is less risk to FPL and its customers. This approach will allow FPL to further foster
4 a competitive environment for the PTN 6 & 7 construction contract. However, FPL
5 has not selected BVZ to construct the PTN 6 & 7 project by entering into the
6 existing contract.

7 **Q. OPC Witness Jacobs notes that he is raising his concerns at this time so that**
8 **it is clear that the potential for increased costs was identified without the**
9 **benefit of hindsight. Do you agree with this statement?**

10 A. No I do not. While I completely agree with OPC Witness Jacobs that it is vitally
11 important the Commission adopt an approach to prudence reviews that clearly
12 excludes hindsight to determine the prudence of the Company's decision, OPC
13 Witness Jacobs' approach does just the opposite.

14
15 OPC Witness Jacobs' approach is essentially one in which he wants to wait to see
16 what the future EPC costs are, and then he will determine whether FPL's current
17 contracting practices are prudent. That is not a proper application of a prudence
18 determination and does not reflect the real world decision-making that FPL must
19 perform. First, it is important to understand that costs are not prudent or
20 imprudent, decisions are. Second, the prudence standard in regulation considers
21 decisions based on what was known, or should have been known, at the time the
22 decision had to be made, not based on the future outcomes of a decision. Dr.
23 Jacob's position on the prudence of FPL's decision to contract with BVZ is that it is

1 too soon to tell. That type of results-oriented regulation is exactly what a properly
2 applied prudence standard is meant to avoid.

3
4 FPL's decision to contract with BVZ is unquestionably prudent based on the
5 circumstances surrounding the decision. FPL carefully made this decision to
6 heighten competition for future contracting for PTN 6 & 7, with the goal of
7 producing lower costs for FPL's customers. This approach preserves significant
8 optionality and flexibility, while keeping the project on schedule. This approach to
9 contracting, which splits the EPC contract into separately bid components, is being
10 used by other energy companies for major projects and can be a highly cost-effective
11 contracting strategy when a project, its technology and design are undergoing a
12 lengthy development process. FPL's decision could conceivably lead to higher costs
13 under some circumstances, but it is much more likely to be beneficial. Based on
14 everything that is known now, I concur that it was the right decision, and its
15 prudence must be judged based on currently available information. Dr. Jacob's "wait
16 and see" attempt to recast the long-established prudence standard in regulation
17 should be flatly rejected. I can think of no more dangerous and harmful message to
18 investors and the broader financial community than one announcing that the
19 Commission was adopting a "wait and see" approach to recovery of prudently
20 incurred costs.

21
22 **IV. OPC WITNESS JACOBS' FEASIBILITY ANALYSIS CONCERN**

23

1 **Q. Has OPC Witness Jacobs expressed any concerns related to FPL's feasibility**
2 **analysis?**

3 A. Yes he has. Specifically, OPC Witness Jacobs is concerned that FPL did not update
4 the Company's cost estimate for developing and constructing the PTN 6 & 7 project.
5 OPC Witness Jacobs does not express any concerns related to the remainder of
6 FPL's feasibility analysis.

7 **Q. Why has FPL not updated the cost estimate for the PTN 6 & 7 project that**
8 **was utilized in the Company's feasibility analysis in this proceeding?**

9 A. FPL's feasibility analysis continues to be based upon a wide range of total
10 construction costs. This wide range allows FPL to evaluate the feasibility of the
11 projects under a variety of economics conditions and price fluctuations. FPL did not
12 update the cost estimate for the PTN 6 & 7 project this year because the current
13 estimate continues to represent the best information available to the Company and is
14 appropriate for the purpose of the feasibility analysis. As was discussed in my direct
15 testimony and will be discussed later in my testimony, FPL's current cost estimate
16 continues to compare favorably with similar projects around the country.
17 Additionally, there has been significant volatility in the price of several of inputs to a
18 cost estimate for any new nuclear project. As a result, any update at this time does
19 not necessarily provide more accurate future construction cost estimates. Finally, it
20 is important to remember that many of the commodity inputs that are required to
21 construct a new nuclear plant are the same commodities that are required to
22 construct most other generating resources. However, a new nuclear plant will
23 require a far greater quantity of these commodities. Thus to the extent that
24 commodity prices have fallen since FPL completed its cost estimate, the price

1 declines are likely to only enhance the economic advantage of a new nuclear plant
2 holding all else equal.

3 **Q. Do you believe it is reasonable for FPL to continue to use the Company's**
4 **existing cost estimate when performing the feasibility analysis for this**
5 **proceeding?**

6 A. Yes, I fully endorse FPL's decision in this specific case. As will be discussed in
7 Section VI below, the cost to construct all types of generating resources is generally
8 believed to have declined since 2008 (Marn). Further, most analysts believe new
9 nuclear plants have been the generation type most affected by the recent downtrend
10 in prices. Thus FPL's cost estimate, which was developed in mid-2007, likely
11 represents a mid-point in the current construction cycle. That is not to say; however,
12 that a return to economic growth will not later increase the cost to construct the
13 facilities. Nonetheless, it is conservative and prudent to continue to use the original
14 cost estimate at this time to evaluate the continued feasibility under the current
15 recessionary, macroeconomic conditions.

16
17 **V. SACE WITNESS GUNDERSEN AND PTN 6 & 7 COST AND SCHEDULE**
18 **UNCERTAINTY**

19
20 **Q. Are you aware that SACE has raised certain cost and schedule uncertainties**
21 **related to the PTN 6 & 7 project in this proceeding?**

22 A. Yes I am. SACE Witness Gundersen has filed direct testimony on behalf of SACE
23 regarding certain cost and schedule uncertainties that he has identified in this
24 proceeding.

1 **Q. Please summarize the uncertainties that SACE Witness Gundersen discusses**
2 **in his direct testimony.**

3 A. In his direct testimony, SACE Witness Gundersen addresses four “obstacles” to
4 completing the PTN 6 & 7 project. These obstacles included the following:

- 5 1. “Because the 10 CFR Part 52 licensing process for the AP 1000 is brand new
6 and has never been applied before, there is definite scheduling uncertainty
7 due to licensing delays
- 8 2. Hurricanes Katrina and Rita demonstrated that major construction projects
9 are subject to delays due to the worldwide demand for construction materials
10 and skilled labor. It is very likely that those nuclear construction materials in
11 highest demand will face shortages and procurement delays given the great
12 number of nuclear power plants proposed for construction in the
13 Southeastern U.S.
- 14 3. The nuclear industry as a whole is facing a labor shortage due to the limited
15 qualified individuals capable of performing this work
- 16 4. Building nuclear power plants is a complicated construction process in which
17 scheduling delays, lengthy construction times and delayed operation is
18 routine.” (4)

19 Obstacles two and three appear to be essentially the same point regarding potential
20 shortages of materials and labor.

21 **Q. Based upon your review of SACE Witness Gundersen’s direct testimony, have**
22 **you identified any new uncertainties in his testimony of which the**
23 **Commission was not made aware during the Determination of Need**
24 **proceeding or the 2008 NCRC review cycle?**

1 A. No I have not. As was discussed extensively during the Determination of Need
2 proceeding, the prospect of developing and constructing a new nuclear facility is
3 fraught with uncertainty. These uncertainties include the ultimate total cost to
4 construct the facility, whether the facility can be constructed in the time frame
5 projected by the project sponsor, the NRC and state licensing processes and the
6 potential for cost recovery. Indeed, both my testimony and the testimony of FPL
7 Witness Scroggs in that proceeding list the numerous uncertainties inherent in new
8 nuclear construction programs. SACE Witness Gundersen attempts to reintroduce
9 those uncertainties in this proceeding despite the fact that the Commission has
10 already considered these uncertainties in its Determination of Need for PTN 6 & 7.

11 **Q. SACE Witness Gundersen discusses the new NRC licensing process**
12 **promulgated in 10 CFR Part 52. Has anything changed in this process since**
13 **the Commission issued a determination of need in 2008?**

14 A. No, the new combined operating licensing process has remained the same since the
15 Commission issued its Determination of Need in March 2008. Since that time, a
16 number of new Combined Operating License Applications (“COLAs”) have been
17 submitted to the NRC including a COLA for the PTN 6 & 7 units. These COLAs
18 have been docket by the NRC and are progressing through the NRC review
19 processes. As was expected, the process has included hundreds of requests for
20 additional information (“RAIs”) submitted by the NRC to applicants and several
21 groups with varying interests have chosen to intervene in the review process. This is
22 similar to the prediction by Moody’s Investors Service which stated the following in
23 October 2007:

1 “Although we acknowledge the NRC licensing process is more
2 enhanced today than it was in the 1970s and 1980’s, we still believe
3 that the regulatory approval process associated with pursuing a new
4 nuclear facility will emerge as a potential constraint...However, this
5 new regulatory approval process remains untested and therefore
6 deserves careful attention” (New 7).

7 One important development related to the PTN 6 & 7 licensing process since 2007
8 is that the NuStart consortium has elected to shift the reference plant for the AP
9 1000 from the Tennessee Valley Authority’s (“TVA”) Bellefonte site to Southern
10 Company’s Plant Vogtle site. As SACE Witness Gundersen notes, the NRC was
11 notified of this decision on April 28, 2009. However, SACE Witness Gundersen
12 fails to note the reasons for this change which include that TVA is reconsidering
13 whether to complete two partially completed plants at the Bellefonte site rather than
14 or in connection with moving forward with the new reactors (Flessner). In addition,
15 this change has been advocated by former NRC Commissioner Dale Klein due to
16 the more advanced stage of planning for the Vogtle units. In addition, Southern
17 Company had previously filed for and is expected to receive an Early Site Permit for
18 the Vogtle site. If anything, this change should facilitate the licensing process, as it
19 will ensure that the reference application for the AP 1000 reactor technology is of a
20 very high quality.

21 **Q. Has the NRC stated that it has concerns with the COLA review process?**

22 A. Yes, the NRC has stated for some time that the COLA process is a challenging
23 undertaking. These challenges include the sheer number of applications the NRC
24 has received and training a relatively new review staff. In addition, as SACE Witness

1 Gundersen notes, the NRC is concurrently reviewing new or amended design
2 certifications for multiple reactor designs. As support for his arguments, SACE
3 Witness Gundersen cites a recent NRC letter and emphasizes a statement in that
4 letter which indicates that the licensing process is not proceeding as planned.
5 However, he fails to convey the overall message of this letter which indicates the
6 NRC is actively managing the licensing process and taking steps to mitigate schedule
7 risks.

8 **Q. What is FPL doing to manage the challenges associated with the COLA**
9 **review process?**

10 A. First, it is important for the Commission to note that FPL is in a somewhat
11 advantageous position by having submitted its COLA subsequent to sixteen other
12 applications. Thus FPL has and will continue to have the opportunity to learn from
13 the challenges faced by applicants which submitted their applications earlier in the
14 process. In this regard, FPL has taken note of the challenges faced by other
15 applicants and delayed its application submittal this year in order to address concerns
16 that were being raised in another applicant's COLA. FPL also has a number of
17 internal controls and processes in place to manage each of the challenges associated
18 with the NRC's review. These processes include regular meetings to discuss the
19 review process, and issuing a process to its COLA contractor, Bechtel, to ensure that
20 the NRC's RAIs issued to other applicants are being monitored and evaluated for
21 their impact on the PTN 6 & 7 COLA.

22 **Q. Has SACE Witness Gundersen identified any additional sources of delays for**
23 **the PTN 6 & 7 project?**

1 A. Yes, SACE Witness Gundersen identified certain transmission and ground water
2 concerns related to the PTN 6 & 7 project. However, it is unclear to me why SACE
3 Witness Gundersen believes these concerns have changed since the Commission
4 issued its Determination of Need, and why he believes these uncertainties have not
5 been addressed by FPL. The PTN 6 & 7 project has always been sited at the
6 Company's Turkey Point site and the number of transmission options available to
7 the Company has existed since that time. In addition, FPL considered both of these
8 concerns while undertaking an extensive site selection study which was discussed in
9 Concentric's internal control review from April 2009 and was filed with the
10 Commission as Exhibit SDS_7 in this proceeding. Similarly, FPL is undertaking a
11 detailed study of the various transmission options from the site that will allow the
12 additional energy generated by the PTN 6 & 7 project to be delivered to FPL's
13 customers. Finally, SACE Witness Gundersen does not cite any FPL document
14 produced during discovery as support for his opinion that FPL has not adequately
15 accounted for potential delays in the PTN 6 & 7 project planning process.

16 **Q. SACE Witness Gundersen states that any delays as a result of his schedule**
17 **uncertainties would result in increased costs to FPL's customers. Has FPL**
18 **included contingencies in its schedule and cost estimates?**

19 A. Yes, FPL has considered the need to include a contingency in its cost estimate.
20 However, development and construction of a new nuclear plant is an incredibly
21 complex undertaking and the potential does exist that the PTN 6 & 7 project will
22 exceed these contingencies. Nonetheless, FPL has followed appropriate industry
23 guidelines and practices when calculating its contingency factors. This contingency

1 factor was fully discussed in my testimony in the 2008 NCRC proceeding and was
2 again addressed in my direct testimony in this proceeding.

3 **Q. Please discuss SACE Witness Gundersen's concerns related to the demand for**
4 **construction materials and skilled labor.**

5 A. SACE Witness Gundersen states that "Hurricanes Katrina and Rita demonstrated
6 that major constructions projects are subject to delays due to the worldwide demand
7 for construction materials and skilled labor." His testimony never expands on why
8 he believes these two unfortunate events demonstrated these shortages.
9 Nonetheless, he states that international demand for nuclear materials and qualified
10 workers create the possibility for delays for the PTN 6 & 7 project. SACE Witness
11 Gundersen does not, however, state why he believes FPL has not anticipated,
12 evaluated or mitigated the possibility of labor and material shortages. In fact, he
13 does not cite any document produced in discovery to support his opinion that FPL
14 has not considered these uncertainties.

15 **Q. Are there reasons, other than Hurricanes Rita and Katrina for the material**
16 **shortages that SACE Witness Gundersen notes?**

17 A. Yes, I discussed in the Determination of Need proceeding and the 2008 NCRC
18 Review proceeding, the market for nuclear quality materials is constrained by the
19 limited number of suppliers qualified to supply these material and international
20 demand for these products (26-27). Interestingly, SACE Witness Gundersen relies
21 upon the same article I cited on page 27 of my direct testimony in the 2008 NCRC
22 Review proceeding. Additionally, robust global economic growth has spurred many
23 countries including China and India to advance their nuclear power construction
24 programs.

1 **Q. Do you agree with SACE Witness Gundersen's opinion that FPL has not**
2 **anticipated the potential for shortages in the materials required to complete**
3 **the PTN 6 & 7 project?**

4 A. I completely disagree with SACE Witness Gundersen's opinion. FPL is actively
5 monitoring the market for the critical construction materials required to complete
6 the PTN 6 & 7 project, and entering into reservation or supply agreements as market
7 conditions necessitate such agreements. For instance, in keeping with the guidance
8 from the DOE which is cited by SACE Witness Gundersen, FPL has entered into a
9 reservation agreement with Westinghouse to secure manufacturing space for the
10 reactor vessel forgings for the PTN 6 & 7 project. FPL is also regularly
11 communicating with Westinghouse regarding the current state of the supply chain
12 necessary to develop and construct the AP 1000 reactors. It would be difficult for
13 SACE Witness Gundersen to be aware of FPL's efforts in this regard without first
14 reviewing the extensive documentation FPL produced in discovery.

15 **Q. Do you agree with SACE Witness Gundersen that FPL has not anticipated**
16 **labor shortages?**

17 A. No I do not. It is widely recognized by the nuclear industry that a significant
18 number of the industry's workers are eligible to retire in the next five years. This is a
19 critical challenge for both existing and new nuclear power plants of which the
20 Company has been aware for a number of years. SACE Witness Gundersen
21 acknowledged in his direct testimony that FPL as a Company is well aware of these
22 challenges by citing remarks of a senior FPL executive at a recent industry
23 conference. As a result, the company has undertaken a number of efforts to help
24 mitigate this risk at both its existing nuclear power plants and the PTN 6 & 7 project.

1 In its April 2009 Review of FPL's Internal Controls, Concentric also recommended
2 that the Company develop contingency plans which address the possibility of a labor
3 shortage. Despite each of these activities, SACE Witness Gundersen opines that
4 FPL has not anticipated labor shortages, but does not cite any FPL documents
5 produced during discovery as support for his arguments.

6 **Q. What is FPL doing to manage potential labor shortages?**

7 A. FPL's first step in addressing potential labor shortages is a staffing plan that
8 monitors the current workforce needs of the project and indicates when a new hire is
9 anticipated. The PTN 6 & 7 project can then seek qualified candidates from a
10 number of labor pools including internal candidates, external direct hires or staff
11 augmentation labor. As one of the largest nuclear power operators in the Country,
12 the Company also enjoys an advantage when recruiting personnel to its nuclear
13 facilities because potential employees see substantial opportunities for advancement
14 within the Company. To address the need for new workers in the power industry in
15 general, FPL has established a cooperative program with the Homestead campus of
16 Miami Dade College (Valdemoro). This program provides new workers with
17 training in one of three disciplines and places them at the Company's existing power
18 plants at the Turkey Point site. Finally, FPL's Internal Control organization
19 monitors the manhours expended by the PTN 6 & 7 contractors to identify potential
20 trends in the number of resources assigned to the project. When a negative trend
21 that could affect the PTN 6 & 7 schedule is identified, FPL works closely with the
22 vendor to make certain adequate resources are assigned to the PTN 6 & 7 project on
23 a going forward basis.

1 **Q. What concerns related to the PTN 6 & 7 construction schedule has SACE**
2 **Witness Gundersen raised?**

3 A. SACE Witness Gundersen appears to be concerned that the pattern of design delays
4 and construction delays that occurred in the 1970's and 1980's will be repeated
5 during the current construction program. As support for his argument, SACE
6 Witness Gundersen states that the AP 1000 is a brand new design that has not been
7 constructed, and he cites a New York Times article which discusses construction
8 difficulties faced by the sponsor of new nuclear plant under construction in Finland.
9 SACE Witness Gundersen does not address why he believes FPL has not evaluated
10 and/or mitigated these concerns.

11 **Q. Has FPL undertaken any efforts to address the risk of delays during**
12 **construction of the PTN 6 & 7 project?**

13 A Yes it has. As discussed in my direct testimony, FPL's construction schedule was
14 originally developed using an industry standard, known as the critical path method,
15 and an often-used software program which facilitates updates to this schedule. Once
16 completed, the PTN 6 & 7 schedule was reviewed and vetted internally. In addition,
17 FPL has asked BVZ to further review the schedule. The PTN 6 & 7 schedule will
18 continue to be subject to various risks going forward, but FPL has taken appropriate
19 steps to address the risk SACE Witness Gundersen has identified and to address new
20 risks as they may emerge.

21 **Q. What is the status of other nuclear power plants under construction around**
22 **the world?**

23 A As shown on Exhibit JJR_3, which is attached to this rebuttal testimony, a number
24 of countries have embarked on nuclear construction projects. In addition to the

1 Okiluoto-3 reactor that SACE Witness Gundersen cites in his direct testimony, there
2 are two AP-1000 projects under construction in China along with several other
3 projects around the world. While concerns may arise later, the AP1000 projects have
4 progressed relatively smoothly. In addition, Japan has actively and relatively
5 successfully constructed nuclear power plants since the 1970's. Clearly, not every
6 reactor under construction has encountered the number and magnitude of problems
7 faced by the Okiluoto-3 reactor. Indeed, the owner of Okiluoto-3 was not
8 discouraged by the construction problems faced by the project and has since applied
9 to the Finnish nuclear authority for permission to construct a fourth plant at the
10 Okiluoto site (Application). In addition, FPL and the rest of the U.S. nuclear
11 industry will have the opportunity to learn from the lessons at these earlier projects
12 by participating in global industry partnerships and information sharing networks.

13
14 **VI. SACE WITNESS COOPER AND THE PTN 6 & 7 FEASIBILITY ANALYSIS**

15
16 **Q. Are you aware that SACE Witness Cooper has filed direct testimony in this**
17 **proceeding?**

18 A. Yes I am aware that SACE Witness Cooper has filed direct testimony in which he
19 discusses a number of uncertainties related to the PTN 6 & 7 project. He does not
20 comment on any of FPL's 2007, 2008 or 2009 expenditures.

21 **Q. Please summarize the testimony SACE Witness Cooper.**

22 A. In his direct testimony SACE Witness Cooper asserts a strategy for dealing with
23 uncertainty in FPL's and the State of Florida's resource planning process. In
24 addition, SACE Witness Cooper asserts a number of changed regulatory, financial,

1 market and technical conditions which challenge the long-term feasibility of the PTN
2 6 & 7 Project. These changed conditions include:

- 3 • Declining customer demand
- 4 • Recently falling natural gas prices
- 5 • Potential renewable energy and energy efficiency standards
- 6 • The potential cost of carbon emissions
- 7 • Cost of nuclear cost construction
- 8 • The potential cost and available of alternative resources
- 9 • The state of financial markets
- 10 • Investor perceptions of nuclear construction

11 **Q. What is your opinion of the uncertainty related to the PTN 6 & 7 project?**

12 A. If completed, the development period for PTN 6 & 7 will exceed a decade. During
13 this time, electricity demand, fuel prices and environmental compliance costs will
14 fluctuate substantially as economic cycles progress and new policies are
15 implemented. As has been discussed previously, these fluctuations and new policies
16 are sources of tremendous cost and schedule uncertainty for the PTN 6 & 7 project.

17 **Q. Are there similar uncertainties for renewable energy and energy efficiency
18 resources?**

19 A. Yes. For example, it is often suggested that there could be significant changes in the
20 cost, performance, and reliability of renewable energy alternatives in response to
21 greater demand. Others predict that new renewable generating technologies, such as
22 ocean current/wave/thermal resources, will be commercialized and provide a clean,
23 affordable means of producing electricity. The future availability, cost and

1 performance parameters of these alternatives are inherently uncertain, which adds to
2 the challenges facing electric resource planners. Cost is also not the only potential
3 factor that could limit penetration of these resources; permitting issues for such
4 installations are frequently a major issue.

5 **Q. SACE Witness Cooper states that in periods of uncertainty, utilities should**
6 **acquire assets with short lead times that closely match demand rather than**
7 **incurring large capital costs, is this true?**

8 A. SACE Witness Cooper's statement is partially correct. However, he fails to make
9 one critical distinction. It is true that in times of extreme uncertainty such as now, a
10 prudent utility should make investment decisions that enhance its overall flexibility.
11 This includes preserving options which are inherently more flexible than fixed assets.
12 The option to construct new nuclear power plants is one such option. Because of
13 the lead time associated with a new nuclear power plant, failing to take steps at this
14 time to pursue a new nuclear plant would effectively eliminate the role of nuclear as
15 an option within the next decade for FPL and its customers.

16
17 Ironically, SACE Witness Cooper forgets his own admonition about the importance
18 of preserving flexibility and the need for regular reviews of a utility's resource plan
19 when he evaluates FPL's development of the nuclear option for PTN 6&7. In his
20 direct testimony, SACE Witness Cooper states the following:

21 "As very large investments that take a long time to construct and
22 produce large quantities of electricity, they [nuclear plants] represent
23 a huge quantity of inflexible service costs. These investments are

1 incapable of responding to change. They are inherently “go-no-go”
2 decisions that should be made before costs are incurred.” (7)

3 I am in complete disagreement with SACE Witness Cooper on this point, at least as
4 it relates to FPL’s nuclear strategy. FPL is preserving the nuclear generation
5 alternative for its customers through a carefully conceived and well executed step-by-
6 step approach. It has sought to preserve optionality at the lowest possible cost that
7 permits the project to meet the need identified. FPL has wisely chosen to learn from
8 the experience of others and avoid if at all possible an early “go-no-go” decision that
9 would lock in a decision to build PTN 6 & 7.

10
11 SACE Witness Cooper’s view that a “go-no-go” decision should be made before
12 costs are incurred is reminiscent of the worst examples of resource planning from
13 the 1980s, when utilities were locked into proceeding with nuclear projects, without
14 ongoing reviews, and billions of dollars were wasted on projects that were eventually
15 cancelled. A step-by-step approach, with frequent re-examination and review, and
16 prudent expenditures to develop, evaluate and preserve this resource option, is
17 unquestionably better than the wasteful “go-no-go” approach.

18 **Q. Is FPL’s development approach to the PTN 6 & 7 consistent with this view?**

19 A. Yes, FPL is pursuing a stepwise process to preserve the option to build two new
20 nuclear power plants. This strategy involves delaying upfront customer expenditures
21 as long as practical to meet the project’s development schedule and undergoing the
22 Commission’s annual feasibility review as part of the NCRC process. This process
23 allows both FPL and the Commission to evaluate new information on a timelier
24 basis, but also allows the Commission to defer judgment until more definite

1 information is available. Further, this approach does not prevent the Commission or
2 FPL from simultaneously pursuing all other resource options, including renewable
3 energy and energy efficiency resources, which may become available during the PTN
4 6 & 7 project's useful life.

5 **Q. What are the implications of SACE Witness Cooper's strategies if they were**
6 **pursued?**

7 A. SACE Witness Cooper advocates that FPL plan to invest in short lead time power
8 plants such as natural gas power plants that can be developed on relatively little
9 notice. His position is presumably based on his belief that sufficient new renewable
10 resources and energy efficiency may become available to meet FPL's entire need for
11 new resources. For reasons discussed later in this section of my testimony, such a
12 strategy represents a gamble on the development of these technologies. If that
13 gamble does not prove correct, however, FPL and its customers would be forced to
14 build the natural gas assets SACE Witness Cooper is advocating. These assets will
15 further subject FPL's customers to fluctuations in the price and availability of natural
16 gas, which are very substantial already. Unlike the New England region with which
17 SACE Witness Cooper is likely familiar, Florida has a limited number of options for
18 transporting natural gas to the region. Thus the risk of hurricane related supply
19 disruptions could have tremendous implications for FPL and its customers. It would
20 not be prudent for FPL to pursue such a speculative investment strategy in times as
21 uncertain as these. In contrast to SACE Witness Cooper's strategies, FPL's strategy
22 will still enable the utility to vigorously pursue any viable energy efficiency and
23 renewable energy resources which may become available while preserving the option
24 to construct PTN 6 & 7 on the earliest practical deployment schedule.

1 **Q. Do you agree with SACE Witness Cooper's opinion that the recent shift in**
2 **consumption is permanent and signals slower growth in the future?**

3 A. No. As a preliminary matter, SACE Witness Cooper offers no support for his
4 opinion that the recent shifts in consumer behavior will become permanent. It is
5 critically important to note, however, that nuclear is a long-term (i.e. 40-60 year)
6 investment. It would not be prudent to base such a resource planning decision on
7 near-term economic cycles which occur during the facilities' development,
8 construction and operational periods. Nonetheless, it does seem reasonable that for
9 the very near term, future economic growth will be slowed from projections that
10 were offered prior to 2008. It is currently very uncertain how long this reduced
11 growth will continue and how dramatic the reductions will be in that period. I have
12 observed several different predictions that range from a period of "super-growth" at
13 the end of the recession to long-term economic stagnation. From past experience it
14 seems likely medium term and longer-term growth will fall somewhere in between
15 these extremes.

16 **Q. Has FPL experienced a reduction in electricity demand since the 2008**
17 **feasibility analysis?**

18 A. Yes, similar to several other utilities in the U.S., FPL has experienced a significant
19 drop in demand since 2008. This reduction results from an ongoing economic
20 recession.

21 **Q. Did FPL account for this reduction in demand in the load forecast the**
22 **Company used in its annual feasibility analysis?**

23 A. Yes, FPL has clearly accounted for this demand reduction in its load forecast. For
24 instance, in the year the first PTN 6 & 7 reactor is expected to enter commercial

1 service, FPL has reduced its demand forecast by more than 11%. Further to that
2 reduction, however, are the reductions that FPL has projected after 2020. For
3 instance, FPL's projected demand in 2035 is more than 16% lower than the 2008
4 forecast, and FPL's projected demand in 2040 is more than 20% lower than the 2008
5 forecast.

6 **Q. If FPL's load forecast has decreased so dramatically, why hasn't the**
7 **Company's projected reserve margins increased commensurate with the**
8 **decrease in load?**

9 A. As the Commission noted in its Determination of Need Order, even assuming
10 reduced or no growth for a period of five years or more, FPL has a need for new
11 capacity in excess of the PTN 6 & 7 reactors. FPL's lower demand forecast has
12 simply reduced the increment of new capacity that was in excess of the PTN 6 & 7
13 project. As the Commission pointed out in its order in that proceeding, FPL
14 intended to meet this additional capacity need with new gas-fired, combined cycle
15 power plants, but has deferred the need for certain of these plants to account for the
16 reduced demand. This clearly demonstrates why it is important to preserve the
17 option to construct the PTN 6 & 7 projects at this time. As SACE Witness Cooper
18 accurately points out, alternative resources have much shorter lead times and can be
19 pursued simultaneously with the new nuclear power plant. Meanwhile, other
20 incremental resources can be used to match fluctuations in the Company's load
21 forecast. However, to choose to cease nuclear power development efforts at this
22 time would force FPL to pursue natural gas as the only currently available alternative
23 for baseload generation.

1 **Q. Why are the renewable resources for which SACE Witness Cooper advocates**
2 **not suitable alternatives for the capacity need which may be met by PTN 6 &**
3 **7?**

4 In order to be more widely deployed in Florida in the longer term, many of these
5 renewable resources would require significant reductions in cost and leaps in
6 efficiency. Also, most of these renewable resource options are unable to meet
7 baseload generating needs, but are better positioned as intermediate and peaking
8 resources that enable a utility to replace its gas- and oil-fired generation. As an
9 example of the viability and availability of renewables in Florida, FPL recently issued
10 a Request for Proposals (“RFP”) for energy and capacity from new renewable energy
11 facilities. Unfortunately, none of the responses to this RFP were below FPL’s
12 avoided costs of energy and capacity.

13 **Q. What role would a national renewable energy standard play in determining**
14 **future resource planning decisions?**

15 A. First, it is important for the Commission to note that no proposed national
16 legislation has become law. The version of climate change legislation that is being
17 considered by the Senate is substantially different than that passed by the House.
18 This uncertainty was reinforced in a recent webinar sponsored by SACE in which
19 Michele Boyd stated she anticipated a “enormous battle” to reconcile the bills passed
20 in each house of the U.S. Congress (Boyd). In addition, there is currently no
21 certainty as to how this legislation will be implemented once respective agency
22 regulations are issued. Thus there is extraordinary uncertainty related to final
23 standards that will need to be met by FPL. Nonetheless, virtually every analyst is in
24 agreement that some form of climate change legislation will be implemented in the

1 coming years and this legislation is very likely to include some form of a national
2 renewable electricity standard which would require each utility to procure a portion
3 of its electricity sales from renewable resources, including nuclear. As SACE
4 Witness Cooper states, this would clearly have some impact on the need for non-
5 renewable resources. However, SACE Witness Cooper has failed to note H.R. 2454,
6 the American Clean Energy and Security Act, excludes nuclear from the total
7 electricity sales baseline to which a utility's renewable purchases are compared. That
8 is to say that new nuclear is effectively exempt from the national renewable energy
9 standard, counting as neither a renewable or non-renewable resource. Furthermore,
10 SACE Witness Cooper fails to mention that many political commentators are
11 speculating that new nuclear may ultimately be included as a renewable resource.
12 Such a measure, if included in the final legislation would further improve the
13 prospects of new nuclear power plants.

14 **Q. In the absence of viable renewable resources would vigorously pursuing**
15 **demand side management and demand reduction (DSM) programs eliminate**
16 **the need for future supply side resources?**

17 A. First, I note that the appropriate DSM goals are an issue currently before the
18 Commission in Docket No. 080407-EG. Nonetheless, these programs should be
19 vigorously pursued, and FPL is recognized throughout the electric utility community
20 as being one of the most successful utilities in the nation in achieving cost-effective
21 DSM programs. However, there is no likelihood that even the successful utilization
22 of all of the available cost-effective DSM programs can do anything more than slow
23 the demand growth that the system is facing, and thus will not eliminate the need for
24 new non-GHG-emitting baseload resources in order to both meet demand and

1 mitigate GHG emissions. In response to this, Dr Cooper contends that as much as
2 20% of FPL's load can be met with energy efficiency. However, the study which
3 SACE Witness Cooper cites as support for this argument contains a number of
4 assumptions regarding the penetration levels that can be achieved for energy
5 efficiency without citing any analysis to support these assumptions (Elliot 8). In
6 addition, SACE Witness Cooper neglects to mention that this report lists a number
7 of new polices, regulations and legislation that must be implemented to achieve these
8 goals (26-27).

9 **Q. Does SACE Witness Cooper raise any concerns related to FPL's natural gas**
10 **forecast?**

11 A. Yes, SACE Witness Cooper states he believes FPL's current natural gas forecast is
12 too high given recent market predictions. For support for his argument, SACE
13 Witness Cooper argues that a stream of prices for NYMEX futures on a single day
14 provides definitive evidence of natural gas price expectations through 2020. As
15 explained below, this analysis is not appropriate due to the lack of liquidity in longer
16 maturity futures contracts and the fact SACE Witness Cooper has relied upon a
17 single day's data as a projection of future prices.

18 **Q. Do you have any observations related to SACE Witness Cooper's analysis?**

19 A. While I generally agree that natural gas prices have fallen since FPL's natural gas
20 price forecast was developed, I am concerned with what SACE Witness Cooper
21 asserts is a reasonable projection of the market. In his direct testimony, SACE
22 Witness Cooper notes that the NYMEX futures contract for the Henry Hub has
23 been a reasonable projection of Florida City Gate prices. To support this assertion,
24 SACE Witness Cooper produces an exhibit which plots Florida's natural gas prices

1 against the NYMEX futures contract. He then goes on to state that the exhibit
2 demonstrates that the NYMEX futures have been a near perfect predictor of natural
3 gas prices for FPL's natural gas price. My concern with SACE Witness Cooper's
4 analysis is that he appears to rely on what is known as "front month" contracts to
5 support his contention that the NYMEX Henry Hub futures contract is a reasonable
6 projection of Florida natural gas prices, but then uses what are known as "long dated
7 contracts" to establish his contention that FPL's projection of natural gas prices is
8 too high.

9 **Q. Please explain what you mean by "front month" and "long dated contracts."**

10 A. Generally, front month contracts are NYMEX-traded agreements that provide the
11 purchaser the right to purchase natural gas at a specified price in the months
12 immediately following the current month. These contracts change hands quite often
13 due to the relatively short time period before they expire and the widely available and
14 relevant market information. Long dated contracts, in contrast, allow a buyer to
15 purchase natural gas at a time further in the future. Currently, these contracts are
16 available until December 2021. However, the long dated contracts trade very
17 infrequently and are typically not relied upon by analysts as projections of future
18 prices.

19 **Q. Why is it not appropriate to use very long dated contracts to project long-term
20 natural gas prices?**

21 A. Very long dated contracts, such as those more than 18-24 months out, cannot be
22 relied upon to predict future natural gas prices because they generally trade sparingly
23 and are purchased as insurance policies for companies whose financial performance
24 is tied to the price of natural gas in some manner. Exhibit JJR_5 is table which

1 depicts both the trading volume and number of open contracts, known as the open
2 interest, for each contract maturity. Additionally, SACE Witness Cooper's testimony
3 relies upon the price of these contracts as reported on a single day. He makes no
4 effort to illustrate any trends in these prices. FPL Witness Sim provides the rationale
5 behind FPL's current natural gas forecast and why it is appropriate basis from which
6 to perform the feasibility analysis.

7 **Q. Does SACE Witness Cooper also raise concerns related to FPL's cost estimate**
8 **for the PTN 6 & 7 project?**

9 A. Yes, SACE Witness Cooper notes in his direct testimony that FPL's current range of
10 cost estimates is in the bottom quartile of comparable cost estimates. To support his
11 assertion, SACE Witness Cooper relies on a table of nuclear cost estimates that he
12 appears to have developed for an outside report he published in June 2008 (Cooper
13 "Economics" 23). This report discusses three categories of cost estimate as
14 classified by SACE Witness Cooper; "aspiration (hype), recommendation (hope), and
15 projection (reality)" (17). In addition, SACE Witness Cooper's report, which
16 includes virtually the same table presented in his direct testimony, indicates that
17 several of the estimates on which he relies for his statements "are not very well
18 explained or documented, while a few are analyzed in great detail" (22). Thus it
19 would seem that SACE Witness Cooper's analysis is premised on information for
20 which he likely does not have all of relevant details necessary to make his
21 comparison. Indeed, SACE Witness Cooper even refers to the information on
22 which earlier cost estimates may have been based as "part of a catechism whose basic
23 function was to answer infidels and sustain the faith of the converted" (33).

1 **Q. Why is SACE Witness Cooper's analysis not the appropriate basis from which**
2 **to perform a cost comparison?**

3 A. SACE Witness Cooper's cost estimate analysis is an entirely inappropriate
4 comparison due to the fact that he has failed to account in any way for the
5 differences between reactor designs or recent trends in commodity prices. Both of
6 these details are critical to making a reasonable comparison between various projects.
7 Westinghouse, for example, has stated that the AP 1000 is expected to use
8 approximately 40% less concrete than a comparable four loop Westinghouse
9 pressurized water reactor from the last wave of construction (Westinghouse). Very
10 basically, some newer designs, such as the US EPR and others, rely upon the
11 conventional safety systems from these earlier plants as the basis for their new
12 designs and then enhance the safety of these earlier plants. It can reasonably be
13 assumed that commodity savings cited by Westinghouse is likely to apply to these
14 plants as well. SACE Witness Cooper relies upon a number of these generic cost
15 estimates and cost estimates for at least three US EPR projects, and one ABWR
16 project which may or may not be provided on comparable economic and financial
17 term as the basis for his cost estimate. I have also noted that SACE Witness Cooper
18 relies upon at least one illustrative example for his argument. In Exhibit MNC-8,
19 SACE Witness Cooper cites a 2008 Moody's Investors Service report for one of his
20 cost estimates, but he does not address the explanatory statement on Page 6 of this
21 report which states "this \$7.5 billion [referring to the total cost estimate for a new
22 nuclear power plant] estimate is for illustrative purposes only and does not represent
23 a \$/kW capacity figure."

1 **Q. Has Concentric produced its own comparison of cost estimates in this**
2 **proceeding?**

3 A. Yes, Concentric produced a comparison of various cost estimates from all of the
4 developers of AP 1000 projects in the Southeast United States as Exhibit JJR_3 in
5 my direct testimony filed on March 2, 2009 in this proceeding. This comparison
6 demonstrated that FPL's cost estimate is within a reasonable range when compared
7 to similar projects.

8 **Q. SACE Witness Cooper asserts that the breakeven analysis FPL has used to**
9 **ascertain the PTN 6 & 7 project's continued feasibility is a contrived and**
10 **inappropriate means to evaluate feasibility. Have you seen this analysis used**
11 **elsewhere?**

12 A. Yes this type of analysis is routinely used in financial analysis and is known as a
13 "stress test." Often these tests are used for the very purpose for which it is being
14 used in this proceeding, determining whether a project continues to be economic
15 given a particular set of assumptions. Concentric often utilizes this test when
16 performing valuations of power plants for financial investors.

17 **Q. Why are financial investors interested in the results of this type test?**

18 A. Concentric's clients have requested this analysis to determine at what price the plant
19 ceases to be economic or at what point the investment begins to pay off for the
20 investor.

21 **Q. Are there other considerations related to the PTN 6 & 7 project's feasibility**
22 **analysis which are addressed by SACE Witness Cooper?**

23 A. Yes, SACE Witness Cooper also briefly discusses whether FPL can further diversify
24 its generating portfolio by pursuing renewable energy resources and energy

1 efficiency. He bases his discussion upon the Herfindahl-Hirschman Index (“HHI”),
2 a well known indicator of market concentration.

3 **Q. Did SACE Witness Cooper appropriately consider the HHI in this instance?**

4 A. SACE Witness Cooper has failed to appropriately consider the HHI. In his
5 discussion of the HHI, SACE Witness Cooper provides three scenarios under which
6 FPL would invest in a variety of resources. SACE Witness Cooper then provides an
7 HHI for each of the three portfolios and concludes that if FPL invested more in
8 renewable energy and energy efficiency it would have a more diverse portfolio. This
9 is not a startling conclusion. The HHI considers both the market share of a firm or
10 resource and the number of firms or resources in the market. Thus the HHI will
11 always fall by simply adding a new firm or resource regardless of the amount of
12 market share garnered. In other words, one could achieve a similar result by dividing
13 nuclear into two separate resources known as existing nuclear and new nuclear, or by
14 adding any other resources as a new category. The opposite is also true. Should
15 SACE Witness Cooper not separate energy efficiency into a third category, but
16 included in the other category with the same market share used in his example, the
17 calculated HHI would not fall as dramatically as he has portrayed it. The final
18 demonstration of this would be to separate efficiency into every technology that
19 produces an energy savings. Although each of these technologies would have an
20 extremely small market share, the presence of a number of additional resources in
21 the market would serve to reduce the level of concentration in the market.

22 **Q. Does this conclude your testimony?**

23 A. Yes it does.

**BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION**

In re: Nuclear Power Plant)
Cost Recovery Clause)

DOCKET NO. 090009-EI
 FILED: September 4, 2009

ERRATA SHEET

TESTIMONY OF JOHN J. REED, MARCH 2, 2009

<u>PAGE#</u>	<u>LINE #</u>	<u>CHANGE</u>
9	Footnote 5	Merge footnote 6 into footnote 5, so that footnote 5 reads as follows: "Staff recommendation in Docket 060658-EI – Petition on behalf of Citizens of the State of Florida to require Progress Energy Florida, Inc to refund customers \$143 million, citing Docket 820001-EU-A, In Re: Investigation of Fuel Cost Recovery Clauses of Electric Utilities (Gulf Power Company – Maxine Mine)."
9	Footnote 6	Delete
9	Footnote 7	Re-number as Footnote 6
10	Footnote 8	Re-number as Footnote 7
10	Footnote 9	Re-number as Footnote 8
15	Footnote 10	Re-number as Footnote 9
20	Footnote 11	Re-number as Footnote 10
21	Footnote 12	Re-number as Footnote 11
46	Footnote 13	Re-number as Footnote 12
48	Footnote 14	Re-number as Footnote 13

REBUTTAL TESTIMONY OF JOHN J. REED

<u>PAGE#</u>	<u>LINE #</u>	<u>CHANGE</u>
9	15	"notes the following" to "notes the following (Haarmeyer)"

39		<u>ADD TO BIBLIOGRAPHY</u> "Haarmeyer, David, "Nuclear New Build Precondition: Cost Visibility and Predictability: Owners must take a more active, informed and disciplined approach to managing contract and project execution", <u>Power Engineering International</u> . September 2008."
----	--	---

DOCUMENT NUMBER-DATE

09257 SEP-4 8

FPSC-COMMISSION CLERK

1 **BY MS. CANO:**

2 **Q.** Are you also sponsoring exhibits to your
3 testimony?

4 **A.** Yes.

5 **Q.** Do those consist of JJR-2 to JJR-4?

6 **A.** Yes.

7 **MS. CANO:** Mr. Chairman, I would note that
8 these have been premarked for identification as Numbers
9 78 to 80 on Staff's Comprehensive Exhibit List.

10 **CHAIRMAN CARTER:** For the record, exhibit 8
11 through 80 on Staff's Comprehensive Exhibit List. You
12 may proceed.

13 **BY MS. CANO:**

14 **Q.** Have you prepared a summary of your rebuttal?

15 **A.** Yes, I have.

16 **Q.** Would you please provide that to the
17 Commission at this time.

18 **A.** Certainly. The purpose of my rebuttal
19 testimony is to respond to the direct testimony of OPC
20 Witness Jacobs and the testimonies of SACE Witnesses
21 Gundersen and Cooper regarding FPL's new nuclear
22 program.

23 First, regarding Doctor Jacobs' concerns about
24 the EPC contract or lack thereof, my rebuttal testimony
25 reviews why FPL elected not to enter into an engineering

1 procurement and construction contract in 2007 and 2008.
2 This decision will not prevent the company from entering
3 into an EPC contract if this becomes attractive, and at
4 this time FPL should preserve this option to later
5 competitively bid the construction contract. Other
6 sponsors of new nuclear plants and the sponsors of
7 multiple fossil fuel plants have chosen to use this same
8 approach, and it is consistent with FPL's step wise
9 approach to committing new funds to the nuclear project.

10 Lastly, I note that despite Witness Jacobs'
11 assertions to the contrary, putting FPL on notice today
12 that its approach could be found at a later date to have
13 been imprudent is exactly the type of hindsight review
14 this Commission should reject in this and future nuclear
15 cost-recovery proceedings.

16 Next, with regard to the criticisms of FPL's
17 feasibility analysis, my rebuttal testimony also
18 addresses how FPL has updated its feasibility analysis
19 for the 2009 proceeding. The break-even analysis
20 performed by FPL is consistent with the methodologies
21 that Concentric, my firm, and others use to analyze
22 construction programs and to value existing plants.

23 Witness Cooper attempts to call FPL's cost
24 estimate into question by comparing it to several
25 generic cost estimates, cost estimates of other reactor

1 technologies, and by citing historic escalation in cost
2 estimates. This comparison is clearly inappropriate
3 given the vastly different reactor designs available in
4 the current market and the site-specific and technology
5 specific cost estimate that FPL has utilized.

6 Witness Jacobs also asserts that the
7 Commission should direct FPL to update its cost
8 estimate, but fails to provide any analysis which
9 demonstrates that the current estimate is inappropriate.

10 Witness Gundersen claims to have identified a
11 number of new uncertainties which effect the long-term
12 feasibility of FPL's new nuclear project. Concentric
13 thoroughly examined hundreds of FPL documents throughout
14 2009. I fully believe that FPL is aware of the
15 uncertainties that Witness Gundersen notes and has taken
16 reasonable and prudent steps to mitigate those
17 uncertainties.

18 Witness Cooper further claims to identify a
19 number of changes in the economic, political, and
20 regulatory environment which make FPL's new nuclear
21 project infeasible. These claims are based on
22 speculation about future business conditions and the
23 conclusions of other studies which clearly acknowledge
24 that these results may not be achievable under current
25 circumstances. This new information does not render the

1 pursuit of FPL's new nuclear program imprudent.

2 It is my opinion that FPL has reasonably
3 accounted for what is knowable at this time and has
4 relied upon a reasonable range of assumptions to
5 determine the continued viability and feasibility of its
6 new nuclear project.

7 In conclusion, by choosing not to enter into
8 an EPC contract in 2008, FPL has prudently preserved the
9 option to competitively bid the construction of the new
10 nuclear project. FPL's current range of cost estimates
11 for the new nuclear project falls within a reasonable
12 range when compared to truly similar projects. FPL has
13 developed and implemented a thorough process to identify
14 and mitigate the uncertainties related to its new
15 nuclear project, and this appropriately identifies the
16 risks, establishes steps to mitigate the risks, and
17 monitors these risks.

18 Finally, under current circumstances, the
19 Commission should seek to preserve all of the options in
20 FPL's resource plan including the new nuclear project
21 and additional renewable resources and energy efficiency
22 measures. None of these options should be foreclosed at
23 this time. That completes my summary.

24 **MS. CANO:** FPL tenders the witness for cross.

25 **CHAIRMAN CARTER:** Mr. McGlothlin. One moment,

1 Mr. McGlothlin.

2 Commissioner Skop.

3 **COMMISSIONER SKOP:** Thank you, Mr. Chair.

4 Good evening, Mr. Reed.

5 **THE WITNESS:** Good evening.

6 **COMMISSIONER SKOP:** On Page 34 of your
7 rebuttal testimony, I just have a point of
8 clarification, just because I prepared my own question.
9 But at the bottom of the page at Line 24 it refers to
10 Exhibit JJR-5. Is that perhaps a typo and that should
11 be JJR-4?

12 **THE WITNESS:** Yes, thank you. It should be
13 Exhibit JJR-4.

14 **COMMISSIONER SKOP:** Thank you.

15 **CHAIRMAN CARTER:** Mr. McGlothlin.

16 CROSS EXAMINATION

17 **BY MR. McGLOTHLIN:**

18 Q. Mr. Reed, first, I want to ask you some
19 questions about your comments on the FPL feasibility
20 study. I assume you have become familiar with that
21 portion of the rule that requires the study to be
22 performed, maybe not?

23 A. Yes, I am.

24 Q. And you are aware that the rule requires the
25 utility to perform a detailed long-term feasibility

1 study on an annual basis?

2 **A.** I am aware of that.

3 **Q.** Okay. Now, with respect to your comments on
4 FPL's study, please turn to Page 13 of your rebuttal
5 testimony.

6 **A.** I have that.

7 **Q.** At Line 17 you say, "Additionally, there has
8 been significant volatility in the price of several
9 inputs to the cost estimate for any new nuclear
10 project." Do you see that statement?

11 **A.** That is correct, I do.

12 **Q.** Now, the feasibility project -- feasibility
13 analysis compares the cost of the nuclear project with
14 the alternative cost of a combined cycle unit, correct?

15 **A.** Yes.

16 **Q.** And one of the inputs to the analysis is the
17 cost of fuel over time, correct?

18 **A.** That is correct.

19 **Q.** And would you agree that the cost of fuel is
20 volatile over time?

21 **A.** Yes, I would.

22 **Q.** And would you agree that in the feasibility
23 study that FPL submitted, it did update the parameters
24 of the alternative to the nuclear unit, including fuel?

25 **A.** Yes, it did.

1 **Q.** At Line 13 you state, "FPL did not update the
2 cost estimate for the 6 and 7 project this year because
3 the current estimate continues to represent the best
4 information available to the company and is appropriate
5 for the purpose of the feasibility analysis."

6 Would you agree with me that since -- well,
7 let me ask another question first. You state in your
8 testimony, do you not, that the capital costs for the
9 nuclear unit were estimated in mid-2007?

10 **A.** That is correct.

11 **Q.** Would you agree with me that the mid-2007 data
12 does not represent the most current possible estimate of
13 the capital costs associated with the nuclear unit?

14 **A.** It is the most current information that is
15 available. I'm not sure what you mean by possible.

16 **Q.** It is the most current available because FPL
17 chose not to update it, correct?

18 **A.** That is correct.

19 **Q.** I will refer you now to Page 4 of your
20 rebuttal testimony.

21 **A.** I have that page.

22 **Q.** With respect to Doctor Jacobs' testimony on
23 the subject of FPL's plan to consider something other
24 than an EPC contract, you say putting FPL on notice
25 today that the company will be responsible for any

1 additional cost that could result from this decision is
2 exactly the type of hindsight review the Commission must
3 reject. Let me ask you about your use of the word
4 hindsight review. Would you agree with me that it would
5 be appropriate for the Commission to consider the
6 prudence of a utility's decision based upon the
7 information it knew or should have known at the time the
8 decision was made?

9 **A.** Certainly. That is the accepted standard.

10 **Q.** And would you agree with me that hindsight
11 review typically is used to refer to an attempt to gauge
12 the prudence of a decision using information that was
13 learned later in time?

14 **A.** Yes, that is correct.

15 **Q.** Now, FPL has not yet made a decision, a final
16 decision on the form its contract will take, whether EPC
17 or EP and C, if I may use those appellations, correct?

18 **A.** It has not yet made a final decision, that is
19 correct.

20 **Q.** And FPL has not incurred any costs that would
21 be associated with the implementation of either of those
22 forms of contract at this point, correct?

23 **A.** That is correct. Although Mr. Jacobs does
24 discuss the existing contract with BVZ as being part of
25 this plan.

1 **Q.** As being part of the indication of FPL's plan
2 to consider something other than EPC in the final
3 analysis, correct?

4 **A.** Yes.

5 **Q.** So would you agree with me that Doctor Jacobs'
6 testimony and OPC's position as being articulated and
7 communicated to the Commission well in advance of either
8 the decision to enter one form of contract or the other,
9 and even further in advance of any costs that will
10 ultimately be incurred as a consequence of that
11 decision?

12 **A.** It is offering a view today without a finding
13 of imprudence that the company will be responsible for
14 any additional cost in the future based upon whatever
15 those costs are. So it is using the result of the
16 decision in the future to judge the prudence and the
17 amount that should be allowed rather than the events
18 known and knowable today when the decision is being
19 made. That is the epitome of the use of hindsight.

20 **Q.** You say it is the epitome of hindsight, but
21 isn't it true that if the Commission were to determine
22 in this proceeding that the utility should be aware that
23 it will scrutinize the ultimate costs and gauge those
24 ultimate costs based upon whether they are higher as a
25 result of the decision made in the near term, that would

1 have the effect of -- not of hindsight review, but of
2 informing the company in sufficient time for the company
3 to base its actions on that information.

4 **A.** It is raising an issue. And let's be clear, I
5 think it is appropriate to say this is an issue and the
6 Commission wants to take a look at it going forward with
7 regard to the cost consequences of the EP strategy
8 versus the EPC strategy. However, to say we are going
9 to say right now that the decisions the company has made
10 so far are going to put the company at risk for
11 disallowance based upon what that result might be two,
12 five, or ten years hence, that is making a disallowance
13 two, five, or ten years hence using hindsight. It is
14 saying I'm going to look back to that decision they made
15 in 2008. I am going to declare now that I know the
16 consequences of it, but only now that I know the
17 consequences I am going to declare that to be imprudent
18 back in 2008, and I am going to disallow the cost.

19 That is the epitome of a hindsight review and
20 that is the epitome of what courts and the National
21 Association of Regulatory Utilities Commissioners has
22 said is improper.

23 **Q.** In your answer you referred to what you
24 characterized as decisions already made. Do you have in
25 mind the decision to employ the Black & Veatch firm for

1 the scope of work under the current contract?

2 **A.** That is part of it. I think the bigger part
3 is the decision they have made is to not enter into an
4 EPC contract to this date, and that seems to be what
5 Mr. Jacobs is criticizing, and saying he wants to put
6 the company on notice for in the future in terms of any
7 potential cost consequences. You have to judge that
8 decision based upon the information known and knowable
9 today, not based upon the consequences five years hence.

10 **Q.** So the decisions made today -- do you
11 understand -- are you saying that you believe Doctor
12 Jacobs testified that he believes FPL has made a
13 decision not to enter an EPC contract?

14 **A.** He certainly criticizes FPL for not having
15 entered into an EPC contract, and for to date having
16 pursued the strategy of a separate EP approach and
17 construction contract approach.

18 **Q.** Okay. Can you point to me in Doctor Jacobs'
19 testimony any question and answer where he makes that
20 statement?

21 **A.** I don't have his testimony in front of me.
22 And I will admit that his testimony is vague on this
23 points, and I think the entire position of OPC is vague
24 on this point. If, in fact, there is no decision that
25 is being judged imprudent today, then there should be no

1 discussion of cost disallowances today. If
2 alternatively, there is a decision that the company has
3 made in 2008 that OPC wishes to judge to be imprudent,
4 that decision needs to be based upon circumstances as
5 they exist today, not on the consequences five years
6 hence.

7 **Q.** All right. If you will assume for me for the
8 purpose of the question, first, that FPL by its actions
9 to date have indicated at least preliminarily a plan to
10 consider a contractual arrangement other than what we
11 call the EPC norm, is that a fair assumption?

12 **A.** I understand that assumption, yes.

13 **Q.** Okay. Assume for me for purposes of the
14 question that Doctor Jacobs' testimony does not
15 criticize the utility for not having entered into an EPC
16 contract as of now, but rather points out that the
17 exposure to potentially higher costs in the event FPL
18 enters something other than an EPC contract. Do you
19 understand that?

20 **A.** I understand that is part of his contention,
21 yes.

22 **Q.** Okay. Now, in the event that FPL were to
23 enter a contract other than the EPC contract, and in the
24 event the Commission were to determine ultimately that
25 decision led to costs higher than those costs would have

1 been under the EPC format, do you think the Commission,
2 based upon the testimony entered in this proceeding and
3 on the accepted standard or review would be in a
4 position to disallow the higher costs?

5 **A.** No, only if they first determined that the
6 company's conduct was imprudent. You can't judge the
7 decision. The prudence -- let's back up one step.
8 Prudence relates to decisions, not to costs. If you
9 determine that the decision was imprudent, then you move
10 on to the second phase of a prudence analysis and
11 determine what are the incremental costs associated with
12 the imprudent action. You have to start by saying what
13 was the decision made and was that decision imprudent.

14 So far we certainly don't have any basis for
15 finding any of the company's actions or decisions to
16 have been imprudent. My point is you can't simply say
17 now we are putting you on notice if there is ever any
18 incremental costs down the road from this decision, and
19 by the way, we are not telling you this decision today
20 is imprudent, we are going to put you at risk for those
21 recoveries. That is a hindsight analysis at that time.
22 It is saying I'm going to go back now and revisit that
23 decision you made some years earlier based upon what I
24 know to be the consequences of that decision. That is
25 not permissible under a prudence review.

1 **Q.** Would you agree that the prudence of the
2 decision is a function, among other things, of the
3 identification and management of risks involved in
4 making one decision or the other?

5 **A.** I'm sorry, identification of risks?

6 **Q.** Yes.

7 **A.** Certainly management should consider the risks
8 associated with its decisions, the consequences, and
9 obviously make the best decision it can at the time.

10 **Q.** In the event that FPL were to ultimately --
11 after exploring alternatives, maintaining optionality,
12 attempting to foster competitive bidding, if at the end
13 of that exercise FPL were to enter an EPC contract,
14 would you support that decision?

15 **A.** Could I have the question restated in its
16 entirety? I think I lost the preamble.

17 **Q.** All right. Well, maybe I will break it up.
18 As I understand it, FPL's testimony in this case is that
19 it has not made the ultimate decision as to how to
20 approach the contractual relationship, and that it is
21 involved in increasing optionality, encouraging
22 competitive bidding, and negotiating the best deal. If
23 at the end of that process, FPL were to ultimately
24 choose to enter an EPC contract, would you support that
25 decision?

1 **BY MR. DAVIS:**

2 **Q.** Mr. Reed, if you will turn, please, to Page 19
3 of your rebuttal.

4 **A.** I have that page.

5 **Q.** Okay. And let's start at the answer to the
6 question that begins on Line 16. And let me preface
7 that by asking if when you reviewed Mr. Gundersen's
8 testimony, that you agreed with the concerns that he
9 raised about the uncertainties with regard to
10 scheduling. Do you basically agree that there are a
11 number of uncertainties with regard to scheduling?

12 **A.** Yes, there certainly are a number of
13 uncertainties with regard to scheduling.

14 **Q.** Okay. So the question is, SACE Witness
15 Gundersen states that any delays as a result of the
16 schedule uncertainties would result in increased costs
17 to FPL's customers. Has FPL included contingencies in
18 its schedule and cost estimates? You answer yes. And
19 let me ask -- first of all, you say FPL considered the
20 need to include a contingency in its cost estimate.
21 That is a little different than including a contingency,
22 isn't it?

23 **A.** Let me clarify, then. It has included a
24 contingency.

25 **Q.** Okay. Now, in terms of where that contingency

1 appears, is it in the cost estimate for the capital
2 costs of the plant, or is it in the analysis done by
3 Doctor Sim, where is that?

4 **A.** Well, it is certainly within the cost estimate
5 for the plant. With regard to all elements of cost, not
6 just the capital cost, but financing costs, inflation,
7 capital costs, labor costs, everything.

8 **Q.** But none of those costs, the so-called all-in
9 costs include any delay in schedule, do they?

10 **A.** Certainly they do. That is the nature of the
11 schedule delay is the effect it has on the cost of the
12 project is basically adding inflation and financing
13 costs.

14 **Q.** Where in that analysis does it project a
15 scheduling delay beyond the plan date of 2018 and
16 2020 for these two units?

17 **A.** It is not tied to that specifically. The
18 application and the company's cost estimate of
19 contingencies is done at a higher level, and it is based
20 upon the level of specificity that has been achieved in
21 that cost estimation process. So we will use a
22 15 percent contingency on some items, a 10 percent
23 contingency on others, but it is on the all-in cost, so
24 it includes the effects of a delay on inflation and
25 AFUDC costs.

1 **Q.** And are you saying that the all-in costs
2 include any different factors for inflation or AFUDC
3 than are typically included or were included in the need
4 docket for this unit?

5 **A.** No, I'm not saying they are any different than
6 what is typically included, but that does include the
7 effects on cost of a schedule slippage. The effects of
8 a slippage are manifested in the results you get for the
9 AFUDC cost and for inflation.

10 **Q.** But you didn't add any additional costs as if
11 the schedule was going to slip beyond 2018 or 2020?

12 **A.** As I understand your question, the company did
13 not add two layers of contingency, one for the
14 15 percent contingency and then a separate one on top of
15 that for a delay above and beyond that.

16 **Q.** Okay. And as we sit here today, as you have
17 heard repeatedly, the company is still projecting 2018
18 and 2020, and has not responded to these uncertainties
19 in any type of schedule delay, right?

20 **A.** I'm not sure what you mean by hasn't
21 responded. It has certainly continued to evaluate the
22 need, which is the issue driving the commercial
23 operation date that is projected here, and it has
24 evaluated whether that need would permit the projects to
25 slip to a later date while still meeting the capacity

1 objectives for the company.

2 Q. You go on to say in your second sentence
3 starting at Line 20, "However, development and
4 construction of a new nuclear power plant is an
5 incredibly complex undertaking and the potential does
6 exist that the Turkey Point 6 and 7 project will exceed
7 these contingencies." Is that what you just agreed to
8 in response to my last question?

9 A. Yes. But then it continues to say that the
10 contingency factors the company has used are appropriate
11 and within industry guidelines.

12 Q. But they don't reflect the added uncertainties
13 that have occurred over the past two years, correct?

14 A. That presumes that there are added
15 uncertainties that have occurred over the past two
16 years. I'm not sure that I would say that the
17 uncertainty that exists today is greater than the
18 uncertainty that existed two years ago when these cost
19 estimates were developed. If anything, I think the
20 uncertainties in some areas have been reduced.

21 Q. Now, in terms of delay, however, there are
22 added uncertainties including the latest letter from the
23 Nuclear Regulatory Commission to Westinghouse on
24 August 27th of 2009, correct?

25 A. But, again, I would go back to the question of

1 are those any different than they were at the time of
2 the need docket or at the time this cost estimate was
3 developed. They really aren't.

4 The issue of schedule uncertainty, uncertainty
5 on the design certification process, and uncertainty on
6 the COLA process was all discussed in the need docket.
7 I discussed some of that in the need docket. So I don't
8 think there is any incremental change in those. In
9 fact, with the two years of advancement in those NRC
10 proceedings, I actually think we have a greater degree
11 of knowledge today about what lies ahead in those
12 programs than we did two years ago.

13 Q. If this schedule is not subject to further
14 delays and it is reasonable for FPL to come to this
15 Commission with the same dates that it had in its need
16 docket almost two years ago, what would you project in
17 terms of being able to complete these reactors at an
18 earlier date? Is that within the realm of possibility,
19 you could build them faster?

20 A. Anything is possible. I think the company is,
21 again, focused on when are they needed, and its analysis
22 so far confirms that 2018 and 2020 are the dates that
23 would be appropriate for them to be added to the
24 resource base of the company.

25 Q. Could you build them a year earlier?

1 **A.** That is not something I have studied. It is
2 not really the subject of my testimony here.

3 **Q.** So really in terms of the schedule, FPL is at
4 the point where it is not willing to even look at
5 changing the schedule.

6 **A.** I don't think that is the case at all. The
7 company has looked at it, the company has evaluated,
8 again, does the need permit the units to be slipped a
9 year or two. The answer right now is if you look at Mr.
10 Sim's analysis, the reserve margins in 2018 and
11 2020 indicate that those are the appropriate times for
12 these resources to be added. That can change and the
13 company will continue to evaluate that, and, of course,
14 this Commission will have annual opportunities to
15 continue to review that.

16 **Q.** And if this Commission approves the analysis
17 of feasibility it will continue to permit FPL to spend
18 more and more money while it waits for this go/no go
19 decision, correct?

20 **A.** That was sort of a compound question. Putting
21 aside the issue of the go/no go decision, maintaining
22 the optionality of this resource costs money. I heard
23 you discuss earlier about whether Mr. Cooper does or
24 does not support the continued evaluation of these
25 options. What he says is you shouldn't spend anymore

1 money. Well, I have to tell you you cannot preserve
2 these options as resources for the future without
3 spending money, without continuing to march them through
4 the COLA process, and without continuing to engage in
5 contract negotiations and maintaining all of the
6 necessary steps to get to the commencement of
7 construction. So, realistically if you say you
8 shouldn't spend anymore money, you are saying you should
9 not preserve the option.

10 Q. Well, I don't believe Doctor Cooper said that.
11 I believe he said you should continue to evaluate.

12 A. He said quite clearly in three places you
13 should not be allowed to spend one more cent. He said
14 it would be imprudent to spend one more cent.

15 Q. To develop these resources, not to evaluate.

16 A. Unequivocally he said it would be imprudent to
17 spend one more cent.

18 Q. Now, are you comparing the 58 million that FPL
19 has projected to spend in 2010 with the few million, or
20 maybe less than that, or probably less than that to
21 continue to evaluate the option?

22 A. I'm not sure I understand your question.

23 Q. Well, I mean, developing with engineering
24 costs and with contractual arrangements is going to be
25 far more expensive than continuing to evaluate, which

1 would be relatively nothing compared to the development
2 program.

3 **A.** Let's be specific. The bulk of the money that
4 has been spent so far has been spent on the COLA
5 process, the NRC application for the combined operation
6 and construction license. You can't stop that process
7 and preserve the optionality of this project being built
8 in the 2018/2020 time frame.

9 If you shut down the COLA process, you can
10 stop spending money on it. If you maintain the COLA
11 process, you have to continue to spend millions of
12 dollars a year to preserve that process and to keep it
13 on track. So, could you quote, analyze something for a
14 lot less money? Yes. But could you do that and
15 maintain the optionality of keeping these units as
16 resources for 2018 and 2020? No.

17 **Q.** Assuming for purposes of this question that
18 the resources aren't needed in 2018 or 2020 to meet
19 demand, and I know there has been debate about that and
20 there will continue to be debate about that. You could
21 stop the process and evaluate for two or three years and
22 determine at that point whether you should reenter the
23 COLA process, correct?

24 **A.** Yes. You would essentially be sacrificing the
25 work done to date. It is pretty much tantamount to

1 canceling the project and starting over three years from
2 now.

3 Q. Now, the economics of any project are not
4 based upon sunk costs, are they?

5 A. No, they are based upon going forward costs.

6 Q. Okay. Now, you say on Page 22 of your
7 rebuttal testimony, and I am going to summarize this and
8 you can correct me if I'm wrong, that having other
9 companies in line before you for the licensing process
10 is basically a good thing. Is that a fair paraphrasing
11 of your --

12 A. Can you -- I don't see that on Page 22. Can
13 you direct me to a line number?

14 Q. Page 22 refers mostly to the staffing. Let me
15 just back up. I mean, have you said in your rebuttal
16 testimony that having other units being licensed in the
17 COLA process before Turkey Point, even though the Turkey
18 Point 6 and 7 are still in the first wave, is a good
19 thing for Turkey Point?

20 A. Again, a multiple part question. Yes, I do
21 think that the company is in a good position in terms of
22 having units ahead of it in the COLA process and in the
23 state regulatory process. I would actually describe FPL
24 more as being on the edge of the second wave of new
25 nuclear projects. It is Project Number 5 in the AP 1000

1 queue, so, I would describe it really as being more in
2 the second wave. But, I do think there are substantial
3 benefits to watching and learning from what goes on
4 ahead of them.

5 Q. And there is also a substantial issue with
6 competing for resources with those other nuclear power
7 companies, correct?

8 A. There can be. I mean, to be honest, there is
9 a lot of competition right now for nuclear resources and
10 there will continue to be. One view is that over time
11 you will see the supply chain respond and colleges and
12 universities train more people in these fields that are
13 so important, and the labor will actually become more
14 available over time as the supply side of the market
15 responds. So, it is hard to say that you are going to
16 be disadvantaged by being Project Number 5 as opposed to
17 Project Number 1.

18 Q. Turning to Page 24 of your rebuttal testimony,
19 if you will, please. You reference the experience in
20 China as an example of the AP 1000 projects proceeding
21 relatively smoothly?

22 A. Yes, I do refer to the China program.

23 Q. You are aware that the Chinese regulations are
24 not as stringent as those in the United States, is that
25 correct?

1 **A.** They are different. I'm not sure I would
2 describe them as less stringent, but they are certainly
3 different.

4 **Q.** And have you reviewed any news stories lately
5 of Chinese officials who have been imprisoned for taking
6 bribes in that regulatory program?

7 **A.** I'm sorry, what was the last part of that
8 question?

9 **Q.** Taking bribes from the nuclear industry?

10 **A.** I have not reviewed that with regard to the
11 Chinese licensing process, no.

12 **Q.** Let me ask you if you will turn to Page 25,
13 please?

14 **A.** I have that.

15 **Q.** You discuss in the answer starting on Line 12,
16 about electricity demand, fuel prices, and environmental
17 compliance costs fluctuating substantially. And you
18 state that these fluctuations and new policies are
19 sources of tremendous cost and schedule uncertainty for
20 the Turkey Point 6 and 7 project, correct?

21 **A.** I do.

22 **Q.** Now, in terms of environmental compliance
23 costs, you would distinguish the certainty or
24 uncertainty of the compliance costs for sulfur dioxide
25 emissions, mercury, particulates from those for CO2,

1 right?

2 **A.** I certainly believe there is a higher degree
3 of uncertainty with regard to the costs associated with
4 CO2.

5 **Q.** And in terms of the role of energy efficiency
6 and the cost of energy efficiency, you would agree that
7 energy efficiency costs are fairly well established?

8 **A.** Yes, I think they are fairly well established.
9 I would say the potential for those resources is
10 probably the area of greatest debate.

11 **Q.** But there is not nearly as much uncertainty in
12 the cost of energy efficiency as there is, for instance,
13 in the cost of a nuclear power plant?

14 **A.** For existing energy efficiency or demand
15 management programs, I would say that is correct.

16 **Q.** Now, the drop in demand that you have agreed
17 has occurred for FPL and for the Turkey Point 6 and 7
18 units -- I'm sorry, for the FPL network altogether, is
19 about 3,800 megawatts, is that right?

20 **A.** I don't believe that is in my testimony. I
21 think that probably should be directed to Mr. -- or
22 should have been directed to Mr. Sim.

23 **Q.** Have you looked at that drop in demand overall
24 and compared it to, for instance, the size of the
25 projected -- the proposed nuclear units of Turkey Point

1 6 and 7?

2 **A.** I have.

3 **Q.** And what is the comparison?

4 **A.** Well, certainly 3,800 megawatts is more than
5 what is in the combined capacity projected for Turkey
6 Point 6 and 7.

7 **Q.** It would be about 3.5 units, wouldn't it?

8 **A.** That is correct.

9 **Q.** And that is the drop in demand projected for
10 2017, is that correct?

11 **A.** Again, could you give me a reference in my
12 testimony on that? I don't believe that is in my
13 testimony.

14 **Q.** It is not in your testimony, but if you know.
15 But it is future demand, it is not the demand projected
16 for next year, for instance.

17 **A.** That is not the demand for next year, I think
18 we can all agree on that.

19 **MR. DAVIS:** Mr. Chair, I believe that is all I
20 have for this witness.

21 **CHAIRMAN CARTER:** Thank you. Mr. Moyle,
22 you're recognized.

23 **MR. MOYLE:** Thank you.

24 CROSS EXAMINATION

25

1 **BY MR. MOYLE:**

2 Q. Mr. Reed, you have over 30 years of experience
3 in the energy industry in sharing your advice and
4 opinions with others, isn't that correct?

5 A. I do.

6 Q. And that advice and opinion is a valuable
7 asset that you possess, you would agree with that, would
8 you not?

9 A. I hope so.

10 Q. You would agree one of the biggest risks with
11 nuclear projects because of the high capital cost
12 involved is the risk of delay, correct?

13 A. Yes, that is a significant risk in terms of
14 cost uncertainty.

15 Q. So if you were asked to provide your best
16 judgment today, and the facts you were given was there
17 are two companies that are intimately familiar with the
18 A 1000 design that are well thought of and qualified,
19 and there is another company that is less familiar with
20 the A 1000 design, and you had to make a decision as to
21 whether to move forward and execute an EPC contract at
22 this time or to not do so, what would your advice be?

23 And maybe I didn't phrase that exactly right,
24 but in terms of asking, okay, look, we don't want to
25 have a hindsight review. Judge the facts as they exist

1 today as you have set forth in your report, as we have
2 talked about, what would be your best advice as to
3 whether an EPC is the way to go or not?

4 **A.** My advice quite simply would be negotiate hard
5 and long with the EPC contractor, try and get the very
6 best terms you can, and see what they look like, and
7 above all preserve your optionality. Wait for as long
8 as possible to sign that contract, up to the point where
9 it begins to get on the critical path for constructing
10 the units, and take advantage of all intervening events
11 as additional information that you can have in the
12 process in making your final decision.

13 There is no substitute for having better
14 information and more information. The longer you wait,
15 the more information you get, and the more informed you
16 can be in making that final decision.

17 **Q.** If you were having open-heart surgery, you
18 wouldn't opt to go with a surgeon who was performing his
19 first open-heart surgery on you, would you?

20 **A.** No, and I certainly wouldn't sign an EPC
21 contract with someone who isn't intimately familiar with
22 the technology. And, of course, no one here has
23 suggested that FPL is thinking about that.

24 **Q.** And given the fact that you can have
25 significant delay costs with the capital costs, wouldn't

1 it make it more sense to go ahead and sign an EPC
2 contract with a company that has familiarity with the
3 design?

4 **A.** That is, again, two parts. It would make
5 sense if you are going to sign an EPC contract to sign
6 with a company that is highly capable and familiar with
7 that design. That doesn't mean you should sign an EPC
8 contract.

9 **Q.** Wouldn't you also agree that signing an EPC
10 contract to the extent that it avoids potential
11 questions and uncertainties with respect to scope of
12 responsibilities, that signing an EPC contract is a
13 better proposition to eliminate scope questions as
14 compared to an EP contract with a separate C contract?

15 **A.** If you limit the issue to scope, I think the
16 answer I would give you is what I gave you before. The
17 longer you wait the better, and the more information you
18 get, for example, out of the NRC's design certification
19 process, the better. The more information you get out
20 of your site specific analysis of building the plant,
21 the specific plant at that site, the better.

22 But separately there is the question of
23 whether signing an EP contract or an EPC contract
24 minimizes risk on scope. It may. If all you look at is
25 minimizing risk on scope, signing an integrated EPC

1 contract may do a better job of that. That doesn't mean
2 that it is the more cost-effective solution. It means
3 you are perhaps taking the safer way out, but it doesn't
4 mean that that is the most cost-effective solution.

5 Q. There are five AP 1000 projects currently in
6 the queue at the NRC, isn't that correct?

7 A. Six, I think.

8 Q. Okay. And isn't also correct that BVZ is not
9 involved with any of those other five to the degree that
10 Bechtel is involved in terms of processing this license
11 application?

12 A. I don't believe BBZ is involved to that extent
13 with any of the other five.

14 Q. And you would agree that process in the coal
15 application gives an engineer company additional
16 insights and information with respect to the design of
17 the project, correct?

18 A. Yes. Involvement with the technology helps,
19 and, of course, that is why BBZ was given the
20 opportunity to become more familiar with the technology
21 in a small role here.

22 Q. Now, you were asked questions, and I don't
23 want to belabor this point much longer, but you are not
24 suggesting to this Commission that 2007 data with
25 respect to capital costs is as reliable as data that

1 might be able to be ascertained if you went out into the
2 marketplace say this this summer to try to gather
3 current market data with respect to nuclear capital
4 costs, you are not suggesting that, are you?

5 **A.** No, but what I'm saying is the company's cost
6 estimate really don't have the basis for having any more
7 information known today. We did go out and look at more
8 current cost information, and we looked at the very most
9 recent cost estimates proposed and published by each of
10 the AP 1000 sponsors, all five of the other companies.

11 So we were able to compare FPL's cost estimate
12 to what everybody else is saying in 2009 or 2008. And,
13 of course, it showed that that comparison was that FPL's
14 estimate is very reasonable.

15 **Q.** The information that FPL was using was the
16 2007 data, correct?

17 **A.** The information that I used in my analysis was
18 2007 for FPL.

19 **Q.** The Wharton Business School has a very good
20 reputation, and that is where you told me earlier you
21 received an economics degree, correct?

22 **A.** Correct.

23 **Q.** You would agree with me that if the Wharton
24 Business School was teaching its students to make a
25 judgment about project feasibility that they would not

1 suggest that two year old data be used as compared to
2 the most recent data available, would they?

3 **A.** I would think that the view of anybody
4 practicing would be to use the information that is most
5 indicative of what is going to happen ten years hence,
6 and that is really what we are trying to do. The
7 information that is available for one month, or one day,
8 or even three months in an economic cycle that has seen
9 tremendous volatility in commodity prices isn't going to
10 be helpful for trying to figure out in a better way
11 where you are going to be in ten years.

12 We are trying to look ahead a decade. Prices
13 go up, prices go down. If you change your cost estimate
14 every month based upon fluctuations in commodity
15 pricing, in my opinion you are exercising a foolish
16 choice.

17 **Q.** You made a comment in response to a previous
18 question that you thought delaying for three years was
19 tantamount to canceling the project, correct?

20 **A.** From a COLA perspective, yes.

21 **Q.** Is that because that the information and the
22 data would go stale over a three-year period?

23 **A.** No. First of all, it means you are going to
24 be bounced out of the queue at the NRC. Second of all,
25 the NRC doesn't have a process yet established for

1 refiling three years hence under the current Part 52
2 rules. So, what you face in terms of a COLA process is
3 going to be very, very uncertain if you try and
4 basically refresh your application three years later.

5 **Q.** Doesn't that process require you to provide
6 the most current and updated information available?

7 **A.** It does.

8 **MR. MOYLE:** That's all I have. Thank you.

9 **CHAIRMAN CARTER:** Thank you. Staff.

10 **MR. YOUNG:** No questions.

11 **CHAIRMAN CARTER:** Commissioner Skop.

12 **COMMISSIONER SKOP:** Thank you. Mr. Reed, if I
13 could ask you to please turn to Page 33 of your rebuttal
14 testimony beginning on Lines 11 through 15, please.

15 **THE WITNESS:** Yes, I have that.

16 **COMMISSIONER SKOP:** In that response you are
17 discussing Witness Cooper and his argument that the
18 stream of prices for NYMEX gas futures, or natural gas
19 futures on a single day provides evidence of natural gas
20 price expectations through 2020. And relating that back
21 to your exhibit which is JJR-4, which shows those NYMEX
22 natural gas future prices, do you know when that data
23 was prepared in that exhibit approximately?

24 **THE WITNESS:** Shortly before this testimony
25 was submitted in August of 2009.

1 **COMMISSIONER SKOP:** Okay. And you would
2 agree, would you not, that at least for spot market
3 prices that natural gas prices have fallen substantially
4 since that time, is that correct?

5 **THE WITNESS:** Yes, they certainly have for the
6 current months. Two or three years further out the
7 changes are much less, but for the current months they
8 are far lower today.

9 **COMMISSIONER SKOP:** Okay. So in relation to
10 your response on Page 33 of your rebuttal testimony, if
11 you were to resubmit the natural gas future contract
12 prices today, those numbers would be substantially
13 different and likely lower, is that correct?

14 **THE WITNESS:** The prices would be far lower.
15 But really the point of that exhibit was to show how
16 thinly traded the out months are in those contracts and
17 that fact remains today.

18 **COMMISSIONER SKOP:** Thank you.

19 **CHAIRMAN CARTER:** Anything further from the
20 bench?

21 Redirect.

22 **MS. CANO:** No redirect.

23 **CHAIRMAN CARTER:** Exhibits.

24 **MS. CANO:** Yes. FPL moves Exhibits 78 to 80.

25 **CHAIRMAN CARTER:** Are there any objections?

1 Without objection, show it done.

2 (Exhibit Numbers 78 through 80 admitted into
3 the record.)

4 **CHAIRMAN CARTER:** Commissioners, this looks
5 like a good breaking point, and we will pick up tomorrow
6 at 9:30. We are adjourned.

7 (Transcript continues in sequence with
8 Volume 5.)

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 STATE OF FLORIDA)

2 : CERTIFICATE OF REPORTER

3 COUNTY OF LEON)

4

5 I, JANE FAUROT, RPR, Chief, Hearing Reporter
6 Services Section, FPSC Division of Commission Clerk, do
7 hereby certify that the foregoing proceeding was heard
8 at the time and place herein stated.

7

8 IT IS FURTHER CERTIFIED that I
9 stenographically reported the said proceedings; that the
10 same has been transcribed under my direct supervision;
11 and that this transcript constitutes a true
12 transcription of my notes of said proceedings.

10


11 I FURTHER CERTIFY that I am not a relative,
12 employee, attorney or counsel of any of the parties, nor
13 am I a relative or employee of any of the parties'
14 attorney or counsel connected with the action, nor am I
15 financially interested in the action.

13

DATED THIS 9th day of September, 2009.

14

15



JANE FAUROT, RPR
Official FPSC Hearings Reporter
(850) 413-6732

16

17

18

19

20

21

22

23

24

25