

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION


In the Matter of:

DOCKET NO. 110138-EI

PETITION FOR INCREASE IN
RATES BY GULF POWER COMPANY

Volume 2

Pages 250 through 402



PROCEEDINGS: HEARING

COMMISSIONERS
PARTICIPATING: CHAIRMAN ART GRAHAM
COMMISSIONER LISA POLAK EDGAR
COMMISSIONER RONALD A. BRISE
COMMISSIONER EDUARDO E. BALBIS
COMMISSIONER JULIE I. BROWN

DATE: Monday, December 12, 2011

TIME: Commenced at 2:00 p.m.
Concluded at 4:30 p.m.

LOCATION: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: MICHELLE SUBIA, RPR
Notary Public in and for
the State of Florida
at Large

APPEARANCES: (As heretofore noted.)

RECEIVED-FF
11 DEC 15 AM 11:02
COMMISSION
CLERK

I N D E X

WITNESSES

NAME:	PAGE NO.
R. SCOTT TEEL	254
Cross Examination by Mr. Wright	254
Redirect Examination by Mr. Melson	275
JAMES H. VANDER WEIDE, Ph.D.	296
Direct Examination by Mr. Melson	296
Cont' Direct Examination by Mr. Melson	347
Cross Examination by Mr. McGlothlin	350
Cross Examination by Mr. Moyle	379

	EXHIBITS		
	NUMBER:	ID.	ADMTD.
1			
2			
3	10		280
	11	JVW-1	347
4	12	JVW-2	347
	86		282
5	87		283
	88		283
6	89		283
	90		283
7	91		284
	92		284
8	94		284
	95		284
9	96		284
	97		285
10	98		287
	99		287
11	100		287
	101		287
12	102		287
	103		288
13	104		288
	105		288
14	106		289
	107		289
15	108		289
	109		289
16	110		289
	111		289
17	112		289
	113		289
18	114		290
	115		290
19	116		290
	117		290
20	119		290
	120		291
21			
22			
23			
24			
25			

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EXHIBITS

NUMBER:		ID.	ADMTD.
152			291
157			292
173			281
174	'10/11 PEF Earnings Reports	257	281
175	PFL 10-K Documents	262	281
176	PEF 10-K Documents	262	281
177	Stock Price Summaries	266	281
178	FCC Order No 218 & 251	365	
179	STB Decision	369	
180	IA Tax Auth. Rules	371	
181	3/26/08 MO PSC Order	372	
182	5/22/07 MO PSC Order	374	
183	7/30/08 MO PSC Order	376	

CERTIFICATE OF REPORTER

402

P R O C E E D I N G S

(Transcript follows in sequence from
volume 1.)

CHAIRMAN GRAHAM: Major, I think we left off
on you with this witness, if you have any questions
of him.

MAJOR THOMPSON: No questions, sir.

CHAIRMAN GRAHAM: Mr. Wright.

MR. WRIGHT: Thank you, Mr. Chairman.

Thereupon,

R. SCOTT TEEL

was called as a witness, having been previously duly
sworn, was examined and testified as follows:

CROSS EXAMINATION

BY MR. WRIGHT:

Q Good afternoon, Mr. Teel.

A Hello Schef.

**Q I don't have a whole lot of questions for you.
I will ask you to take a look at a few exhibits, and I
would like to start with this.**

**Will you agree that Gulf Power collects
approximately 66 percent of its total retail revenues
through cost recovery charges or similar line items such
as gross receipts taxes and franchise fee charges?**

A No, I can't agree to that number exactly. But

1 I know that number has increased over the years as our
2 commodity prices and environmental compliance
3 obligations have increased.

4 **Q Okay. Do you know what the number is?**

5 A I don't know what the number is exactly, no.

6 **Q Okay. Do you have any basis to dispute the**
7 **number 66 percent?**

8 A I don't have a basis to dispute it, but I
9 can't agree with it. I don't have those numbers in
10 front of me.

11 **Q Okay. I asked Mr. Crosswhite what had**
12 **happened to the company's revenues from 2002 to the**
13 **present during which time your nominal base rates had**
14 **not increased.**

15 **Do you know what your total revenues were or**
16 **your base rate revenues were in 2002?**

17 A I can find that, give me one second.

18 **Q Thank you.**

19 A Actually, no, my numbers only go back to 2003.
20 My numbers for base revenues are approximately
21 \$412 million. They grew to approximately 435 in 2007
22 and have since dropped to 422 in 2010.

23 **Q Thank you.**

24 **Do you know your total revenue numbers for the**
25 **same time period?**

1 A I do not have those, no.

2 Q Thank you.

3 Given that you are asking for an increase for
4 rates, would it be fair to conclude that your costs per
5 unit of sales are increasing?

6 A Yes, I would say that's probably fair.

7 Q Okay. Would it be fair to conclude that your
8 overall revenue per kilowatt hour sold has increased
9 since 2002?

10 A Yes. Yes. Yes. That's true.

11 Q So when you were talking about your costs, the
12 company's efforts to defer the rate case, would it be
13 accurate to say that you've undertaken to control costs
14 but that cost has still increased?

15 A I'm sorry, I missed the last part.

16 Q In light of your and other witnesses'
17 assertions that the company has undertaken to defer this
18 rate case, would it be more accurate to say that the
19 company has controlled costs rather than reducing costs?

20 A No, there are instances where over the past
21 several years we have not only controlled costs but we
22 have cut costs on a sustainable basis.

23 I would reference in 2009 where we did not
24 have any merit raises for our employees, those savings
25 will be sustainable. On the same token, some of the

1 costs that we controlled and actually cut associated
2 with some of our medical benefits will produce
3 sustainable savings as well.

4 **Q But overall your costs have increased?**

5 A Oh, yes.

6 **Q I want to talk about earnings in your**
7 **testimony at pages 15 and 16 of your testimony that you**
8 **discussed with Mr. McGlothlin for a bit.**

9 MR. WRIGHT: Mr. Chairman, Mr. Sayler has
10 kindly agreed to assist me by handing out an item
11 that I would like to mark as an exhibit, I think it
12 may be 174. Short title would be PEF Earnings
13 Surveillance Reports 2010 and 2011.

14 (Exhibit No. 174 was marked for
15 identification.)

16 BY MR. WRIGHT:

17 **Q Mr. Teel, Mr. McGlothlin had you look at some**
18 **excerpts of pages from, I think, three of Florida Power**
19 **& Light Company's Earning Surveillance Reports. If you**
20 **would take a look at these, I expect that you'll**
21 **recognize that they are the corresponding earnings**
22 **Surveillance Reports for Progress Energy Florida for**
23 **December 2010 and July 2011.**

24 **Does that look like what these are to you?**

25 A I have not reviewed the entire package here

1 but, yes, I recognize the form of the first page.

2 Q Well, if you'll turn to the third page,
3 counting the cover sheet as page one, at the top that
4 says, "Progress Energy Florida Rate of Return Report
5 Summary December 2010," correct?

6 A Yes, that's the page I'm referencing.

7 Q Okay. If you'll look down at the bottom on
8 FPSC adjusted basis, that shows a return on common
9 equity of 11.24 percent, correct?

10 A That's correct.

11 Q If you would turn about halfway back, you'll
12 find another cover letter dated September 14, 2011
13 following which there's a page that looks like the one
14 we were just talking about. The difference in the
15 header is that it's for July of 2011.

16 A I'm there.

17 Q Okay. And you'll agree that that reflects a
18 return on common equity on FPSC adjusted basis of 11.07
19 percent, correct?

20 A Yes.

21 Q During the time since the Florida Public
22 Service Commission set FPL's rates using a 10.0 percent
23 ROE and set Progress Energy Florida's rates using a
24 10.5 percent ROE, will you agree that both FPL and
25 Progress Energy Florida have been able to issue

1 **securities?**

2 A Yes.

3 MR. WRIGHT: Mr. Chairman, these I don't need
4 marked as an exhibit inasmuch as they are
5 Commission orders. But I do want to have them
6 shown to the witness and for you all to see them
7 for demonstrative purposes.

8 BY MR. WRIGHT:

9 Q By way of introduction, I will aver to you
10 that these are copies of two fairly recent Commission
11 orders, one dated December 8, 2010 and one dated
12 January 31, 2011, authorizing Progress Energy Florida
13 and Florida Power & Light Company respectively to issue
14 securities on a going-forward basis.

15 I bet you're familiar with PSC orders, are you
16 not, Mr. Teel?

17 A Some of them, yes.

18 Q Okay. Are you familiar with -- go toward the
19 very end of the order, there are some statements that
20 say, "Ordered that the following actions are approved or
21 taken by the Commission."

22 A Yes.

23 Q If I could ask you to look at page eight of
24 the FPL order, which is Order Number PSC-11-0086 issued
25 January 31, 2011. Do you agree that the Commission

1 authorized FPL to issue equity and debt securities
2 and/or to assume liabilities in an aggregate amount not
3 to exceed \$6.1 billion during 2011?

4 A Yes, I see that now.

5 Q And would you also agree that the Commission
6 authorized FPL to have outstanding at any point in time
7 during 2011 and 2012 short-term securities in an amount
8 not to exceed \$4.0 billion?

9 MR. MELSON: Objection, relevance. What the
10 Commission has authorized FPL to do has nothing to
11 do with whether FPL can actually issue securities
12 or at what price?

13 CHAIRMAN GRAHAM: Mr. Wright.

14 MR. WRIGHT: Well, in the first instance, it's
15 completely relevant to his attempt to criticize the
16 declining regulatory environment in Florida.
17 Companies being able to issue securities with the
18 Commission's approval are certainly not the
19 hallmarks of declining regulatory environments;
20 they are the hallmark of constructive regulatory
21 environment. And we will in fact get to FPL and
22 Progress' 10-Ks to their actual ability to issue
23 securities momentarily.

24 MR. MELSON: Commissioner, the fact that the
25 Commission authorizes, as they do every year for

1 every electric utility, the issuance of securities
2 has no relevance to any of the issues in this case.

3 CHAIRMAN GRAHAM: I disagree. I think he's
4 making -- he's getting to a point. I'll let him
5 continue.

6 MR. WRIGHT: Thank you, Mr. Chairman.

7 BY MR. WRIGHT:

8 Q Similarly, Mr. Teel, if you would look towards
9 the back of the Progress order, which is order
10 PSC-10-0717 dated December 8th, 2010. If you would look
11 at the bottom of page three of that order, do you agree
12 that it says that the Commission has authorized Progress
13 to issue equity, long-term debt, and other long-term
14 obligations during 2011 up to a billion dollars?

15 A Yes, I see that.

16 Q And similarly on the top of page four, will
17 you agree that the order shows that the Commission has
18 authorized Progress to have outstanding during 2011 and
19 2012 short-term securities and obligations up to a
20 billion dollars?

21 A I see that as well.

22 MR. WRIGHT: Mr. Chairman, Mr. Sayler is
23 kindly distributing some excerpts from Progress
24 Energy Corporation's 2010 Form 10-K and also FPL's
25 2010 Form 10-K. These will go to the actual

1 issuance of securities, and at least with respect
2 to FPL's relative to their dividends.

3 And, again, the proffer is that their ability
4 to issue securities and increase their dividends is
5 consistent with constructive regulation, so thank
6 you.

7 And just so you all know, these reports are
8 pretty good sized. I do have one copy of the
9 total -- the complete 10-K for each utility. But
10 to save a couple of trees, I did not make 20-odd
11 copies of those lengthy documents.

12 CHAIRMAN GRAHAM: Does it matter to you which
13 is which? We're on number -- Florida Power & Light
14 with 175?

15 MR. WRIGHT: Yes, sir, that would be great.

16 (Exhibit No. 175 was marked for
17 identification.)

18 CHAIRMAN GRAHAM: And Progress Energy will be
19 176.

20 (Exhibit No. 176 was marked for
21 identification.)

22 BY MR. WRIGHT:

23 **Q Mr. Teel, if I could ask you to look at what**
24 **has now been marked for identification Exhibit 175,**
25 **that's an excerpt from FPL's 2010 Form 10-K. And I'm**

1 betting you're familiar with 10-Ks; is that correct?

2 A Yes, I am.

3 Q Okay. If I could ask you to look toward the
4 bottom of numbered page 44, the next to the last
5 paragraph there states that, in essence, "In 2009 and
6 2010 Nextera Energy received gross proceeds through the
7 sale and issuance of common stock of a total of
8 \$400 million, 200 million -- 240 million in 2010 and
9 160 million in 2009; is that correct?

10 A That is correct.

11 Q And given that FPL has reported this in its
12 10-K, you would accept this as true, correct?

13 A Certainly.

14 Q If I could next ask you to turn three pages
15 further back into this document to what is numbered
16 page 47, there is a table of debt issuances. And I
17 think you'll -- by looking at it fairly quickly, if you
18 look in the company column, you'll see two entries for
19 FPL that indicate that in February of 2010 FPL issued
20 \$500 million in first mortgage bonds and in December of
21 2010 FPL issued \$400 million in first mortgage bonds,
22 correct?

23 A I see that as well.

24 Q Okay. And you would accept these as true
25 representations by FPL, correct?

1 A Yes.

2 Q Finally, if I could ask you to look at page 48
3 just below the footnotes there, there is a paragraph
4 headed "Covenants" and three sentences in there, there
5 are some statements that indicate that during the first
6 quarter of 2010, Nextera Energy increased the quarterly
7 dividends on its common stock from 47 and a quarter
8 cents to 50 cents a share and then in February of '11
9 they further increased the quarterly dividend on the
10 common stock from 50 to 55 cents a share, correct?

11 A I'm sorry, which page are you on?

12 Q I'm sorry, it is numbered page 48. I may have
13 picked up speed, I apologize.

14 A Yes, I'm there. I see that.

15 Q Okay. If you could look at the numbers in the
16 paragraph that's headed "Covenants." Do you agree that
17 it shows that Nextera has increased their quarterly
18 dividends on common equity from 47 and a quarter to 50
19 cents a share in early 2010 and then in February of '11
20 they further increased it from 50 cents a share to 55
21 cents a share?

22 A Yes.

23 Q Thank you.

24 If I could ask you now to look at what has
25 been marked for identification as Exhibit 176, which is

1 likewise an excerpt from Progress Energy's
2 corresponding -- well, I shouldn't say an excerpt -- but
3 from Progress Energy's 10-K.

4 If I could ask you to turn to the last page in
5 the Exhibit 176, which is numbered page 77 of their 2010
6 Form 10-K. Just looking in 2010, the second bullet
7 point indicates that in March of 2010 Progress Energy
8 Florida issued \$250 million of first mortgage bonds and
9 another \$350 million of first mortgage bonds due at a
10 later date, correct?

11 A Yes.

12 Q And the next bullet indicates that Progress
13 Energy Florida and Progress Energy Carolinas entered
14 into new \$750 million revolving credit agreements?

15 A Yes.

16 Q And finally the last bullet there indicates
17 that Progress Energy, the parent corporation, issued
18 approximately 12.2 million shares of its common stock
19 during 2010, correct?

20 A Yes.

21 Q And based on the fact these are 10-Ks, you
22 would accept these as true representations, correct?

23 A I would.

24 Q Okay.

25 MR. WRIGHT: Mr. Chairman, Mr. Sayler is

FLORIDA PUBLIC SERVICE COMMISSION

1 kindly distributing another document that I would
2 like marked as an exhibit. And these are simply
3 stock price summaries for Nextera Energy,
4 Incorporated, the parent of FPL, and Progress
5 Energy, Incorporated, the parent of Progress Energy
6 Florida for 2008 through 2010 which I obtained from
7 the Morningstar website.

8 CHAIRMAN GRAHAM: So we'll call this 177.

9 MR. WRIGHT: Yes, please, sir.

10 (Exhibit No. 177 was marked for
11 identification.)

12 CHAIRMAN GRAHAM: FPL and Progress stock
13 prices 2008 through 2011?

14 MR. WRIGHT: Yes, sir. Thank you.

15 BY MR. WRIGHT:

16 **Q Mr. Teel, I will bet that you're familiar with**
17 **the underlying facts here, but will you agree that this**
18 **document shows that both FPL and Progress' stock prices**
19 **have increased over the last year and a half?**

20 **A Yes.**

21 **Q Now I'm really getting to the point here.**
22 **Would you agree that where a company's stock prices**
23 **increase, where they're able to maintain or increase**
24 **their dividends and issue adequate securities to meet**
25 **their capital needs, would you agree that that's a**

1 **hallmark of a constructive regulatory environment?**

2 A I would agree that the ability of both
3 Progress and FP&L to attract capital today is a function
4 and part of a stable economic environment.

5 My testimony is that we need access to capital
6 continuously in all market conditions. The market
7 conditions over the past couple of years in which
8 Mr. Wright references here, access to capital has been
9 available for these utilities, even those with BBB
10 credit ratings.

11 Q **And you would agree that they have had**
12 **adequate access to capital continuously over the last**
13 **year and a half since their rate case orders in March of**
14 **2010?**

15 A Yes, I would agree with that.

16 Q **And they're not in for rate relief now, are**
17 **they?**

18 A Not currently, no.

19 Q **From that, I would deduce that they expect to**
20 **be able to -- well, I'm going to drop that because**
21 **they're operating under settlements.**

22 I would deduce that they're not in any danger
23 of operating below the floor of their settlement
24 agreements; would you agree with that?

25 A Could you repeat that question again?

1 Q Are you aware of the settlement agreements
2 that FPL and Progress entered into with the consumer
3 parties to their rate cases?

4 A Yes, I am aware. And in FP&L's case, my
5 understanding is they had a surplus depreciation reserve
6 and as such they are permitted to use that to their
7 discretion in order to meet their return on equity.

8 Q Are you aware that those settlement agreements
9 include an ROE floor that if either utility were to fall
10 below that floor they would be allowed under the
11 settlement stipulation to come to the Commission for
12 rate relief?

13 A That's my understanding, yes.

14 Q Based on looking at their earning surveillance
15 reports and the other data we've just been talking
16 about, you don't think they are in any danger of having
17 to come in for that kind of relief, do you?

18 A No, I do not believe they are. FP&L, again,
19 does have the discretion to use their depreciation
20 reserve surplus in order to avoid that situation.

21 Q Both you and -- this is my last little bit --
22 both you and Mr. Crosswhite have talked about your
23 reliance on Dr. Vander Weide's testimony for your
24 11.7 percent ROE request, correct?

25 A Repeat that one more time for me, please.

1 Q Isn't it correct that both Mr. Crosswhite and
2 yourself have stated that you have relied on Dr. Vander
3 Weide's testimony to support your 11.7 percent ROE
4 request?

5 A That's correct; he is our cost of equity
6 expert.

7 Q Did you review the proceedings in the last
8 Progress Energy rate case, Docket 090079-EI?

9 A Not completely, no.

10 Q Are you aware of what ROE Dr. Vander Weide
11 advocated for in that case?

12 A No, I am not.

13 Q Well, I will aver to you -- and I can show you
14 the order if you want to see it -- that he advocated for
15 an ROE of 12.4 percent. Did you know that?

16 A No, I did not know that.

17 Q Okay. And similarly I guess you didn't know
18 what Professor Woolridge advocated for in that case
19 either, did you?

20 A No, I do not know that.

21 Q Thank you.

22 MR. WRIGHT: Thank you, Mr. Chairman. Thank
23 you, Mr. Teel.

24 CHAIRMAN GRAHAM: Staff.

25 MS. BARRERA: We have no questions for this
FLORIDA PUBLIC SERVICE COMMISSION

1 witness.

2 CHAIRMAN GRAHAM: Commissioners. Commissioner
3 Balbis.

4 COMMISSIONER BALBIS: Thank you, Mr. Chairman,
5 and thank you, Mr. Teel, for testifying today. I
6 have a few questions for you.

7 The first set of questions has to do with the
8 storm accrual or the storm reserve. Are you aware
9 that utilities -- some utilities have a funded
10 reserve and some an unfunded reserve?

11 THE WITNESS: Yes, I'm aware of that.

12 COMMISSIONER BALBIS: Is Gulf's reserve, is
13 that a funded or an unfunded reserve?

14 THE WITNESS: Yes, it is funded.

15 COMMISSIONER BALBIS: Okay. And does the
16 Commission require Gulf Power to keep that a funded
17 reserve or is it at the discretion of the utility?

18 THE WITNESS: I'm not positive that I can
19 answer that question. I know that it is funded
20 though.

21 COMMISSIONER BALBIS: And the difference
22 between a funded and unfunded reserve would be a
23 funded reserve -- and I apologize, I'm an engineer,
24 not an accountant -- but a funded reserve means
25 there's actual dollars in an account that's set

1 aside for use for storm recovery, correct?

2 THE WITNESS: That's correct, we have cash in
3 the bank.

4 COMMISSIONER BALBIS: And can you explain what
5 an unfunded reserve would be?

6 THE WITNESS: An unfunded reserve then
7 alternatively would be one that does not set aside
8 funds specifically for a storm reserve, rather the
9 company has the money and collects that money;
10 however, it is not set aside in effect in trust in
11 the event of a storm.

12 COMMISSIONER BALBIS: Okay. Thank you.

13 And to change gears a little bit, you
14 mentioned in your testimony about the Crist Turbine
15 Upgrade Project, Turbines 6 and 7?

16 THE WITNESS: Yes.

17 COMMISSIONER BALBIS: And Gulf is requesting
18 that these costs or a portion of these costs be
19 recovered through base rates, correct?

20 THE WITNESS: Yes, that's correct.

21 COMMISSIONER BALBIS: And not in the ECRC
22 clause?

23 THE WITNESS: Those costs relating to the
24 investment that have already gone into service have
25 been recovered through the environmental clause

1 during this proceeding.

2 Now, those investments would be moved into
3 base rates, as would those costs for turbine
4 upgrades that have not been moved into service yet.

5 COMMISSIONER BALBIS: And how much of the
6 costs were recovered through the ECRC clause? And
7 I believe the project started in '07 or '08. When
8 did the project start?

9 THE WITNESS: I can't recall the exact dates
10 that those projects were started. And I would
11 defer you to witness McMillan on the exact amounts
12 in the environmental clause, as well as those
13 amounts that are -- that will be recovered in base
14 rates.

15 COMMISSIONER BALBIS: Okay. So you state that
16 Mr. McMillan would be a better witness to discuss
17 that project?

18 THE WITNESS: Yes.

19 COMMISSIONER BALBIS: Okay. Because my
20 concern is that this Commission, I believe, with
21 FPL's Scherer Units, that we decided that that is
22 not an appropriate cost to be recovered through
23 ECRC.

24 My question to you, and also I'll ask
25 Mr. McMillan, is how much have you recovered

1 through the ECRC clause and how is that different
2 from what the Commission decided with FPL's Scherer
3 units?

4 THE WITNESS: Again, I can't answer the
5 question of how much has been recovered through the
6 environmental clause. We have been recovering
7 those through the environmental clause as a result
8 of the approval of our environmental clause rates
9 in the past.

10 Since the Florida Power & Light decision,
11 then, you know, in recognition of those turbine
12 upgrades should be recovered through base rates,
13 now we are proposing also to move those into base
14 rates.

15 COMMISSIONER BALBIS: Okay. Thank you.

16 And the last question that I -- and I think
17 you've already covered this -- but just to
18 summarize, the current Commission-approved ROE for
19 Gulf Power, including the performance reward, is 12
20 percent; is that correct?

21 THE WITNESS: That's correct.

22 COMMISSIONER BALBIS: And in this rate case,
23 you're requesting a reduction to 11.7 percent?

24 THE WITNESS: 11.7 percent, yes, is the cost
25 of equity we're proposing.

1 COMMISSIONER BALBIS: Okay. Thank you. I
2 have nothing further.

3 CHAIRMAN GRAHAM: Commissioner Brown.

4 COMMISSIONER BROWN: Thank you. Good
5 afternoon. I just have a few questions regarding
6 cost saving measures that the company has employed.

7 In your direct testimony on page eight, lines
8 three and four -- I'll wait till you get there --
9 you address that Gulf has implemented restrictions
10 on its hiring in 2009.

11 Is that currently still in place and if so can
12 you elaborate on what those restrictions are?

13 THE WITNESS: No, those restrictions are not
14 in place now. We are in the process and close to
15 hiring up to our full complement. Prior to that in
16 2008 and 2009, we restricted hiring, and the way
17 that we managed that was that any hiring had to be
18 approved by the officer of that department.

19 COMMISSIONER BROWN: Okay. Thank you. And
20 also on that same page, you state that there have
21 not been merit raises to nonunion employees. Is
22 that for every year since 2009 or just in 2009?

23 THE WITNESS: No, that is only in 2009.
24 However, those reductions and those merit raises,
25 actually, they will produce sustainable savings

1 because we're not compounding on a larger number.

2 COMMISSIONER BROWN: Okay. What about cost of
3 living adjustments, have employees, nonunion as
4 well as regular employees, union employees, been
5 receiving cost of living adjustments?

6 THE WITNESS: Each year we establish what we
7 call a merit raise amount, which is based on market
8 compensation levels. So, yes, I think that would
9 incapsulate and be expected to cover cost of living
10 adjustments. And that's what we passed on in 2009
11 and have since picked that back up in 2010.

12 COMMISSIONER BROWN: What is the percentage
13 currently in place?

14 THE WITNESS: I am not aware of what that
15 percentage will be in 2012. That percentage may
16 vary from year to year based on market conditions.

17 COMMISSIONER BROWN: Thank you.

18 THE WITNESS: Uh-huh.

19 CHAIRMAN GRAHAM: Redirect.

20 MR. MELSON: Just a few, Mr. Chairman.

21 REDIRECT EXAMINATION

22 BY MR. MELSON:

23 Q You were asked a series of questions first by
24 Mr. McGlothlin and by Mr. Wright about the earnings of
25 Florida Power & Light Company and Progress Energy

1 Florida since their last rate case.

2 Are you aware of whether either company or
3 both entered into settlements after the conclusion of
4 those cases?

5 A Yes, I'm aware that Florida Power & Light did
6 enter into a settlement, and as a part of that
7 settlement they were able to use at their discretion a
8 depreciation reserve surplus in order to achieve a
9 return that they otherwise would not be able to. So
10 that is the primary factor in their being able to
11 achieve an 11 percent ROE.

12 Q Do you know whether Progress entered into a
13 similar settlement that allowed them to amortize a
14 depreciation reserve to affect their earnings?

15 A No, I'm not aware of that.

16 Q Mr. Wright started a question and then I think
17 he sort of withdrew it. But to be clear, are you aware
18 of whether the FPL settlement would prohibit them from
19 filing a rate case prior to the end of -- well, are you
20 aware of what the FPL settlement provides with regards
21 to filing a rate case?

22 A My understanding is they cannot file a rate
23 case before 2012.

24 MR. MELSON: And, Commissioners, just to put
25 the parties on notice, we will be asking in our

1 brief for the Commission to take official
2 recognition of Order 11-0089 which approved a
3 settlement in the Florida Power & Light case after
4 the Commission's decision and a similar Order
5 10-0398 which also approved a post-decision
6 settlement in the Progress Energy Florida case.

7 CHAIRMAN GRAHAM: I remember it well.

8 BY MR. MELSON:

9 **Q With regard to the parent-debt adjustment,**
10 **Ms. Kaufman asked you if it was possible to trace**
11 **dollars. Do you remember that question?**

12 A I do.

13 **Q Is the presumption in the parent-debt**
14 **adjustment rule about imputing debt a rebuttable**
15 **presumption or an irrebuttable presumption?**

16 A It is a rebuttable presumption.

17 **Q If tracing were required, would it be possible**
18 **to rebut the presumption?**

19 A It would not. If tracing dollars were
20 required, the presumption would effectively be
21 irrebuttable.

22 **Q You were asked questions by a couple of the**
23 **intervenors regarding the fact that Gulf has continued**
24 **to provide good service since mid 2010 when your rates**
25 **fell below the bottom of the range.**

1 **Why have your returns been low since that**
2 **time?**

3 A Our returns have been declining during that
4 time because we deemed that some of those costs that we
5 were controlling, we could no longer -- we could no
6 longer hold the line on some of that spending. So we
7 have been spending at the levels that we know we need to
8 spend sustainably and our returns therefore have
9 declined below 6 percent now.

10 And what we recognized is that a 6 percent
11 return on equity is simply not sustainable in the
12 long-term. It is not a return that's acceptable for
13 investors.

14 **Q If you had attempted to keep your returns up**
15 **by further cutting spending, is it possible that service**
16 **would have been impacted?**

17 A Yes. We believe in the long-run service would
18 be impacted if we don't spend what we believe is
19 necessary to provide that service. So while we looked
20 for opportunities to control costs and cut some costs
21 during that period of time, the time has come now that
22 we need to get back to that normal level of spending and
23 that level of spending. This reflected in our rate case
24 in order to continue to provide this level of service in
25 the long-term.

1 Q You were asked a question about the Fitch
2 Credit Report and I believe whether you knew
3 specifically who wrote it. Regardless of who wrote it,
4 do investors rely on -- do debt investors rely on those
5 rating agency reports?

6 A Yes, they do. And that is the relevant point,
7 is that the opinions of the credit rating agencies do
8 matter. Investors pay attention to them and you can --
9 that is demonstrated by the fact that the debt costs for
10 different -- for companies that are rated in different
11 categories are correlated, so you'll see that BBB-rated
12 companies will pay higher debt costs than an A-rated
13 company. So clearly the credit rating agencies' reports
14 matter and investors are influenced by them.

15 MR. MELSON: That's all I've got,

16 Mr. Chairman. And Gulf would move Exhibit 10.

17 MS. KAUFMAN: Mr. Chairman, FIPUG would object
18 to Exhibit 10. I think it's Mr. Teel's Schedule 7,
19 8, and 9, which are the rating reports that we have
20 discussed at some length here. No witness has been
21 produced that we can cross examine about those
22 reports and we don't think that they meet any of
23 the hearsay -- clearly they're hearsay, they don't
24 meet the hearsay objection, and we would object to
25 those exhibits which are a subset of Staff

1 Exhibit 10.

2 CHAIRMAN GRAHAM: I'm going to allow the
3 reports.

4 (Exhibit No. 10 received in evidence.)

5 CHAIRMAN GRAHAM: Any other exhibits to go in?

6 MR. MCGLOTHLIN: OPC moves Exhibit 173, which
7 was the FPL Surveillance Report.

8 MR. WRIGHT: The Retail Federation moves
9 Exhibit 174, 175, 176, and 177.

10 MR. MELSON: Mr. Chairman, we object to 175
11 and 176 so long as they remain as excerpts. If the
12 Retail Federation wants to put the entire 10-K
13 report in so that we can cite to other things in
14 that report, we would be happy to do that. But
15 we're concerned the witness did not have the full
16 report to review and no basis to judge if those
17 excerpts were taken out of context.

18 CHAIRMAN GRAHAM: Mr. Wright, are you willing
19 to put in the entire 10-K?

20 MR. WRIGHT: Of course, Mr. Chairman. I
21 would, out of respect for the environment, ask for
22 leave to do so electronically, if that's okay.

23 CHAIRMAN GRAHAM: That's quite all right.

24 MR. WRIGHT: Thank you, sir.

25 CHAIRMAN GRAHAM: Okay. So we will enter 73,
FLORIDA PUBLIC SERVICE COMMISSION

1 74, 75, 76 and 77 -- 173 through 177 into the
2 record.

3 (Exhibit Nos. 173 through 177 received in
4 evidence.)

5 MR. MCGLOTHLIN: Mr. Chairman, we also
6 referred to an interrogatory answer that didn't get
7 assigned a hearing exhibit number. I was informed
8 during a break that that particular answer to
9 interrogatory had not been part of the stipulation.

10 During the break we resolved that and I think
11 the other parties will confirm that there is no
12 objection to the interrogatory that I identified
13 or, as I understand it, any answer to interrogatory
14 that's been identified, and staff has agreed that
15 that can come into the record.

16 CHAIRMAN GRAHAM: So you're telling me that I
17 gave you too much time during the break you
18 couldn't just eat, you had to do more stuff? Is
19 that what I'm hearing you saying, Mr. McGlothlin?

20 MR. MCGLOTHLIN: We got some work done.

21 CHAIRMAN GRAHAM: Ms. Klancke.

22 MS. KLANCKE: I think it's a little bit more
23 nuance than that, though I would love for that to
24 be the case.

25 Over the break, as OPC specified, the parties
FLORIDA PUBLIC SERVICE COMMISSION

1 were able to stipulate to the inclusion of the
2 staff interrogatories, or all of the
3 interrogatories rather, listed on the comprehensive
4 exhibit list; however, FIPUG, with the exception of
5 certain exhibits, which FIPUG has some objection
6 to.

7 And just for the clarity of the record, I
8 would like to go through the comprehensive exhibit
9 list because all of them will be stipulated but for
10 these. These will be independently litigated, if
11 necessary, and moved into the record in conjunction
12 with the applicable witness.

13 CHAIRMAN GRAHAM: I'll tell you what, let's --
14 staff exhibits start on page 14; is that correct,
15 Number 86?

16 MS. KLANCKE: That's correct, 14.

17 CHAIRMAN GRAHAM: Well, let's go through these
18 things one at a time and you tell me which ones are
19 in and which ones are only in in pieces.

20 MS. KLANCKE: Okay. Exhibit Number 86 is
21 completely in with the exception of numbers 19, 20,
22 and 21 which are withdrawn.

23 CHAIRMAN GRAHAM: Okay.

24 (Exhibit No. 86 received in evidence.)

25 MS. KLANCKE: Number 87 is now stipulated and
 FLORIDA PUBLIC SERVICE COMMISSION

1 entered in in its entirety.

2 CHAIRMAN GRAHAM: Okay.

3 (Exhibit No. 87 received in evidence.)

4 MS. KLANCKE: 88 similarly entered in its
5 entirety.

6 (Exhibit No. 88 received in evidence.)

7 MS. KLANCKE: With respect to 89, it will be
8 entered into the record with the exception of
9 Exhibit Nos. 38 and 39.

10 MS. KAUFMAN: If I can interrupt, Ms. Klancke,
11 we will withdraw our objection to 38 and 39.

12 MS. KLANCKE: Excellent. Well, then this will
13 be entered in in its entirety.

14 CHAIRMAN GRAHAM: Okay.

15 (Exhibit No. 89 received in evidence.)

16 MS. KLANCKE: Number 90 is entered in in its
17 entirety.

18 CHAIRMAN GRAHAM: Okay.

19 (Exhibit No. 90 received in evidence.)

20 MS. KLANCKE: Number 91 is entered in in its
21 entirety with the exception of number 85 which was
22 withdrawn.

23 CHAIRMAN GRAHAM: Is only 85 withdrawn? What
24 about 75 through 77 and 85 through 90?

25 MS. KLANCKE: All in.

1 CHAIRMAN GRAHAM: Okay. So 85 is the only one
2 that's out?

3 MS. KLANCKE: Yes, sir.

4 (Exhibit No. 91 received in evidence.)

5 MS. KLANCKE: Exhibit Number 92 is in in its
6 entirety with the exception of 95, 96, 97, 99, and
7 100, those are withdrawn.

8 CHAIRMAN GRAHAM: Okay.

9 (Exhibit No. 92 received in evidence.)

10 MS. KLANCKE: 93 is withdrawn.

11 CHAIRMAN GRAHAM: Okay.

12 MS. KLANCKE: 94 is entered in in its
13 entirety.

14 CHAIRMAN GRAHAM: Okay.

15 (Exhibit No. 94 received in evidence.)

16 MS. KLANCKE: 95 is entered in in its
17 entirety.

18 CHAIRMAN GRAHAM: Okay.

19 (Exhibit No. 95 received in evidence.)

20 MS. KLANCKE: 96 is entered in in its
21 entirety.

22 (Exhibit No. 96 received in evidence.)

23 MS. KLANCKE: 97 is entered in with the
24 exception of 145, 146, 147, 149, 150, 153, 155,
25 157, and 158, which are withdrawn.

1 MR. MCGLOTHLIN: Excuse me, Ms. Klancke, you
2 left off 151. Is that in fact in or is that still
3 withdrawn?

4 MS. KLANCKE: That is still withdrawn. I
5 apologize.

6 (Exhibit No. 97 received in evidence.)

7 MS. KLANCKE: Number 98, there is a notation
8 here that --

9 CHAIRMAN GRAHAM: Ms. Klancke, let's go back
10 and give me that list again on the ones that are
11 withdrawn on 97.

12 MS. KLANCKE: Absolutely. 145, interrogatory
13 response 146, interrogatory response 147, 149, 150,
14 151, 153, 155, 157, and 158.

15 CHAIRMAN GRAHAM: So the only thing that's
16 changed is 142 is off that list?

17 MS. KLANCKE: That is correct.

18 CHAIRMAN GRAHAM: Okay. That would have been
19 easier to say.

20 MS. KLANCKE: Particularity, I apologize.

21 With respect to Hearing Exhibit 98, there
22 was --

23 MR. STONE: Excuse me, Mr. Chairman, I
24 apologize. I think 142, 143, 144, and 148, 152,
25 and 154 remain part of Exhibit 97.

1 MS. KLANCKE: With respect to all others that
2 I've identified are withdrawn, that is correct. I
3 just specified those items which were withdrawn out
4 of that enumeration.

5 MR. STONE: I may have misunderstood the
6 Chair. I thought you concluded that only 142
7 remained.

8 CHAIRMAN GRAHAM: No, I'm just saying on the
9 list that we have here, they have a list of all of
10 the ones that have been withdrawn, and the only
11 thing that's changed is number 142 is no longer on
12 that list, everything else is still withdrawn.

13 MR. STONE: You must have been given a
14 different list than we were.

15 MS. KLANCKE: He has the same list.

16 Let me just back it up. Numbers 142 and 152
17 are enumerated in the exhibit description. Of this
18 parenthetical, numbers 145, 146, 147, 149, 150,
19 151, 153, 155, 157, and 158 are withdrawn, the rest
20 are in.

21 CHAIRMAN GRAHAM: Is that what you have,
22 Mr. Stone?

23 MR. STONE: Yes, I'm good.

24 CHAIRMAN GRAHAM: Okay.

25 MS. KLANCKE: With respect to 98, there is a
FLORIDA PUBLIC SERVICE COMMISSION

1 notation with respect to items that were withdrawn,
2 none of those are withdrawn. However, Number 171
3 is stipulated pursuant to the stipulation of
4 witness Buck.

5 CHAIRMAN GRAHAM: So all of 98 is in and 171
6 has been stipulated?

7 MS. KLANCKE: Correct. And it is also in.

8 CHAIRMAN GRAHAM: Okay.

9 (Exhibit No. 98 received in evidence)

10 MS. KLANCKE: Number 99 is all in.

11 (Exhibit No. 99 received in evidence.)

12 MS. KLANCKE: Number 100 is all in.

13 (Exhibit No. 100 received in evidence.)

14 MS. KLANCKE: Number 101 is all in with the
15 exception of number 216 which is withdrawn.

16 (Exhibit No. 101 received in evidence.)

17 MS. KLANCKE: Number 102 FIPUG has
18 specifically made objections with respect to
19 numbers 220, 226, 228, 229, 230, 231, 232, 233 and
20 234. All the rest are in. Okay.

21 CHAIRMAN GRAHAM: Okay.

22 (Exhibit No. 102 received in evidence.)

23 MS. KLANCKE: With respect to 103, FIPUG has
24 specifically objected to number 252. All the rest
25 are in. With respect to --

1 MR. WRIGHT: Including 256?

2 MS. KLANCKE: I'm getting to it. Numbers 256,
3 257, and 258 have been withdrawn.

4 MR. WRIGHT: Excuse me, Mr. Chairman.

5 CHAIRMAN GRAHAM: Yes, sir.

6 MR. WRIGHT: Will you please ask Ms. Klancke
7 to repeat that. I got a little confused in the
8 first part.

9 CHAIRMAN GRAHAM: You need her to repeat 103?

10 MR. WRIGHT: With respect to 103, yes, sir.

11 MS. KLANCKE: Absolutely.

12 CHAIRMAN GRAHAM: 252 is out, it's being
13 objected by FIPUG, and then 256 through 258 are
14 withdrawn still.

15 MR. WRIGHT: Thank you, Mr. Chairman. Thank
16 you, Ms. Klancke.

17 (Exhibit No. 103 received in evidence.)

18 MS. KLANCKE: With respect to 104, it is in
19 and it has been moved into the record pursuant to a
20 stipulation of witness McGee.

21 (Exhibit No. 104 received in evidence.)

22 MS. KLANCKE: 105 is in in its entirety.

23 (Exhibit No. 105 received in evidence.)

24 MS. KLANCKE: 106, there are no objections
25 with respect to this exhibit; however, only 274

1 should be withdrawn.

2 CHAIRMAN GRAHAM: Okay.

3 (Exhibit No. 106 received in evidence.)

4 MS. KLANCKE: 107 is all in.

5 (Exhibit No. 107 received in evidence.)

6 MS. KLANCKE: 108 is all in.

7 (Exhibit No. 108 received in evidence.)

8 MS. KLANCKE: 109 is all in with the exception
9 of 312 and 316, which have been withdrawn.

10 (Exhibit No. 109 received in evidence.)

11 MS. KLANCKE: 110 is all in.

12 (Exhibit No. 110 received in evidence.)

13 MS. KLANCKE: 111 is in pursuant to a
14 stipulation.

15 (Exhibit No. 111 received in evidence.)

16 MS. KLANCKE: And 112 also in pursuant to a
17 stipulation.

18 (Exhibit No. 112 received in evidence.)

19 MS. KLANCKE: Exhibit 113 is all in with the
20 exception of items numbers 14, 27, and 79.

21 CHAIRMAN GRAHAM: Okay.

22 (Exhibit No. 113 received in evidence.)

23 MS. KLANCKE: Item Number 77 was also in
24 pursuant to a stipulation.

25 Okay. Item Number 114 is all in.

FLORIDA PUBLIC SERVICE COMMISSION

1 (Exhibit No. 114 received in evidence.)

2 MS. KLANCKE: And I would like to note that
3 with respect to Number 153, this portion was used
4 by OPC as part of their demonstrative exhibit in
5 conjunction with the cross examination of witness
6 Teel, so that perfects any issues with regard to
7 that.

8 115, however, there are specific objections
9 raised by FIPUG with respect to Number 204, 206,
10 207, 208, and 209. The notation with respect to
11 the Items 180 through 182 should be deleted and
12 those items are no longer withdrawn.

13 (Exhibit No. 115 received in evidence.)

14 CHAIRMAN GRAHAM: Okay.

15 MS. KLANCKE: With regard to 116 and 117,
16 those are all in.

17 (Exhibit Nos. 116 and 117 received in
18 evidence.)

19 CHAIRMAN GRAHAM: Okay.

20 MS. KLANCKE: 118 is withdrawn.

21 CHAIRMAN GRAHAM: Okay.

22 MS. KLANCKE: 119 is all in.

23 (Exhibit No. 119 received in evidence.)

24 MS. KLANCKE: 120 FIPUG has raised specific
25 objections with respect to number six which staff

1 had already withdrawn so that will not be an issue,
2 and number 15. As I previously stated, number
3 five, six, and 45 have been withdrawn.

4 CHAIRMAN GRAHAM: Okay.

5 (Exhibit No. 120 received in evidence.)

6 MS. KLANCKE: Number 121 has been withdrawn.

7 Number 122 has been moved into the record. As
8 we specified this morning, item numbers 122 through
9 144 were moved into the record either through
10 stipulation or through a motion by staff.

11 CHAIRMAN GRAHAM: Okay.

12 MR. WRIGHT: Mr. Chairman, I'm sorry, I'm
13 fuzzy on 123. Is it withdrawn or is it admitted?

14 CHAIRMAN GRAHAM: 123 is out.

15 MS. KLANCKE: Correct.

16 MR. WRIGHT: Thank you.

17 MS. KLANCKE: In addition, there are several
18 deposition transcripts that have been stipulated,
19 and I would just like to note for the record
20 number 152 has been stipulated, the deposition
21 transcript of witness Pollock.

22 CHAIRMAN GRAHAM: Okay.

23 (Exhibit No. 152 received in evidence.)

24 MS. KLANCKE: Number 157, the deposition
25 transcript of witness Stowe.

1 CHAIRMAN GRAHAM: Okay.

2 (Exhibit No. 157 received in evidence.)

3 MS. KLANCKE: I believe those were the two
4 deposition transcripts that were stipulated due to
5 agreement by the parties.

6 MR. WRIGHT: Mr. Chairman, just so my notes
7 and records are clear, are we going to show those
8 deposition transcripts as being admitted now,
9 today?

10 CHAIRMAN GRAHAM: Yes.

11 MR. WRIGHT: Thank you very much.

12 CHAIRMAN GRAHAM: Is that it, Ms. Klancke?

13 MS. KLANCKE: That's correct.

14 CHAIRMAN GRAHAM: I'll go back starting from
15 the end moving forward, just to make sure
16 everybody's got everything.

17 MR. SAYLER: Excuse me, Mr. Chairman, I was
18 comparing with my colleague, which depositions are
19 being stipulated to, and also, does that include
20 the exhibits attached thereto?

21 MS. KLANCKE: That is correct. Pursuant to
22 agreement by the parties in conjunction with the
23 stipulation of these witnesses, number 152 for
24 FIPUG's witness Pollock was stipulated to and all
25 of the associated exhibits with regard to the

1 deposition, and witness Stowe, who is FEA's witness
2 as well is listed under 157.

3 MS. KAUFMAN: Excuse me, Mr. Chairman, just so
4 the record is clear, I don't think that Mr. Pollock
5 had any exhibits to his deposition.

6 MS. KLANCKE: I believe that witness Stowe
7 did, however.

8 MS. KAUFMAN: I just wanted the record to be
9 clear for FIPUG's witness.

10 MS. KLANCKE: Sure.

11 CHAIRMAN GRAHAM: Okay. Let's start through
12 this thing going backwards, going forward, we just
13 put in 157, 152, as stated by Ms. Klancke, we've
14 already put in 144 through 122 with the exception
15 of 123 -- we're on page 21 -- 121 is out and the
16 rest of these that I call off are, according to the
17 way described by Ms. Klancke, 120 is all in except
18 for six and 15, and five, six, and 45 are
19 withdrawn. 119 is all in. 118 is out. 117, 116
20 are both all in. 115 is in with the exception of
21 204, 06, 07, 08 and 09. 114 is all in. 113 is in.
22 I have 14, 27, and 79 that are withdrawn. And 77
23 was stipulated.

24 Is everybody with me so far?

25 (Affirmative response.)

1 CHAIRMAN GRAHAM: 112, 11, ten are all in.
2 109 is in. And 312 and 316 have been withdrawn.

3 The bottom of page 18, 108 and 107 are all in.
4 106 is in except for 274 is withdrawn. 105 is in,
5 and 104 is in through stipulation.

6 The bottom of page 17. Is everybody still
7 good?

8 (Affirmative response.)

9 CHAIRMAN GRAHAM: 103, did we say that was in?

10 MS. KLANCKE: Yes, that's correct, with the
11 exception of number 252.

12 CHAIRMAN GRAHAM: And --

13 MS. KLANCKE: And the ones that are withdrawn,
14 which are 256, 257, 258.

15 CHAIRMAN GRAHAM: Okay. 102 is all in except
16 for the objections of 220, 26, 28, 29, 30, 31, 32,
17 33, 34. 101 is in except for 216 is withdrawn. 99
18 are both all in. 98 is all in. 171 was
19 stipulated. 97 is all in except for -- we've done
20 that nine times -- 96, 95, and 94 are all in. 93
21 is out. 92 is in except for 95, 96, 97, 98, and
22 100, which are withdrawn. And 91 is in.

23 MR. WRIGHT: Excuse me, Mr. Chairman.

24 CHAIRMAN GRAHAM: Okay.

25 MR. WRIGHT: I believe it was 99 and not 98.

1 CHAIRMAN GRAHAM: I have 95, 96, 97, 99, and
2 100.

3 MR. WRIGHT: Correct.

4 CHAIRMAN GRAHAM: Okay. I missed it, oops.
5 Okay. 91 all in except for 85 is out. 90 is
6 all in. 89 is all in.

7 MS. KLANCKE: With the exception of numbers 38
8 and 39, which would have been withdrawn. I
9 apologize, I'll stop speaking.

10 CHAIRMAN GRAHAM: One more time.

11 MS. KLANCKE: It's all in, you were correct.
12 I failed to note the withdrawal of FIPUG's
13 objections to two of them.

14 CHAIRMAN GRAHAM: Okay. Bottom of page 14, 88
15 is all in. 87 is in, number 30 was stipulated. 86
16 is in, but 19 through 21 are withdrawn.

17 Are we all on the same page?

18 (Affirmative response.)

19 CHAIRMAN GRAHAM: Very good. Okay. I think I
20 need a five-minute break.

21 (Whereupon, a recess was taken.)

22 CHAIRMAN GRAHAM: All right, Mr. Melson, call
23 your next witness.

24 MR. MELSON: Gulf calls Dr. James Vander
25 Weide.

1 Thereupon,

2 JAMES H. VANDER WEIDE, Ph.D.

3 was called as a witness, having been previously duly
4 sworn, was examined and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. MELSON:

7 Q Dr. Vander Weide, have you been sworn?

8 A Yes, I have.

9 Q Would you please state your name and business
10 address?

11 A Yes. My name is James H. Vander Weide and my
12 business address is 3606 Stony Brook Drive, Durham,
13 North Carolina 27705.

14 Q And what is your occupation or profession?

15 A I am a Research Professor of Finance and
16 Economics at Duke University, the Fuqua School of
17 Business, and I'm President of Financial Strategy
18 Associates.

19 Q And did you prefile direct testimony in this
20 docket dated July 8th, 2011 consisting of 50 pages?

21 A Yes, I did.

22 Q Do you have any changes or corrections to that
23 testimony?

24 A No, I do not.

25 Q If I were to ask you the same questions today,

1 **would your answers be the same?**

2 A Yes.

3 MR. MELSON: Mr. Chairman, I would ask that
4 Dr. Vander Weide's direct testimony be inserted
5 into the record as though read.

6 CHAIRMAN GRAHAM: We will insert Mr. Vander
7 Weide's testimony into the record.

8 (Whereupon, prefiled direct testimony
9 inserted.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **Q. Have you previously testified on financial or economic issues?**

2 A. Yes. As an expert on financial and economic theory and practice, I have participated
3 in more than four hundred regulatory and legal proceedings before the U.S. Congress,
4 the Canadian Radio-Television and Telecommunications Commission, the Federal
5 Communications Commission, the National Telecommunications and Information
6 Administration, the Federal Energy Regulatory Commission, the National Energy
7 Board (Canada), the public service commissions of forty-three states and four
8 Canadian provinces, the insurance commissions of five states, the Iowa State Board
9 of Tax Review, the National Association of Securities Dealers, and the North
10 Carolina Property Tax Commission. In addition, I have prepared expert testimony in
11 proceedings before the U.S. Tax Court; the U.S. District Court for the District of
12 Nebraska; the U.S. District Court for the District of New Hampshire; the U.S. District
13 Court for the District of Northern Illinois; the U.S. District Court for the Eastern
14 District of North Carolina; the Montana Second Judicial District Court, Silver Bow
15 County; the U.S. District Court for the Northern District of California; the Superior
16 Court, North Carolina; the U.S. Bankruptcy Court for the Southern District of West
17 Virginia; and the U. S. District Court for the Eastern District of Michigan.

18

19 **Q. What is the purpose of your testimony?**

20 A. I have been asked by Gulf Power Company ("Gulf Power" or "the Company") to
21 prepare an independent appraisal of Gulf Power's cost of equity and to recommend to
22 the Florida Public Service Commission ("the Commission") a rate of return on equity
23 that is fair, that allows Gulf Power to attract capital on reasonable terms, and that
24 allows Gulf Power to maintain its financial integrity.

25

II. SUMMARY OF TESTIMONY

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q. How do you estimate Gulf Power's cost of equity?

A. I estimate Gulf Power's cost of equity by applying several standard cost of equity methods to market data for a large group of utility companies of comparable risk.

Q. Why do you apply your cost of equity methods to a large group of comparable risk companies rather than solely to Gulf Power?

A. I apply my cost of equity method to a large group of comparable risk companies because standard cost of equity methodologies such as the discounted cash flow ("DCF"), risk premium, and capital asset pricing model ("CAPM") require inputs of quantities that are not easily measured. The problem of difficult-to-measure inputs is especially acute for Gulf Power because, as a subsidiary of Southern Company, its stock is not publicly traded. Since these inputs can only be estimated, there is naturally some degree of uncertainty surrounding the estimate of the cost of equity for each company. However, the uncertainty in the estimate of the cost of equity for an individual company can be greatly reduced by applying cost of equity methodologies to a large sample of comparable risk, or proxy companies. Intuitively, unusually high estimates for some individual companies are offset by unusually low estimates for other individual companies. Thus, financial economists invariably apply cost of equity methodologies to a group of proxy companies. In utility regulation, the practice of using a group of proxy companies is further supported by the United States Supreme Court standard that the utility should be allowed to earn a return on its investment that is commensurate with returns being earned on other investments of the same risk (*see Bluefield Water Works and Improvement Co. v. Public Service*

1 *Comm'n. 262 U.S. 679, 692 (1923) and Federal Power Comm'n v. Hope Natural Gas*
2 *Co., 320 U.S. 561, 603 (1944)).*

3
4 **Q. What cost of equity do you find for your proxy companies in this proceeding?**

5 A. On the basis of my studies, I find that the cost of equity for my proxy companies is
6 10.8 percent. This conclusion is based on my application of standard cost of equity
7 estimation techniques, including the DCF model, the ex ante risk premium approach,
8 the ex post risk premium approach, and the CAPM, to a broad group of companies of
9 comparable risk, and on the evidence I present in this testimony that the CAPM
10 significantly underestimates the cost of equity for companies such as my proxy
11 companies with betas significantly less than 1.0. As noted below, the cost of equity
12 for my proxy companies must be adjusted to reflect the higher financial risk
13 associated with Gulf Power's rate making capital structure compared to the average
14 market-value capital structure of my proxy company group. Making this adjustment
15 produces a cost of equity equal to 11.7 percent.

16
17 **Q. You note that the cost of equity of your proxy companies needs to be adjusted**
18 **for financial risk. Why is that adjustment needed?**

19 A. The cost of equity for my proxy companies depends on their financial risk, which is
20 measured by the market values of debt and equity in their capital structures. The
21 financial risk of my proxy companies differs from the financial risk associated with
22 Gulf Power's rate making capital structure. It is both logically and economically
23 inconsistent to apply a cost of equity developed for a sample of companies with a
24 specific degree of financial risk to a capital structure with a different financial risk.
25 One must adjust the cost of equity for my proxy companies upward in order for

1 investors in Gulf Power to have an opportunity to earn a return on their investment in
2 Gulf Power that is commensurate with returns they could earn on other investments
3 of comparable risk.
4

5 **Q. How does Gulf Power's financial risk, as reflected in its rate making capital**
6 **structure, compare to the financial risk of your proxy companies?**

7 A. Gulf Power's rate making capital structure in this proceeding contains 1.29 percent
8 short-term debt, 47.21 percent long-term debt, 5.24 percent preferred equity, and
9 46.26 percent common equity. The average market value capital structure for my
10 proxy group of companies contains approximately 4.59 percent short-term debt,
11 39.77 percent long-term debt, 0.56 percent preferred equity, and 55.08 percent
12 common equity. Thus, the financial risk of Gulf Power as reflected in its rate making
13 capital structure is greater than the financial risk embodied in the cost of equity
14 estimates for my proxy companies.
15

16 **Q. The Commission rejected your financial risk adjustment in Docket No. 090079-**
17 **EI, on the grounds that you inappropriately mix market value and book value**
18 **capital structures. Do you agree that your comparison of the market value**
19 **capital structures of your proxy companies to Gulf Power's rate making or book**
20 **value capital structure is inappropriate?**

21 A. No. I compare the average market value capital structure of my proxy companies to
22 Gulf Power's recommended book value capital structure because the cost of equity
23 results I obtain from my proxy companies depend on their financial risk as measured
24 in the marketplace. In contrast, Gulf Power's financial risk depends on its rate
25 making, or book value capital structure. As discussed above, it is both logically and

1 economically inconsistent to apply a cost of equity obtained from a sample of
2 companies with one level of financial risk to a capital structure with a different level
3 of financial risk. My financial risk adjustment appropriately adjusts the cost of equity
4 for my proxy companies to reflect the differences in financial risk reflected in the
5 proxy companies' cost of equity and the financial risk reflected in Gulf Power's rate
6 making capital structure.

7
8 **Q. Are you aware of examples where regulators have used market value capital**
9 **structures to estimate the overall cost of capital?**

10 **A. Yes. I'm aware of several examples where regulators have used market value capital**
11 **structures either to adjust the cost of equity for financial risk or to estimate the overall**
12 **cost of capital. First, the Pennsylvania Public Utility Commission has adopted a**
13 **financial risk adjustment similar to the adjustment I have recommended here to set**
14 **the allowed rate of return on equity for electric and water companies. Second,**
15 **regulatory bodies, including the Federal Communication Commission's (FCC)**
16 **Wireline Competition Bureau and the public service commission of Massachusetts,**
17 **have used market value capital structures to estimate the cost of capital in**
18 **proceedings on the cost of the unbundled network elements local exchange carriers**
19 **are required to lease to their competitors. Third, the Surface Transportation Board**
20 **uses a market value capital structure to estimate the cost of capital for railroads.**
21 **Fourth, some state tax authorities use market value capital structures to calculate the**
22 **cost of capital that is used to value utilities' properties for the purpose of assessing**
23 **property taxes, including, for example, Colorado, Iowa, Nevada, and Utah.**

1

2 **Q. What is the fair rate of return on equity for Gulf Power indicated by your cost of**
3 **equity analysis?**

4 A. Based on my analysis, I recommend that Gulf Power be allowed a fair rate of return
5 on equity equal to 11.7 percent in order to have the same weighted average cost of
6 capital as my proxy companies.

7

8 **Q. Do you have exhibits accompanying your testimony?**

9 A. Yes. I have prepared or supervised the preparation of Exhibit ___ (JVW-1) consisting
10 of ten schedules and Exhibit ___ (JVW-2) consisting of five appendices that
11 accompany my testimony.

12

13 **III. ECONOMIC AND LEGAL PRINCIPLES**

14 **Q. How do economists define the required rate of return, or cost of capital,**
15 **associated with particular investment decisions such as the decision to invest in**
16 **electric generation, transmission, and distribution facilities?**

17 A. Economists define the cost of capital as the return investors expect to receive on
18 alternative investments of comparable risk.

19

20 **Q. How does the cost of capital affect a firm's investment decisions?**

21 A. The goal of a firm is to maximize its value. This goal can be accomplished by
22 accepting all investments in plant and equipment with an expected rate of return
23 greater than the cost of capital. Thus, a firm should continue to invest in plant and
24 equipment only so long as the return on its investment is greater than or equal to its
25 cost of capital.

1

2 **Q. How does the cost of capital affect investors' willingness to invest in a company?**

3 A. The cost of capital measures the return investors can expect on investments of
4 comparable risk. The cost of capital also measures the investor's required rate of
5 return on investment because rational investors will not invest in a particular
6 investment opportunity if the expected return on that opportunity is less than the cost
7 of capital. Thus, the cost of capital is a hurdle rate for both investors and the firm.

8

9 **Q. Do all investors have the same position in the firm?**

10 A. No. Debt investors have a fixed claim on a firm's assets and income that must be
11 paid prior to any payment to the firm's equity investors. Since the firm's equity
12 investors have a residual claim on the firm's assets and income, equity investments
13 are riskier than debt investments. Thus, the cost of equity exceeds the cost of debt.

14

15 **Q. What is the overall or average cost of capital?**

16 A. The overall or average cost of capital is a weighted average of the cost of debt and
17 cost of equity, where the weights are the percentages of debt and equity in a firm's
18 capital structure.

19

20 **Q. Can you illustrate the calculation of the overall or weighted average cost of
21 capital?**

22 A. Yes. Assume that the cost of debt is 7 percent, the cost of equity is 13 percent, and
23 the percentages of debt and equity in the firm's capital structure are 50 percent and
24 50 percent, respectively. Then the weighted average cost of capital is expressed by
25 .50 times 7 percent plus .50 times 13 percent, or 10.0 percent.

1

2 **Q. How do economists define the cost of equity?**

3 A. Economists define the cost of equity as the return investors expect to receive on
4 alternative equity investments of comparable risk. Since the return on an equity
5 investment of comparable risk is not a contractual return, the cost of equity is more
6 difficult to measure than the cost of debt. However, as I have already noted, there is
7 agreement among economists that the cost of equity is greater than the cost of debt.
8 There is also agreement among economists that the cost of equity, like the cost of
9 debt, is both forward looking and market based.

10

11 **Q. How do economists measure the percentages of debt and equity in a firm's
12 capital structure?**

13 A. Economists measure the percentages of debt and equity in a firm's capital structure
14 by first calculating the market value of the firm's debt and the market value of its
15 equity. Economists then calculate the percentage of debt by the ratio of the market
16 value of debt to the combined market value of debt and equity, and the percentage of
17 equity by the ratio of the market value of equity to the combined market values of
18 debt and equity. For example, if a firm's debt has a market value of \$25 million and
19 its equity has a market value of \$75 million, then its total market capitalization is
20 \$100 million, and its capital structure contains 25 percent debt and 75 percent equity.

21

22 **Q. Why do economists measure a firm's capital structure in terms of the market
23 values of its debt and equity?**

24 A. Economists measure a firm's capital structure in terms of the market values of its debt
25 and equity because: (1) the weighted average cost of capital is defined as the return

1 investors expect to earn on a portfolio of the company's debt and equity securities;
2 (2) investors measure the expected return and risk on their portfolios using market
3 value weights, not book value weights; and (3) market values are the best measures of
4 the amounts of debt and equity investors have invested in the company on a going
5 forward basis.

6
7 **Q. Why do investors measure the expected return and risk on their investment**
8 **portfolios using market value weights rather than book value weights?**

9 A. Investors measure the expected return and risk on their investment portfolios using
10 market value weights because: (1) the expected return on a portfolio is calculated by
11 comparing the expected value of the portfolio at the end of the investment period to
12 its current value; (2) the risk on a portfolio is calculated by examining the variability
13 of the return on the portfolio at the end of the investment period; and (3) market
14 values are the best measure of the current value of the portfolio. From the investor's
15 point of view, the historical cost, or book value of their investment, is generally a
16 poor indicator of the portfolio's current value.

17
18 **Q. Is the economic definition of the weighted average cost of capital consistent with**
19 **regulators' traditional definition of the weighted average cost of capital?**

20 A. No. The economic definition of the weighted average cost of capital is based on the
21 market costs of debt and equity, the market value percentages of debt and equity in a
22 company's capital structure, and the future expected risk of investing in the company.
23 In contrast, regulators have traditionally defined the weighted average cost of capital
24 using the embedded cost of debt and the book values of debt and equity in a
25 company's capital structure.

1

2 **Q. Does the required rate of return on an investment vary with the risk of that**
3 **investment?**

4 A. Yes. Since investors are averse to risk, they require a higher rate of return on
5 investments with greater risk.

6

7 **Q. Do economists and investors consider future industry changes when they**
8 **estimate the risk of a particular investment?**

9 A. Yes. Economists and investors consider all the risks that a firm might be exposed to
10 over the future life of the company.

11

12 **Q. Are these economic principles regarding the fair return for capital recognized in**
13 **any United States Supreme Court cases?**

14 A. Yes. These economic principles, relating to the supply of and demand for capital, are
15 recognized in two United States Supreme Court cases: (1) *Bluefield Water Works*
16 *and Improvement Co. v. Public Service Comm'n.*; and (2) *Federal Power Comm'n v.*
17 *Hope Natural Gas Co.* In the *Bluefield Water Works* case, the Court stated:

18 A public utility is entitled to such rates as will permit it to earn a return
19 upon the value of the property which it employs for the convenience of
20 the public equal to that generally being made at the same time and in
21 the same general part of the country on investments in other business
22 undertakings which are attended by corresponding risks and
23 uncertainties; but it has no constitutional right to profits such as are
24 realized or anticipated in highly profitable enterprises or speculative
25 ventures. The return should be reasonably sufficient to assure

1 confidence in the financial soundness of the utility, and should be
2 adequate, under efficient and economical management, to maintain
3 and support its credit, and enable it to raise the money necessary for
4 the proper discharge of its public duties. [*Bluefield Water Works and*
5 *Improvement Co. v. Public Service Comm'n.* 262 U.S. 679, 692
6 (1923)].

7 The Court clearly recognizes here that: (1) a regulated firm cannot remain financially
8 sound unless the return it is allowed to earn on the value of its property is at least
9 equal to the cost of capital (the principle relating to the demand for capital); and (2) a
10 regulated firm will not be able to attract capital if it does not offer investors an
11 opportunity to earn a return on their investment equal to the return they expect to earn
12 on other investments of the same risk (the principle relating to the supply of capital).

13 In the *Hope Natural Gas* case, the Court reiterates the financial soundness and
14 capital attraction principles of the *Bluefield* case:

15 From the investor or company point of view it is important that there
16 be enough revenue not only for operating expenses but also for the
17 capital costs of the business. These include service on the debt and
18 dividends on the stock... By that standard the return to the equity
19 owner should be commensurate with returns on investments in other
20 enterprises having corresponding risks. That return, moreover, should
21 be sufficient to assure confidence in the financial integrity of the
22 enterprise, so as to maintain its credit and to attract capital. [*Federal*
23 *Power Comm'n v. Hope Natural Gas Co.*, 320 U.S. 591, 603 (1944)].

24 The Court clearly recognizes that the fair rate of return on equity should be:
25 (1) comparable to returns investors expect to earn on other investments of similar

1 risk; (2) sufficient to assure confidence in the company's financial integrity; and
2 (3) adequate to maintain and support the company's credit and to attract capital.
3

4 **IV. BUSINESS AND FINANCIAL RISKS**

5 **Q. What are the primary business and financial risks facing electric energy**
6 **companies such as Gulf Power?**

7 **A. The business and financial risks of investing in electric energy companies such as**
8 **Gulf Power include:**

9 1. **Demand Uncertainty.** Demand uncertainty is one of the primary
10 business risks of investing in electric energy companies such as Gulf Power.
11 Demand uncertainty is caused by: (a) the strong dependence of electric demand on
12 the state of the economy and weather patterns; (b) the sensitivity of demand to
13 changes in rates; (c) the ability of customers to choose alternative forms of energy,
14 such as natural gas or oil; (d) the ability of some customers to locate facilities in the
15 service areas of competitors; (e) the ability of some customers to conserve energy or
16 produce their own electricity under cogeneration or self-generation arrangements;
17 and (f) the ability of municipalities to go into the energy business rather than renew
18 the company's franchise. Demand uncertainty is a problem for electric companies
19 because of the need to plan for infrastructure additions many years in advance of
20 demand.

21 2. **Operating Expense Uncertainty.** The business risk of electric energy
22 companies is also increased by the inherent uncertainty in the typical electric energy
23 company's operating expenses. Operating expense uncertainty arises as a result of:
24 (a) the prospect of increasing employee health care and pension expenses;
25 (b) uncertainty over plant outages, the cost of purchased power, and the revenues

1 achieved from off system sales; (c) variability in maintenance costs and the costs of
2 other materials; (d) uncertainty over outages of the transmission and distribution
3 systems, as well as storm-related expenses; (e) the prospect of increased expenses for
4 security; and (f) high volatility in fuel prices or interruptions in fuel supply.

5 3. Investment Cost Uncertainty. The electric energy business requires
6 very large investments in the generation, transmission, and distribution facilities
7 required to deliver energy to customers. The future amounts of required investments
8 in these facilities are highly uncertain as a result of: (a) demand uncertainty; (b) the
9 changing economics of alternative generation technologies; (c) uncertainty in
10 environmental regulations and clean air requirements; (d) uncertainty in the costs of
11 construction materials and labor; (e) uncertainty in the amount of additional
12 investments to ensure the reliability of the company's transmission and distribution
13 networks; and (f) uncertainty regarding future decommissioning and dismantlement
14 costs. Furthermore, the risk of investing in electric energy facilities is increased by
15 the irreversible nature of the company's investments in generation, transmission, and
16 distribution facilities. For example, if an electric energy company decides to invest
17 in building a new generation plant, and, as a result of new environmental regulations,
18 energy produced by the plant becomes uneconomic, the company may not be able to
19 recover its investment.

20 4. High Operating Leverage. The electric energy business requires a
21 large commitment to fixed costs in relation to the operating margin on sales, a
22 situation known as high operating leverage. The relatively high degree of fixed costs
23 in the electric energy business arises from the average electric energy company's
24 large investment in fixed generation, transmission, and distribution facilities. High

1 operating leverage causes the average electric energy company's operating income to
2 be highly sensitive to demand and revenue fluctuations.

3 5. High Degree of Financial Leverage. The large capital requirements
4 for building economically efficient electric generation, transmission, and distribution
5 facilities, along with the traditional regulatory preference for the use of debt, have
6 encouraged electric utilities to maintain highly debt-leveraged capital structures as
7 compared to non-utility firms. High debt leverage is a source of additional risk to
8 utility stock investors because it increases the percentage of the firm's costs that are
9 fixed, and the presence of higher fixed costs increases the sensitivity of a firm's
10 earnings to variations in revenues.

11 6. Regulatory Uncertainty. Investors' perceptions of the business and
12 financial risks of electric energy companies are strongly influenced by their views of
13 the quality of regulation. Investors are painfully aware that regulators in some
14 jurisdictions have been unwilling at times to set rates that allow companies an
15 opportunity to recover their cost of service in a timely manner and earn a fair and
16 reasonable return on investment. As a result of the perceived increase in regulatory
17 risk, investors will demand a higher rate of return for electric energy companies
18 operating in those states. On the other hand, if investors perceive that regulators will
19 provide a reasonable opportunity for the company to maintain its financial integrity
20 and earn a fair rate of return on its investment, investors will view regulatory risk as
21 minimal.

22
23 **Q. Have any of these risk factors changed in recent years?**

24 **A. Yes. The risk of investing in electric energy companies has increased as a result of**
25 **significantly greater macroeconomic uncertainty; projected electric energy company**

1 capital expenditures; greater volatility in fuel prices; greater uncertainty in the cost of
2 satisfying environmental requirements; more volatile purchased power and off system
3 sales prices; greater uncertainty in employee health care and pension expenses;
4 greater uncertainty with regard to legislative mandates related to generation mix, such
5 as renewable portfolio standards; and greater uncertainty in the expenses associated
6 with system outages, storm damage, and security. Each of these factors puts pressure
7 on customer rates and therefore increases regulatory risk.
8

9 **Q. How does greater macroeconomic uncertainty affect the business and financial
10 risks of investing in electric energy companies such as Gulf Power?**

11 A. Greater macroeconomic uncertainty increases the business and financial risks of
12 investing in electric energy companies such as Gulf Power by fundamentally
13 increasing demand uncertainty, investment uncertainty, and regulatory uncertainty.
14

15 **Q. Why does macroeconomic uncertainty increase demand uncertainty?**

16 A. Macroeconomic uncertainty increases demand uncertainty because the demand for
17 electric energy services depends on the state of the economy. The greater the
18 uncertainty regarding the state of the economy, the greater will be the uncertainty
19 regarding the demand for energy services.
20

21 **Q. How does increased demand uncertainty affect the uncertainty of the future
22 return on investment for Gulf Power?**

23 A. Increased demand uncertainty greatly increases the uncertainty of the future return on
24 investment for Gulf Power because most of the Company's costs are fixed, while its
25

1 revenues are variable. Thus, greater volatility in revenues produces greater volatility
2 in return on investment.

3

4 **Q. Why does macroeconomic uncertainty increase investment cost uncertainty?**

5 A. Increased macroeconomic uncertainty greatly increases the uncertainty of investment
6 costs for electric companies like Gulf Power because it increases the uncertainty
7 regarding: the demand for electric energy; the economics of alternative generating
8 technologies; the cost of environmental regulations; the cost of construction materials
9 and labor; and the amount of additional investment required to ensure the reliability
10 of the company's transmission and distribution networks.

11

12 **Q. Why does macroeconomic uncertainty increase regulatory uncertainty?**

13 A. Regulatory uncertainty arises because investors are not certain that regulators will be
14 willing to set rates that allow companies an opportunity to recover their costs of
15 service and earn a fair and reasonable return on investment. Regulatory uncertainty
16 increases in difficult economic times because investors recognize that regulators are
17 likely to face greater pressure to restrain rate increases in difficult economic times
18 than in good economic times.

19

20 **Q. How do greater projected capital expenditures affect the business and financial
21 risks of investing in electric energy companies such as Gulf Power?**

22 A. Greater projected capital expenditures increase the business and financial risks of
23 investing in electric energy companies such as Gulf Power by increasing investment
24 cost uncertainty, operating leverage, and regulatory uncertainty.

25

1 **Q. Why do greater projected capital expenditures increase an electric energy**
2 **company's investment cost uncertainty?**

3 **A. Greater projected capital expenditures increase investment cost uncertainty because**
4 **investments in new generation, transmission, and distribution facilities take many**
5 **years to complete. As investors found during the last electric energy investment**
6 **boom of the 1980s, actual costs of building new generation, transmission, and**
7 **distribution facilities can differ from forecasted costs as a result of changes in**
8 **environmental regulations, materials costs, capital costs, and unexpected delays.**

9

10 **Q. Why do greater projected capital expenditures increase operating leverage?**

11 **A. As noted above, operating leverage increases when a firm's commitment to fixed**
12 **costs rises in relation to its operating margin on sales. Increased capital expenditures**
13 **increase operating leverage because investment costs are fixed, the investment period**
14 **is long, and revenues do not generally increase in line with investment costs until the**
15 **investment is entirely included in rate base. Thus, the ratio of fixed costs to operating**
16 **margin increases when capital expenditures increase.**

17

18 **Q. Why do greater projected capital expenditures increase regulatory uncertainty?**

19 **A. As noted above, regulatory uncertainty arises because investors are aware that**
20 **regulators in some states have been unwilling at times to set rates that allow a**
21 **company an opportunity to recover its cost of service, including the cost of capital.**
22 **Regulatory uncertainty is most pronounced when rates are projected to increase.**
23 **Greater projected capital expenditures increase regulatory uncertainty because they**
24 **frequently cause rates to increase.**

25

1 **Q. Is the Company projecting significant capital expenditures over the next several**
2 **years?**

3 A. Yes. The Company's construction program is currently estimated to include a
4 planned investment of \$384.6 million in 2011, \$423.6 million in 2012, and \$421.7
5 million in 2013.

6
7 **Q. Can the risks facing Gulf Power and other electric energy companies be**
8 **distinguished from the risks of investing in companies in other industries?**

9 A. Yes. The risks of investing in electric energy companies such as Gulf Power can be
10 distinguished from the risks of investing in companies in many other industries in
11 several ways. First, the risks of investing in electric energy companies are increased
12 because of the greater capital intensity of the electric energy business and the fact that
13 most investments in electric energy facilities are largely irreversible once they are
14 made. Second, unlike returns in competitive industries, the returns from investment
15 in the electric energy business are largely asymmetric. That is, there is little
16 opportunity for electric energy companies to earn more than their required return, and
17 a significant chance that they will earn less than their required return.

18

19 **V. COST OF EQUITY ESTIMATION METHODS**

20 **Q. What methods do you use to estimate Gulf Power's fair rate of return on equity?**

21 A. I use several generally accepted methods for estimating the cost of equity for Gulf
22 Power. These are the Discounted Cash Flow (DCF), the ex ante risk premium, the ex
23 post risk premium, and the capital asset pricing model (CAPM). The DCF method
24 assumes that the current market price of a firm's stock is equal to the discounted
25 value of all expected future cash flows. The ex ante risk premium method assumes

1 that an investor's current expectations regarding the equity risk premium can be
2 estimated from recent data on the DCF expected rate of return on equity compared to
3 the interest rate on long-term bonds. The ex post risk premium method assumes that
4 an investor's current expectations regarding the equity-debt return differential is equal
5 to the historical record of comparable returns on stock and bond investments. The
6 cost of equity under both risk premium methods is then equal to the interest rate on
7 bond investments plus the risk premium. The CAPM assumes that the investor's
8 required rate of return on equity is equal to a risk-free rate of interest plus the product
9 of a company-specific risk factor, beta, and the expected risk premium on the market
10 portfolio.

11
12 **A. DISCOUNTED CASH FLOW METHOD**

13 **Q. Please describe the DCF model.**

14 **A.** The DCF model is based on the assumption that investors value an asset on the basis
15 of the future cash flows they expect to receive from owning the asset. Thus, investors
16 value an investment in a bond because they expect to receive a sequence of semi-
17 annual coupon payments over the life of the bond and a terminal payment equal to the
18 bond's face value at the time the bond matures. Likewise, investors value an
19 investment in a firm's stock because they expect to receive a sequence of dividend
20 payments and, perhaps, expect to sell the stock at a higher price sometime in the
21 future.

22 A second fundamental principle of the DCF method is that investors value a
23 dollar received in the future less than a dollar received today. A future dollar is
24 valued less than a current dollar because investors could invest a current dollar in an
25

1 interest earning account and increase their wealth. This principle is called the time
2 value of money.

3 Applying the two fundamental DCF principles noted above to an investment
4 in a bond leads to the conclusion that investors value their investment in the bond on
5 the basis of the present value of the bond's future cash flows. Thus, the price of the
6 bond should be equal to:

7 **EQUATION 1**

$$P_B = \frac{C}{(1+i)} + \frac{C}{(1+i)^2} + \dots + \frac{C+F}{(1+i)^n}$$

8
9 where:

10 P_B = Bond price;

11 C = Cash value of the coupon payment (assumed for notational
12 convenience to occur annually rather than semi-annually);

13 F = Face value of the bond;

14 i = The rate of interest the investor could earn by investing his money
15 in an alternative bond of equal risk; and

16 n = The number of periods before the bond matures.

17 Applying these same principles to an investment in a firm's stock suggests that the
18 price of the stock should be equal to:

19 **EQUATION 2**

$$P_s = \frac{D_1}{(1+k)} + \frac{D_2}{(1+k)^2} + \dots + \frac{D_n + P_n}{(1+k)^n}$$

20 where:

1 present value of a quarterly stream of dividend payments. A complete analysis of the
2 implications of the quarterly payment of dividends on the DCF model is provided in
3 Exhibit___(JVW-2, Appendix 2). For the reasons cited there, I employ the quarterly
4 DCF model throughout my calculations.

5

6 **Q. Please describe the quarterly DCF model you use.**

7 A. The quarterly DCF model I use is described on Exhibit ___(JVW-1, Schedule 1) and
8 in Exhibit___(JVW-2, Appendix 2). The quarterly DCF equation shows that the cost
9 of equity is: the sum of the future expected dividend yield and the growth rate, where
10 the dividend in the dividend yield is the equivalent future value of the four quarterly
11 dividends at the end of the year, and the growth rate is the expected growth in
12 dividends or earnings per share.

13

14 **Q. How do you estimate the quarterly dividend payments in your quarterly DCF
15 model?**

16 A. The quarterly DCF model requires an estimate of the dividends, d_1 , d_2 , d_3 , and d_4 ,
17 investors expect to receive over the next four quarters. I estimate the next four
18 quarterly dividends by multiplying the previous four quarterly dividends by the
19 factor, $(1 + \text{the growth rate}, g)$.

20

21 **Q. Can you illustrate how you estimate the next four quarterly dividends with data
22 for a specific company?**

23 A. Yes. In the case of ALLETE, the first company shown in Exhibit___(JVW-1,
24 Schedule 1), the last four quarterly dividends are each equal to .44. Thus dividends

25

1 d₁, d₂, d₃ and d₄ are equal to 0.463 [$.44 \times (1 + .0533) = 0.463$]. As noted previously,
2 the logic underlying this procedure is described in Exhibit___(JVW-2, Appendix 2.)
3

4 **Q. How do you estimate the growth component of the quarterly DCF model?**

5 A. I use the analysts' estimates of future earnings per share ("EPS") growth reported by
6 I/B/E/S Thomson Reuters.
7

8 **Q. What are the analysts' estimates of future EPS growth?**

9 A. As part of their research, financial analysts working at Wall Street firms periodically
10 estimate EPS growth for each firm they follow. The EPS forecasts for each firm are
11 then published. Investors who are contemplating purchasing or selling shares in
12 individual companies review the forecasts. These estimates represent three- to five-
13 year forecasts of EPS growth.
14

15 **Q. What is I/B/E/S?**

16 A. I/B/E/S is a division of Thomson Reuters that reports analysts' EPS growth forecasts
17 for a broad group of companies. The forecasts are expressed in terms of a mean
18 forecast and a standard deviation of forecast for each firm. Investors use the mean
19 forecast as an estimate of future firm performance.
20

21 **Q. Why do you use the I/B/E/S growth estimates?**

22 A. The I/B/E/S growth rates: (1) are widely circulated in the financial community,
23 (2) include the projections of reputable financial analysts who develop estimates of
24 future EPS growth, (3) are reported on a timely basis to investors, and (4) are widely
25 used by institutional and other investors.

1

2 **Q. Why do you rely on analysts' projections of future EPS growth in estimating the**
3 **investors' expected growth rate rather than relying on historical or retention**
4 **growth rates?**

5 A. I rely on analysts' projections of future EPS growth rather than historical or retention
6 growth rates because there is considerable empirical evidence that analysts' forecasts
7 are the best estimate of investors' expectation of future long-term growth. The
8 evidence that analysts' forecasts are the best estimate of investors' expectation of
9 future long-term growth is important because the DCF model requires the growth
10 expectations of investors.

11

12 **Q. Have you performed any studies concerning the use of analysts' forecasts as an**
13 **estimate of investors' expected growth rate, g?**

14 A. Yes, I prepared a study in conjunction with Willard T. Carleton, Professor of Finance
15 Emeritus at the University of Arizona, on why analysts' forecasts are the best
16 estimate of investors' expectation of future long-term growth. This study is described
17 in a paper entitled "Investor Growth Expectations and Stock Prices: the Analysts
18 versus History," published in *The Journal of Portfolio Management*.

19

20 **Q. Please summarize the results of your study.**

21 A. First, we performed a correlation analysis to identify the historically oriented growth
22 rates which best described a firm's stock price. Then we did a regression study
23 comparing the historical growth rates with the average I/B/E/S analysts' forecasts. In
24 every case, the regression equations containing the average of analysts' forecasts
25 statistically outperformed the regression equations containing the historical growth

1 estimates. These results are consistent with those found by Cragg and Malkiel, the
2 early major research in this area (John G. Cragg and Burton G. Malkiel, *Expectations*
3 *and the Structure of Share Prices*, University of Chicago Press, 1982). These results
4 are also consistent with the hypothesis that investors use analysts' forecasts, rather
5 than historically oriented growth calculations, in making stock buy and sell decisions.
6 They provide overwhelming evidence that the analysts' forecasts of future growth are
7 superior to historically-oriented growth measures in predicting a firm's stock price.
8

9 **Q. Has your study been updated to include more recent data?**

10 A. Yes. Researchers at State Street Financial Advisors updated my study using data
11 through year-end 2003. Their results continue to confirm that analysts' growth
12 forecasts are superior to historically-oriented growth measures in predicting a firm's
13 stock price.
14

15 **Q. What price do you use in your DCF model?**

16 A. I use a simple average of the monthly high and low stock prices for each firm for the
17 three-month period ending December 2010. These high and low stock prices were
18 obtained from Thomson Reuters.
19

20 **Q. Why do you use the three-month average stock price in applying the DCF**
21 **method?**

22 A. I use the three-month average stock price in applying the DCF method because stock
23 prices fluctuate daily, while financial analysts' forecasts for a given company are
24 generally changed less frequently, often on a quarterly basis. Thus, to match the
25

1 stock price with an earnings forecast, it is appropriate to average stock prices over a
2 three-month period.

3

4 **Q. Do you include an allowance for flotation costs in your DCF analysis?**

5 A. Yes. I include a five percent allowance for flotation costs in my DCF calculations. A
6 complete explanation of the need for flotation costs is contained in Exhibit___(JWV-
7 2, Appendix 3).

8

9 **Q. Please explain your inclusion of flotation costs.**

10 A. All firms that have sold securities in the capital markets have incurred some level of
11 flotation costs, including underwriters' commissions, legal fees, printing expense, etc.
12 These costs are withheld from the proceeds of the stock sale or are paid separately,
13 and must be recovered over the life of the equity issue. Costs vary depending upon
14 the size of the issue, the type of registration method used and other factors, but in
15 general these costs range between three and five percent of the proceeds from the
16 issue [see Lee, Inmoo, Scott Lochhead, Jay Ritter, and Quanshui Zhao, "The Costs of
17 Raising Capital," *The Journal of Financial Research*, Vol. XIX No 1 (Spring 1996),
18 59-74, and Clifford W. Smith, "Alternative Methods for Raising Capital," *Journal of*
19 *Financial Economics* 5 (1977) 273-307]. In addition to these costs, for large equity
20 issues (in relation to outstanding equity shares), there is likely to be a decline in price
21 associated with the sale of shares to the public. On average, the decline due to market
22 pressure has been estimated at two to three percent [see Richard H. Pettway, "The
23 Effects of New Equity Sales upon Utility Share Prices," *Public Utilities Fortnightly*,
24 May 10, 1984, 35—39]. Thus, the total flotation cost, including both issuance
25 expense and market pressure, could range anywhere from five to eight percent of the

1 proceeds of an equity issue. I believe a combined five percent allowance for flotation
2 costs is a conservative estimate that should be used in applying the DCF model in this
3 proceeding.

4
5 **Q. Is a flotation cost adjustment only appropriate if a company issues stock during**
6 **the test year?**

7 A. As described in Exhibit___(JWV-2, Appendix 3), a flotation cost adjustment is
8 required whether or not a company issues new stock during the test year. Previously
9 incurred flotation costs have not been recovered in previous rate cases; rather, they
10 are a permanent cost associated with past issues of common stock. Just as an
11 adjustment is made to the embedded cost of debt to reflect previously incurred debt
12 issuance costs (regardless of whether additional bond issuances were made in the test
13 year), so should an adjustment be made to the cost of equity regardless of whether a
14 company issues stock during the test year.

15

16 **Q. Does an allowance for recovery of flotation costs associated with stock sales in**
17 **prior years constitute retroactive rate-making?**

18 A. No. An adjustment for flotation costs on equity is not meant to recover any cost that
19 is properly assigned to prior years. In fact, the adjustment allows a company to
20 recover only the current carrying costs associated with flotation expenses incurred at
21 the time stock sales were made. The original flotation costs themselves will never be
22 recovered, because the stock is assumed to have an infinite life.

23

24 **Q. How do you apply the DCF approach to obtain the cost of equity capital for Gulf**
25 **Power?**

1 A. I apply the DCF approach to the Value Line electric companies shown in
2 Exhibit___(JVW-1, Schedule 1).

3

4 **Q. How do you select your proxy group of electric companies?**

5 A. I select all the companies in Value Line's groups of electric companies that: (1) paid
6 dividends during every quarter of the last two years; (2) did not decrease dividends
7 during any quarter of the past two years; (3) have at least three analysts included in
8 the I/B/E/S mean growth forecast; (4) have an investment grade bond rating and a
9 Value Line Safety Rank of 1, 2, or 3; and (5) are not the subject of a merger offer that
10 has not been completed.

11

12 **Q. Why do you eliminate companies that have either decreased or eliminated their**
13 **dividend in the past two years?**

14 A. The DCF model requires the assumption that dividends will grow at a constant rate
15 into the indefinite future. If a company has either decreased or eliminated its
16 dividend in recent years, an assumption that the company's dividend will grow at the
17 same rate into the indefinite future is questionable.

18

19 **Q. Why do you eliminate companies that have fewer than three analysts included in**
20 **the I/B/E/S mean forecasts?**

21 A. The DCF model also requires a reliable estimate of a company's expected future
22 growth. For most companies, the I/B/E/S mean growth forecast is the best available
23 estimate of the growth term in the DCF model. However, the I/B/E/S estimate may
24 be less reliable if the mean estimate is based on the inputs of very few analysts. On

25

1 the basis of my professional judgment, I believe that at least three analysts' estimates
2 are a reasonable minimum number.

3
4 **Q. Why do you eliminate companies that are being acquired in transactions that are
5 not yet completed?**

6 A. A merger announcement generally increases the target company's stock price, but not
7 the acquiring company's stock price. Analysts' growth forecasts for the target
8 company, on the other hand, are necessarily related to the company as it currently
9 exists. The use of a stock price that includes the growth-enhancing prospects of
10 potential mergers in conjunction with growth forecasts that do not include the growth-
11 enhancing prospects of potential mergers produces DCF results that tend to distort a
12 company's cost of equity.

13
14 **Q. Please summarize the results of your application of the DCF model to your
15 proxy company group.**

16 A. As shown on Exhibit___(JVW-1, Schedule 1), I obtain a market-weighted average
17 DCF result of 10.7 percent and a simple average result of 11.4 percent for my proxy
18 company group.

19
20 **B. RISK PREMIUM METHOD**

21 **Q. Please describe the risk premium method of estimating Gulf Power's cost of
22 equity.**

23 A. The risk premium method is based on the principle that investors expect to earn a
24 return on an equity investment in Gulf Power that reflects a "premium" over and
25 above the return they expect to earn on an investment in a portfolio of bonds. This

1 equity risk premium compensates equity investors for the additional risk they bear in
2 making equity investments versus bond investments.

3

4 **Q. Does the risk premium approach specify what debt instrument should be used to**
5 **estimate the interest rate component in the methodology?**

6 A. No. The risk premium approach can be implemented using virtually any debt
7 instrument. However, the risk premium approach does require that the debt
8 instrument used to estimate the risk premium be the same as the debt instrument used
9 to calculate the interest rate component of the risk premium approach. For example,
10 if the risk premium on equity is calculated by comparing the returns on stocks and the
11 returns on A-rated utility bonds, then the interest rate on A-rated utility bonds must be
12 used to estimate the interest rate component of the risk premium approach.

13

14 **Q. Does the risk premium approach require that the same companies be used to**
15 **estimate the stock return as are used to estimate the bond return?**

16 A. No. For example, many analysts apply the risk premium approach by comparing the
17 return on a portfolio of stocks to the return on Treasury securities such as long-term
18 Treasury bonds. Clearly, in this widely-accepted application of the risk premium
19 approach, the same companies are not used to estimate the stock return as are used to
20 estimate the bond return, since the U.S. government is not a company.

21

22 **Q. How do you measure the required risk premium on an equity investment in Gulf**
23 **Power?**

24

25

1 A. I use two methods to estimate the required risk premium on an equity investment in
 2 Gulf Power. The first is called the ex ante risk premium method and the second is
 3 called the ex post risk premium method.

4

5 **1. EX ANTE RISK PREMIUM METHOD**

6 **Q. Please describe your ex ante risk premium approach for measuring the required**
 7 **risk premium on an equity investment in Gulf Power.**

8 A. My ex ante risk premium method is based on studies of the DCF expected return on a
 9 proxy group of electric companies compared to the interest rate on Moody's A-rated
 10 utility bonds. Specifically, for each month in my study period, I calculate the risk
 11 premium using the equation,

$$12 \quad RP_{\text{PROXY}} = DCF_{\text{PROXY}} - I_A$$

13 where:

14 RP_{PROXY} = the required risk premium on an equity investment in the proxy
 15 group of companies;

16 DCF_{PROXY} = average DCF estimated cost of equity on a portfolio of proxy
 17 companies; and

18 I_A = the yield to maturity on an investment in A-rated utility bonds.

19 I then perform a regression analysis to determine if there is a relationship between the
 20 calculated risk premium and interest rates. Finally, I use the results of the regression
 21 analysis to estimate the investors' required risk premium. To estimate the cost of
 22 equity, I then add the required risk premium to the forecasted interest rate on A-rated
 23 utility bonds. A detailed description of my ex ante risk premium studies is contained
 24 in Exhibit___(JVW-2, Appendix 4), and the underlying DCF results and interest rates
 25 are displayed in Exhibit___(JVW-1, Schedule 2).

1

2 **Q. What cost of equity do you obtain from your ex ante risk premium method?**

3 A. To estimate the cost of equity using the ex ante risk premium method, one may add
4 the estimated risk premium over the yield on A-rated utility bonds to the forecasted
5 yield to maturity on A-rated utility bonds. As noted above, one could use the yield to
6 maturity on other debt investments to measure the interest rate component of the risk
7 premium approach as long as one uses the yield on the same debt investment to
8 measure the expected risk premium component of the risk premium approach. I
9 choose to use the yield on A-rated utility bonds because it is a frequently-used
10 benchmark for utility bond yields. The forecasted yield to maturity on A-rated utility
11 bonds, 6.15 percent, is obtained by adding the fifty-five-basis point spread between
12 the average December 2010 yield on AAA-rated corporate bonds (5.02 percent) and
13 A-rated utility bonds (5.57 percent) to Value Line's forecasted 5.6 percent yield on
14 AAA-rated corporate bonds (see Value Line Selection & Opinion, November 26,
15 2010, pp. 2534-2535). My analyses produce an estimated risk premium over the
16 yield on A-rated utility bonds equal to 4.90 percent. Adding an estimated risk
17 premium of 4.90 percent to the 6.15 percent forecasted yield to maturity on A-rated
18 utility bonds produces a cost of equity estimate of 11.0 percent using the ex ante risk
19 premium method.

20

21 **2. EX POST RISK PREMIUM METHOD**

22 **Q. Please describe your ex post risk premium method for measuring the required**
23 **risk premium on an equity investment in Gulf Power.**

24 A. I first perform a study of the comparable returns received by bond and stock investors
25 over the seventy-three years of my study. I estimate the returns on stock and bond

1 portfolios, using stock price and dividend yield data on the S&P 500 and bond yield
2 data on Moody's A-rated Utility Bonds. My study consists of making an investment
3 of one dollar in the S&P 500 and Moody's A-rated utility bonds at the beginning of
4 1937, and reinvesting the principal plus return each year to 2010. The return
5 associated with each stock portfolio is the sum of the annual dividend yield and
6 capital gain (or loss) which accrued to this portfolio during the year(s) in which it was
7 held. The return associated with the bond portfolio, on the other hand, is the sum of
8 the annual coupon yield and capital gain (or loss) which accrued to the bond portfolio
9 during the year(s) in which it was held. The resulting annual returns on the stock and
10 bond portfolios purchased in each year between 1937 and 2010 are shown on
11 Exhibit__(JVW-1, Schedule 3). The average annual return on an investment in the
12 S&P 500 stock portfolio is 11.06 percent, while the average annual return on an
13 investment in the Moody's A-rated utility bond portfolio is 6.42 percent. The risk
14 premium on the S&P 500 stock portfolio is, therefore, 4.64 percent.

15 I also conduct a second study using stock data on the S&P Utilities rather than
16 the S&P 500. As shown on Exhibit__(JVW-1, Schedule 4, the S&P Utility stock
17 portfolio shows an average annual return of 10.5 percent per year. Thus, the return on
18 the S&P Utility stock portfolio exceeds the return on the Moody's A-rated utility
19 bond portfolio by 4.1 percent.

20
21 **Q. Why is it appropriate to perform your ex post risk premium analysis using both**
22 **the S&P 500 and the S&P Utilities stock indices?**

23 **A. I perform my ex post risk premium analysis on both the S&P 500 and the S&P**
24 **Utilities Stock Indices because I believe electric energy companies today face risks**
25 **that are somewhere in between the average risk of the S&P Utilities and the S&P 500**

1 Stock Indices over the years 1937 to 2010. Thus, I use the average of the two
2 historically-based risk premiums as my estimate of the required risk premium for
3 Gulf Power in my ex post risk premium method.
4

5 **Q. Why do you analyze investors' experiences over such a long time frame?**

6 A. Because day-to-day stock price movements can be somewhat random, it is
7 inappropriate to rely on short-run movements in stock prices in order to derive a
8 reliable risk premium. Rather than buying and selling frequently in anticipation of
9 highly volatile price movements, most investors employ a strategy of buying and
10 holding a diversified portfolio of stocks. This buy-and-hold strategy will allow an
11 investor to achieve a much more predictable long-run return on stock investments and
12 at the same time will minimize transaction costs. The situation is very similar to the
13 problem of predicting the results of coin tosses. I cannot predict with any reasonable
14 degree of accuracy the result of a single, or even a few, flips of a balanced coin; but I
15 can predict with a good deal of confidence that approximately 50 heads will appear in
16 100 tosses of this coin. Under these circumstances, it is most appropriate to estimate
17 future experience from long-run evidence of investment performance.
18

19 **Q. Would your study provide a different risk premium if you were to begin with a
20 different time period?**

21 A. Yes. Risk premium results vary somewhat depending on the historical time period
22 chosen. My policy is to go back as far as it is possible to obtain reliable data. I
23 believe it to be most meaningful to begin after the passage and implementation of the
24 Public Utility Holding Company Act of 1935, which significantly changed the
25 structure of the public utility industry. Since the Public Utility Holding Company Act

1 of 1935 was not implemented until the beginning of 1937, I believe that numbers
2 taken from before this date are not comparable to those taken after. (The repeal of the
3 1935 Act has not materially impacted the structure of the public utility industry; thus,
4 the Act's repeal does not have any impact on my choice of time period.)
5

6 **Q. Why is it necessary to examine the yield from debt investments in order to**
7 **determine the investors' required rate of return on equity capital?**

8 A. As previously explained, investors expect to earn a return on their equity investment
9 that exceeds currently available bond yields. This is because the return on equity,
10 being a residual return, is less certain than the yield on bonds and investors must be
11 compensated for this uncertainty. Second, the investors' current expectations
12 concerning the amount by which the return on equity will exceed the bond yield will
13 be strongly influenced by historical differences in returns to bond and stock investors.
14 For these reasons, we can estimate investors' current expected returns from an equity
15 investment from knowledge of current bond yields and past differences between
16 returns on stocks and bonds.
17

18 **Q. Is there any significant trend in the equity risk premium over the 1937 to 2010**
19 **time period of your risk premium study?**

20 A. No. Statisticians test for trends in data series by regressing the data observations
21 against time. I perform such a time series regression on my two data sets of historical
22 risk premiums. As shown below, there is no statistically significant trend in my risk
23 premium data. Indeed, the coefficient on the time variable is insignificantly different
24 from zero (if there were a trend, the coefficient on the time variable should be
25 significantly different from zero).

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

TABLE 1
REGRESSION OUTPUT FOR RISK PREMIUM ON S&P 500

LINE NO.		INTERCEPT	TIME	ADJUSTED R SQUARE	F
1	Coefficient	2.691	(0.001)	0.015	2.07
2	T Statistic	1.465	(1.440)		

TABLE 2
REGRESSION OUTPUT FOR RISK PREMIUM ON S&P UTILITIES

LINE NO.		INTERCEPT	TIME	ADJUSTED R SQUARE	F
1	Coefficient	1.784	(0.001)	0.002	1.12
2	T Statistic	1.085	(1.060)		

Q. Do you have any other evidence that there has been no significant trend in risk premium results over time?

A. Yes. The *Ibbotson[®] SBBI[®] 2010 Valuation Yearbook* ("SBBI") published by Morningstar, Inc., contains an analysis of "trends" in historical risk premium data. SBBI uses correlation analysis to determine if there is any pattern or "trend" in risk premiums over time. This analysis also demonstrates that there are no trends in risk premiums over time.

Q. What is the significance of the evidence that historical risk premiums have no trend or other statistical pattern over time?

A. The significance of this evidence is that the average historical risk premium is a reasonable estimate of the future expected risk premium. As noted in SBBI:

The significance of this evidence is that the realized equity risk premium next year will not be dependent on the realized equity risk premium from this year. That is, there is no discernable pattern in the realized equity risk premium—it is virtually impossible to forecast next year's realized risk premium based on the premium of the

1 previous year. For example, if this year's difference between the
 2 riskless rate and the return on the stock market is higher than last
 3 year's, that does not imply that next year's will be higher than this
 4 year's. It is as likely to be higher as it is lower. The best estimate of
 5 the expected value of a variable that has behaved randomly in the past
 6 is the average (or arithmetic mean) of its past values. [SBBI, page 58.]
 7

8 **Q. What conclusions do you draw from your ex post risk premium analyses about**
 9 **the required return on an equity investment in Gulf Power?**

10 A. My studies provide strong evidence that investors today require an equity return of
 11 approximately 4.1 to 4.6 percentage points above the expected yield on A-rated utility
 12 bonds. The forecast yield on A-rated utility bonds at 2010 is 6.15 percent. Adding a
 13 4.1 to 4.6 percentage point risk premium to a yield of 6.15 percent on A-rated utility
 14 bonds, I obtain an expected return on equity in the range 10.2 percent to 10.8 percent,
 15 with a midpoint of 10.5 percent. Adding a twenty-six basis-point allowance for
 16 flotation costs, I obtain an estimate of 10.8 percent as the ex post risk premium cost of
 17 equity for Gulf Power. I determine the flotation cost allowance by calculating the
 18 difference in my DCF results with and without a flotation cost allowance.
 19

20 **C. CAPITAL ASSET PRICING MODEL**

21 **Q. What is the CAPM?**

22 A. The CAPM is an equilibrium model of the security markets in which the expected or
 23 required return on a given security is equal to the risk-free rate of interest, plus the
 24 company equity "beta," times the market risk premium:

25
$$\text{Cost of equity} = \text{Risk-free rate} + \text{Equity beta} \times \text{Market risk premium}$$

1 The risk-free rate in this equation is the expected rate of return on a risk-free
2 government security, the equity beta is a measure of the company's risk relative to the
3 market as a whole, and the market risk premium is the premium investors require to
4 invest in the market basket of all securities compared to the risk-free security.

5
6 **Q. How do you use the CAPM to estimate the cost of equity for your proxy
7 companies?**

8 **A.** The CAPM requires an estimate of the risk-free rate, the company-specific risk factor
9 or beta, and the expected return on the market portfolio. For my estimate of the risk-
10 free rate, I use the forecasted yield to maturity on 20-year Treasury bonds of
11 4.8 percent, using data from Value Line. I use the 20-year Treasury bond to estimate
12 the risk-free rate because SBBI estimates the risk premium using 20-year Treasury
13 bonds, and one should use the same maturity to estimate the risk-free rate as is used
14 to estimate the risk premium on the market portfolio. Value Line projects a yield on
15 long-term Treasury bonds at 2012 equal to 4.7 percent. The current spread between
16 the average December yield on 30-year Treasury bonds (4.42 percent) and 20-year
17 Treasury bonds (4.17 percent) is twenty-five basis points. Subtracting twenty-five
18 basis points from the 4.7 percent forecasted yield on long-term Treasury bonds
19 produces a forecasted yield of 4.45 percent for 20-year Treasury bonds (see Value
20 Line Investment Survey, Selection & Opinion, November 26, 2010, p. 2534 – 2535).

21 For my estimate of the company-specific risk, or beta, I use the average 0.67
22 Value Line beta for my proxy electric companies. For my estimate of the expected
23 risk premium on the market portfolio, I use two approaches. First, I estimate the risk
24 premium on the market portfolio using historical risk premium data reported by
25 SBBI. Second, I estimate the risk premium on the market portfolio from the

1 difference between the DCF cost of equity for the S&P 500 and the forecasted yield
2 to maturity on 20-year Treasury bonds.

3
4 **1. HISTORICAL CAPM**

5 **Q. How do you estimate the expected risk premium on the market portfolio using**
6 **historical risk premium data reported by SBBI?**

7 A. I estimate the expected risk premium on the market portfolio by calculating the
8 difference between the arithmetic mean return on the S&P 500 from 1926 through
9 2009 (11.8 percent) and the average income return on 20-year U.S. Treasury bonds
10 over the same period (5.2 percent) (*see* Ibbotson[®] SBBI[®] 2010 Valuation Yearbook,
11 p. 23, published by Morningstar[®]). Thus, my historical risk premium method
12 produces a risk premium of 6.7 percent ($11.8 - 5.2 = 6.7$) (apparent discrepancy due
13 to rounding).

14
15 **Q. Why do you recommend that the risk premium on the market portfolio be**
16 **estimated using the arithmetic mean return on the S&P 500?**

17 A. As explained in SBBI, the arithmetic mean return is the best approach for calculating
18 the return investors expect to receive in the future:

19 The equity risk premium data presented in this book are arithmetic
20 average risk premia as opposed to geometric average risk premia. The
21 arithmetic average equity risk premium can be demonstrated to be
22 most appropriate when discounting future cash flows. For use as the
23 expected equity risk premium in either the CAPM or the building
24 block approach, the arithmetic mean or the simple difference of the
25 arithmetic means of stock market returns and riskless rates is the

1 relevant number. This is because both the CAPM and the building
2 block approach are additive models, in which the cost of capital is the
3 sum of its parts. The geometric average is more appropriate for
4 reporting past performance, since it represents the compound average
5 return. [SBBI, p. 56.]

6 A discussion of the importance of using arithmetic mean returns in the context of
7 CAPM or risk premium studies is contained in Exhibit____(JVW-1, Schedule 5).

8 **Q. Why do you recommend that the risk premium on the market portfolio be**
9 **measured using the income return on 20-year Treasury bonds rather than the**
10 **total return on these bonds?**

11 A. As discussed above, the CAPM requires an estimate of the risk-free rate of interest.
12 When Treasury bonds are issued, the income return on the bond is risk free, but the
13 total return, which includes both income and capital gains or losses, is not. Thus, the
14 income return should be used in the CAPM because it is only the income return that is
15 risk free.

16
17 **Q. What CAPM result do you obtain when you estimate the expected risk premium**
18 **on the market portfolio from the arithmetic mean difference between the return**
19 **on the market and the yield on 20-year Treasury bonds?**

20 A. Using a risk-free rate equal to 4.45 percent, a beta equal to 0.67, a risk premium on
21 the market portfolio equal to 6.7 percent, and a flotation cost allowance of 26 basis
22 points, I obtain an historical CAPM estimate of the cost of equity equal to 9.2 percent
23 (4.45 + 0.67 x 6.7 + 0.26 = 9.2), see Exhibit____(JVW-1, Schedule 6).

24
25

1 Q. Is there any evidence from the finance literature that the application of the
2 historical CAPM may underestimate the cost of equity?

3 A. Yes. There is substantial evidence that: (1) the historical CAPM tends to
4 underestimate the cost of equity for companies whose equity beta is less than 1.0; and
5 (2) the CAPM is less reliable the further the estimated beta is from 1.0.

6

7 Q. What is the evidence that the CAPM tends to underestimate the cost of equity
8 for companies with betas less than 1.0 and is less reliable the further the
9 estimated beta is from 1.0?

10 A. The original evidence that the unadjusted CAPM tends to underestimate the cost of
11 equity for companies whose equity beta is less than 1.0 and is less reliable the further
12 the estimated beta is from 1.0 was presented in a paper by Black, Jensen, and Scholes
13 (1972), "The Capital Asset Pricing Model: Some Empirical Tests." Numerous
14 subsequent papers have validated the Black, Jensen, and Scholes findings, including
15 those by Litzenberger and Ramaswamy (1979), Banz (1981), Fama and French
16 (1992), Fama and French (2004), Fama and MacBeth (1973), and Jegadeesh and
17 Titman (1993).¹

18

19 Q. Can you briefly summarize these articles?


¹ Fischer Black, Michael C. Jensen, and Myron Scholes, "The Capital Asset Pricing Model: Some Empirical Tests," in *Studies in the Theory of Capital Markets*, M. Jensen, ed. New York: Praeger, 1972; Eugene Fama and James MacBeth, "Risk, Return, and Equilibrium: Empirical Tests," *Journal of Political Economy* 81 (1973), pp. 607-36; Robert Litzenberger and Krishna Ramaswamy, "The Effect of Personal Taxes and Dividends on Capital Asset Prices: Theory and Empirical Evidence," *Journal of Financial Economics* 7 (1979), pp. 163-95.; Rolf Banz, "The Relationship between Return and Market Value of Common Stocks," *Journal of Financial Economics* (March 1981), pp. 3-18; Eugene F. Fama and Kenneth R. French, "The Cross-Section of Expected Returns," *Journal of Finance* (June 1992), 47:2, pp. 427-465; Eugene F. Fama and Kenneth R. French, "The Capital Asset Pricing Model: Theory and Evidence," *The Journal of Economic Perspectives* (Summer 2004), 18:3, pp. 25 - 46; Narasimhan Jegadeesh and Sheridan Titman, "Returns to Buying Winners and Selling Losers: Implications for Stock Market Efficiency," *The Journal of Finance*, Vol. 48, No. 1. (Mar., 1993), pp. 65-91.

1 A. Yes. The CAPM conjectures that security returns increase with increases in security
 2 betas in line with the equation

$$3 \quad ER_i = R_f + \beta_i [ER_m - R_f],$$

4 where ER_i is the expected return on security or portfolio i , R_f is the risk-free rate, ER_m
 5 $- R_f$ is the expected risk premium on the market portfolio, and β_i is a measure of the
 6 risk of investing in security or portfolio i (see Figure 1 below).

7
 8
 9



10

11 Financial scholars have studied the relationship between estimated portfolio betas and
 12 the achieved returns on the underlying portfolio of securities to test whether the
 13 CAPM correctly predicts achieved returns in the marketplace. They find that the
 14 relationship between returns and betas is inconsistent with the relationship posited by
 15 the CAPM. As described in Fama and French (1992) and Fama and French (2004),
 16 the actual relationship between portfolio betas and returns is shown by the dotted line
 17 in Figure 1 above. Although financial scholars disagree on the reasons why the
 18 return/beta relationship looks more like the dotted line in Figure 1 than the straight
 19 line, they generally agree that the dotted line lies above the straight line for portfolios

1 with betas less than 1.0 and below the straight line for portfolios with betas greater
2 than 1.0. Thus, in practice, scholars generally agree that the CAPM underestimates
3 portfolio returns for companies with betas less than 1.0 and is less reliable the further
4 the estimated beta is from 1.0.

5

6 **Q. Do you have additional evidence that the CAPM tends to underestimate the cost**
7 **of equity for utility companies with average betas less than 1.0?**

8 A. Yes. As shown in Exhibit___(JWV-1, Schedule 7), over the period 1937 through
9 2009, investors in the S&P Utilities Stock Index have earned a risk premium over the
10 yield on long-term Treasury bonds equal to 5.06 percent, while investors in the S&P
11 500 have earned a risk premium over the yield on long-term Treasury bonds equal to
12 5.64 percent. According to the CAPM, investors in utility stocks should expect to
13 earn a risk premium over the yield on long-term Treasury securities equal to the
14 average utility beta times the expected risk premium on the S&P 500. Thus, the ratio
15 of the risk premium on the utility portfolio to the risk premium on the S&P 500
16 should equal the utility beta. However, the average utility beta at the time of my
17 studies is approximately 0.67, whereas the historical ratio of the utility risk premium
18 to the S&P 500 risk premium is 0.90 ($5.06 \div 5.64 = 0.90$). In short, an application of
19 the historical CAPM at this time significantly underestimates the cost of equity for
20 utility companies with an average beta less than 1.0.

21

22 **Q. What conclusions do you draw from your review of the CAPM literature and the**
23 **evidence that utility betas are significantly less than the historical ratio of the**
24 **utility risk premium to the S&P 500 risk premium?**

25

1 A. I conclude that the CAPM underestimates the cost of equity for companies with betas
2 significantly less than 1.0 and is less reliable the further the estimated beta is from
3 1.0. I also conclude that stock market activity can greatly affect betas. The
4 significant volatility in the stock market in the last two years has led to a steep drop in
5 utility betas. The drop in utility betas is important because the further the beta is from
6 1.0, the less reliable are the results of applying the CAPM to low beta companies such
7 as utilities. Given that the average beta for my proxy group of electric utilities is
8 0.67, I conclude that the cost of equity model results from applying the CAPM should
9 be given little or no weight for the purpose of estimating Gulf Power's cost of equity
10 in this proceeding.
11

12 2. DCF-BASED CAPM

13 Q. How does your DCF-Based CAPM differ from your historical CAPM?

14 A. As noted above, my DCF-based CAPM differs from my historical CAPM only in the
15 method I use to estimate the risk premium on the market portfolio. In the historical
16 CAPM, I use historical risk premium data to estimate the risk premium on the market
17 portfolio. In the DCF-based CAPM, I estimate the risk premium on the market
18 portfolio from the difference between the DCF cost of equity for the S&P 500 and the
19 forecasted yield to maturity on 20-year Treasury bonds.
20

21 Q. What risk premium do you obtain when you calculate the difference between the
22 DCF-return on the S&P 500 and the risk-free rate?

23 A. Using this method, I obtain a risk premium on the market portfolio equal to
24 8.85 percent [see Exhibit____(JVW-1, Schedule 8)].
25

1 Q. What CAPM result do you obtain when you estimate the expected return on the
2 market portfolio by applying the DCF model to the S&P 500?

3 A. Using a risk-free rate of 4.45 percent, a beta of 0.67, a risk premium on the market
4 portfolio of 8.85 percent, and a flotation cost allowance of 26 basis points, I obtain a
5 CAPM result of 10.7 percent (apparent discrepancy due to rounding).

6

7 Q. Recognizing that the CAPM underestimates the cost of equity for companies
8 such as your proxy companies with betas significantly less than 1.0, how do you
9 recommend that the Commission consider your CAPM cost of equity results in
10 this proceeding?

11 A. Given that the CAPM underestimates the cost of equity for companies such as my
12 proxy companies with betas significantly less than 1.0, I recommend that the
13 Commission give little or no weight to the cost of equity results obtained from my
14 CAPM analyses at this time.

15

16 VI. FAIR RATE OF RETURN ON EQUITY

17 Q. Based on your application of several cost of equity methods to your proxy
18 companies, what is your conclusion regarding your proxy companies' cost of
19 equity?

20 A. Based on my application of several cost of equity methods to my proxy companies, I
21 conclude that my proxy companies' cost of equity is 10.8 percent. As shown in the
22 table below, 10.8 percent is the simple average of my DCF, ex ante risk premium, and
23 ex post risk premium results.

**TABLE 3
COST OF EQUITY MODEL RESULTS**

METHOD	MODEL RESULT
Discounted Cash Flow	10.7%
Ex Ante Risk Premium	11.0%
Ex Post Risk Premium	10.8%
Average	10.8%

1
2

3

4 **Q. Does your conclusion that the cost of equity for your proxy group is 10.8 percent**
5 **depend on the percentages of debt and equity in your proxy companies' average**
6 **capital structure?**

7 **A. Yes. The 10.8 percent cost of equity results for my proxy group reflects the financial**
8 **risk associated with the average market value capital structure of my comparable**
9 **company group. If Gulf Power's ratemaking, or book value capital structure, is used**
10 **to set rates, the cost of equity for Gulf Power will necessarily be higher than the cost**
11 **of equity for the proxy group because the financial risk associated with Gulf Power's**
12 **book value capital structure is greater than the financial risk reflected in the cost of**
13 **equity estimate for my proxy company group (See Section II above for a discussion**
14 **of why investors use market value capital structure weights to assess a company's**
15 **financial risk).**

16

17 **Q. What are the percentages of debt and equity in your proxy companies'**
18 **composite capital structures?**

19 **A. As shown in Exhibit___(JVW-1, Schedule 9), my electric company group has a**
20 **composite capital structure containing approximately 4.59 percent short-term debt,**
21 **39.77 percent long-term debt, 0.56 percent preferred equity, and 55.08 percent**
22 **common equity.**

1

2 **Q. How does Gulf Power's rate making capital structure for the purpose of rate**
3 **setting in this proceeding compare to the average capital structure of your proxy**
4 **companies?**

5 A. Gulf Power's rate making capital structure contains 1.29 percent short-term debt,
6 47.21 percent long-term debt, 5.24 percent preferred equity, and 46.26 percent
7 common equity. Although this capital structure contains an appropriate mix of debt
8 and equity and is a reasonable capital structure for ratemaking purposes, from an
9 investor's viewpoint, Gulf Power's ratemaking capital structure embodies greater
10 financial risk than is reflected in my cost of equity estimates from my proxy
11 companies.

12

13 **Q. You discuss above that the cost of equity depends on a company's capital**
14 **structure. Is there any way to adjust the 10.8 percent cost of equity for your**
15 **proxy companies to reflect the higher financial risk of Gulf Power's rate making**
16 **capital structure in this proceeding?**

17 A. Yes. Since my proxy groups are similar in risk to Gulf Power, Gulf Power should
18 have the same weighted average cost of capital as my proxy companies. One may
19 easily determine the cost of equity Gulf Power would need in order to have the same
20 weighted average cost of capital as my proxy companies.

21

22 **Q. Do you perform such a calculation?**

23 A. Yes. I adjust the 10.8 percent average cost of equity for my proxy groups by
24 recognizing that to attract capital, Gulf Power must have the same weighted average
25 cost of capital as my proxy group. My analysis, which is shown on Exhibit ___

1 (JVW-1, Schedule 10), indicates that Gulf Power would require a fair rate of return
2 on equity equal to 11.7 percent in order to have the same weighted average cost of
3 capital as my proxy companies.

4

5 **Q. What cost of equity do you recommend in this proceeding?**

6 **A.** I recommend a cost of equity equal to 11.7 percent.

7

8 **Q. Does this conclude your pre-filed direct testimony?**

9 **A.** Yes, it does.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 CONTINUED DIRECT EXAMINATION

2 BY MR. MELSON:

3 Q And did you have two exhibits attached to your
4 testimony, Exhibit JW-1 consisting of ten schedules and
5 Exhibit JW-2 consisting of five appendices?

6 A Yes, I did.

7 Q Do you have any changes or corrections to
8 those exhibits?

9 A No, I do not.

10 MR. MELSON: Just for the record,
11 Mr. Chairman, those have been marked as Exhibits 11
12 and 12 on the consolidated exhibit list.

13 CHAIRMAN GRAHAM: Noted.

14 (Exhibit Nos. 11 and 12 were marked for
15 identification.)

16 BY MR. MELSON:

17 Q Dr. Vander Weide, would you please give a
18 brief summary of your testimony?

19 A Yes. My name is James H. Vander Weide and I
20 am Research Professor of Finance and Economics at Duke
21 University. I have a bachelor's degree in economics
22 from Cornell University and a Ph.D. in finance from
23 Northwestern University. I have published research in
24 the areas of finance and economics and have taught
25 courses in these areas for over 35 years. I'm now

1 retired from my teaching duties at Duke.

2 As an expert on financial and economic theory
3 and practice, including cost of capital and capital
4 structure, I have testified in several hundred legal and
5 regulatory proceedings. The purpose of my testimony is
6 to prepare an independent appraisal of Gulf Power's cost
7 of equity and to recommend a rate of return on equity
8 that is fair that allows Gulf Power to attract capital
9 and that allows Gulf Power to maintain its financial
10 integrity.

11 I estimated Gulf Power's cost of equity in two
12 steps. First I applied several standard costs of equity
13 methodologies to a large proxy group of comparable
14 companies, including both the discounted cash flow
15 approach and the risk premium approach.

16 My application of the DCF or discounted cash
17 flow method, produces a cost of equity of 10.7 percent.
18 My application of the ex-anti and ex-post risk premium
19 methods produced cost of equity results equal to
20 11 percent and 10.8 percent. The average of the DCF and
21 risk premium results is 10.8 percent.

22 Second, I adjust the average cost of equity
23 from my comparable companies to reflect the difference
24 in the financial risk of my comparable companies as
25 measured in the marketplace and the financial risk

1 implied by Gulf Power's rate-making capital structure.
2 Such a step is necessary because the 10.8 percent cost
3 of equity from my comparable companies depends on their
4 financial risk, which is measured by the market values
5 of debt and equity in their capital structures.

6 However, my estimated cost of equity is
7 applied to Gulf Power's rate-making capital structure,
8 and Gulf Power's rate-making capital structure contains
9 less equity than the average market value capital
10 structure of my comparable companies; thus, the
11 financial risk of Gulf Power is greater than the
12 financial risk of my comparable companies. Adjusting
13 the cost of equity for my comparable companies to
14 reflect this difference in financial risk produces a
15 cost of equity of 11.7 percent for Gulf Power.

16 MR. MELSON: Mr. Chairman, we tender the
17 witness for cross examination.

18 CHAIRMAN GRAHAM: Thank you very much.

19 Mr. McGlothlin.

20 MR. MCGLOTHLIN: Mr. Chairman, we do have
21 several documents that I will be referring to
22 during cross. If it's appropriate, I will have
23 someone pass these out.

24 CHAIRMAN GRAHAM: Please.

25 Mr. McGlothlin, do you have a specific order

1 on these or --

2 MR. McGLOTHLIN: I do have a specific order.
3 If it's all right, I'll bring it up one at a time
4 when we get to that point on cross.

5 CHAIRMAN GRAHAM: Sure.

6 CROSS EXAMINATION

7 BY MR. McGLOTHLIN:

8 Q Mr. Vander Weide, I'm Joe McGlothlin, I'm with
9 the Office of Public Counsel.

10 A Good afternoon, sir.

11 Q I've been practicing the pronunciation of your
12 name and I'll be glad to help you with McGlothlin if you
13 need any.

14 A I think I got the easier task there.

15 Q My first questions relate to your application
16 of the DCF method to the derivation of the return on
17 equity. One component of that analysis is the
18 quantification of a dividend as an input; is that
19 correct?

20 A Yes, it is.

21 Q And you chose to employ a model that assumes
22 quarterly dividend payments, do you not?

23 A Yes, I do.

24 Q And that's one difference between your
25 approach and Dr. Woolridge's approach, correct?

1 A Yes.

2 Q I want to pose an illustration to you. Assume
3 that a corporation pays dividends quarterly, the
4 quarterly dividend is \$1 and the growth rate is
5 specified as 10 percent, the growth rate of -- dividend
6 growth rate is 10 percent.

7 Would you agree with me that during the course
8 of the year an investor owning a share of the stock in
9 that company would receive \$4 in dividends?

10 A I'm sorry, I'm going to have to write that
11 down, I believe. You said that the dividend was \$1?

12 Q The quarterly dividend is \$1.

13 A Okay. And there are four such dividends a
14 year?

15 Q Yes.

16 A And what was your second assumption?

17 Q The growth rate in growth dividends is
18 10 percent.

19 A Yes.

20 Q How much would an investor receive in
21 dividends per share over the course of the year?

22 A I would have to have a calculator to do that
23 math. It would be --

24 CHAIRMAN GRAHAM: There's one right by you to
25 the right.

1 THE WITNESS: It would be an annual growth
2 rate you're saying?

3 BY MR. MCGLOTHLIN:

4 **Q Yes.**

5 **Let me ask a different question, Dr. Vander**
6 **Weide. I didn't mean to ask for something that required**
7 **a calculation.**

8 **As I understand it, as you apply the quarterly**
9 **DCF model, you assume that the amount of the quarterly**
10 **dividend receives the growth rate and is compounded**
11 **throughout the year, do you not?**

12 A I assume that we take the last four quarterly
13 dividends and that each of those growth rates get --
14 grow by the growth rate to give you the next four
15 quarterly dividends. So if one looked at -- if we were
16 looking in investing in the stock on January 1, I would
17 look at the four quarterly dividends in the prior year,
18 and to estimate the next four quarterly dividends I
19 would take the last four quarterly dividends and
20 multiply by one plus the growth rate.

21 Now, if the dividends were the same in each of
22 the four quarters last year, then they would all just
23 rise by the growth rate to get the four quarterly
24 dividends next year.

25 **Q If all the dividends were the same throughout**

1 the year, in my example the investor would receive \$4,
2 correct?

3 A Yes.

4 Q Now, assume that the investor -- as the
5 investor receives the quarterly payment of \$1 each,
6 invests those dividend payments in a mutual fund, is it
7 fair to assume that the investor would receive a return
8 on that investment per quarter?

9 A They may or they may not. They would expect
10 hopefully to get some return, but we don't know whether
11 they would or wouldn't.

12 Q Okay. Let's change the example to a CD.
13 Would they expect -- would they get a return on that
14 investment?

15 A Currently it would be pretty close to zero,
16 but they would -- it would be a return of about less
17 than half of 1 percent, maybe less than a quarter of
18 1 percent.

19 Q Assume the investor receives the quarterly
20 dividends and uses those dividend payments to apply
21 towards quarterly tax liability, would that investor
22 benefit in the form of a lower liability as the investor
23 receives the quarterly payouts?

24 A They would presumably get it if they -- I'm
25 not sure what they would get if they applied it toward

1 their tax liability. You're saying that they would owe
2 quarterly taxes and they would just pay the -- use the
3 dividends to pay part of their taxes for those -- each
4 of those quarters?

5 **Q And in that event, their tax liability would**
6 **be reduced by the amount of the quarterly dividend that**
7 **they applied for that purpose, correct?**

8 A Right.

9 So that's your assumption, and are you going
10 to ask me a question now about that?

11 **Q It wasn't an assumption; it was a question.**

12 A Well, I don't understand the question.

13 **Q Okay. The question is if the investor**
14 **received quarterly dividends and used the quarterly**
15 **dividend payments to pay towards the estimated taxes,**
16 **would the investor see a reduced tax liability as a**
17 **result of the application of the dividends for that**
18 **purpose?**

19 A They would have a reduced tax liability.
20 However, the assumption of the discounted cash flow
21 model is that you would invest those dividends in
22 another investment of the same risk so that it would
23 have the same expected return as the company, and that's
24 built into the discounting assumption.

25 That is, when you discount by the cost of

1 capital, it's assumed that that's the return you could
2 get on all other investments of the same risk. So you
3 could either get that by leaving it in the company or
4 you could get it on other investments of the same risk,
5 but that's the return you get on all investments with
6 that degree of risk.

7 **Q I understood your answer just said the**
8 **investor could receive the return by leaving it in the**
9 **company or by investing in something of the same risk,**
10 **correct?**

11 **A That's built into the assumption of the DCF**
12 **model that when you discount by the -- when you discount**
13 **the expected cash flows by the cost to capital, it's**
14 **assumed that that's the rate at which you can reinvest**
15 **the cash proceeds.**

16 **Q Would you agree with me that with respect to**
17 **those possibilities, earning within the company or**
18 **investing in an alternative or similar risk, the**
19 **investor can do one or the other but the investor can't**
20 **do both with the same dividend payment?**

21 **A That is correct, but it is still -- they would**
22 **still -- when they set the price of the stock, which is**
23 **what the discounted cash flow model does, they would set**
24 **the price equal to the present discounted value of all**
25 **expected future cash flows. And if cash flows are paid**

1 quarterly, they would discount the quarterly stream of
2 dividends.

3 And if you then wanted to determine what
4 return did they expect to earn on their investment, you
5 would sell for that discount rate which would equate the
6 present value of the cash flows to the stock price, and
7 that's what the discounted cash flow model does.

8 If you don't get dividends quarterly, then you
9 would have to sell for that discount rate which equates
10 the annual cash flows, the present value of the annual
11 cash flows to the stock price. But you can't do both,
12 you can't get dividends quarterly and attempt to equate
13 the present value of a stream of annual cash flows to
14 the stock price. That's inconsistent.

15 **Q You're aware that Dr. Woolridge applies a**
16 **model that quantifies dividends as the dividend plus**
17 **one-half of the growth rate?**

18 A Yes, I am.

19 **Q Do you agree with Dr. Woolridge that this is**
20 **the same methodology that the FERC uses?**

21 MR. MELSON: Mr. Chairman, I'm going to lodge
22 an objection. He is really asking questions that
23 are better directed to the rebuttal. I don't mind
24 the witness answering them, but he's really beyond
25 the scope of direct once he starts comparing what

1 Dr. Woolridge testifies when Dr. Woolridge hasn't
2 been here yet.

3 MR. MCGLOTHLIN: I'll rephrase the question.

4 CHAIRMAN GRAHAM: Please.

5 BY MR. MCGLOTHLIN:

6 Q Dr. Vander Weide, are you familiar with the
7 method that the FERC uses?

8 A Yes, I am.

9 Q Is it true that the FERC employs a model of
10 the DCF that quantifies dividends as a dividend plus
11 one-half of the growth rate?

12 A Yes, it is.

13 Q We've referred to the growth rate and that has
14 to do with the rate of growth of the dividends over
15 time, does it not?

16 A One can say that it has -- one could
17 characterize it that way. But in the DCF model, the
18 earnings, the dividends, and the book value and the
19 stock price are all expected to grow at the same rate.
20 So one would just properly, I guess, call that the
21 growth rate of the company. All of the variables grow
22 at the same rate in the discounted cash flow
23 assumptions.

24 Q Including the dividends?

25 A Yes.

1 **Q** With respect to the choice of growth rates
2 that you employ in your DCF model, you refer to the
3 long-term growth rate, do you not?

4 A Yes.

5 **Q** And you define that long-term growth rate as
6 three to five years, correct?

7 A I define it to be the investor's expectation
8 of long-run future growth. And I believe that the best
9 proxy for that is the analysts' growth forecast as
10 reflected in the analysts' three to five-year growth
11 rates. That's the longest period for which analysts
12 forecast growth rates.

13 **Q** Would you agree with me that the relationship
14 between the growth rate employed and the results of the
15 DCF model is that the higher the growth rate, the higher
16 the indicated return that would be required by an
17 investor?

18 A Yes. And the lower the growth rate, the lower
19 would be the required return, all other things equal.

20 **Q** In your analysis to quantify the growth rates,
21 you relied on a long-term growth forecast of financial
22 analysts, did you not?

23 A Yes.

24 **Q** And that was the only source of this data that
25 you employed, correct?

1 A Yes, because there's ample evidence that stock
2 prices are much more highly correlated with analysts'
3 growth rates than with other growth rates such as
4 historical growth rates or sustainable growth rates, and
5 the DCF model requires a match between the growth rates
6 and the stock prices.

7 If the analysts' growth rates are what's
8 embodied in the stock prices, then it's the analysts'
9 growth rates that have to be used in the DCF model.

10 **Q As part of your DCF exercise, you also include**
11 **a quantification of flotation costs, do you not?**

12 A Yes.

13 **Q Do I understand correctly that the manner in**
14 **which you use flotation costs you apply the percentage**
15 **to the entire equity base?**

16 A Yes, I do, as it amounts to about 25 basis
17 points in the estimate of the cost of equity.

18 **Q Twenty-five basis points. And that's applied**
19 **to the --**

20 A It's applied to the stock price in the
21 discounted cash flow model.

22 **Q In your summary you refer to the development**
23 **of 10.8 percent indicated ROE that is derived from your**
24 **DCF and risk premium analysis, correct?**

25 A Yes.

1 **Q** In your testimony, you also describe your
2 application of the capital asset pricing model, do you
3 not?

4 A I do, and I describe the evidence that the
5 capital asset pricing model understates the cost of
6 equity for companies whose betas are significantly less
7 than one. And so I do not use the results of the CAPM
8 because the betas are significantly less than one for my
9 proxy companies.

10 **Q** After arriving at the 10.8 percent average of
11 your average DCF risk premium, you adjusted that by 90
12 basis points and you described the leverage adjustment
13 that you employed to arrive at 11.7 percent, correct?

14 A I call it a financial risk adjustment, but I
15 do describe the financial risk adjustment, yes.

16 **Q** Your financial risk adjustment is intended to
17 compensate for the fact that regulators use a book value
18 based capital structure by increasing the earnings
19 quarterly?

20 A Not entirely. It's designed to reflect the
21 fact that my cost of equity estimates reflects the risks
22 of investors in the marketplace through the stock price.
23 And financial economists have recognized for many years
24 that investors in the marketplace measure risk by the
25 variance of return on their investment. And the

1 variance on return of investment depends on the market
2 values of debt and equity in the capital structure, not
3 on the book values.

4 So we have a cost of equity that is quite a
5 bit less than it would be if investors were to look at
6 book value capital structures to measure the financial
7 risk. Since they look at market values, which have
8 higher percentages of equity at the present time, the
9 cost of equity has been lowered somewhat by the lower
10 financial risk in the market value capital structures of
11 their investments.

12 Now, if we apply that cost of equity to a
13 different capital structure, we have to recognize that
14 that different capital structure might have a different
15 level of financial risk associated with it. And if it
16 does, which in this case it does because the company has
17 recommended a book value capital structure be used for
18 rate-making purposes, then we have to adjust the cost of
19 equity to reflect that higher degree of financial risk.

20 **Q You referred to the market value and the**
21 **manner in which the market sets the price of the stock.**
22 **Would you agree that one premise of analysts is that**
23 **that price is being set by informed investors?**

24 A One usually assumes that investors are
25 informed, and at the same time one assumes that

1 investors are primarily concerned with the volatility or
2 the variability in their return on investment which is
3 measured by the market value capital structure.

4 **Q Would you also agree that the price reflects**
5 **the risks that the informed investors perceive**
6 **associated with the security or the stock that they're**
7 **purchasing?**

8 A Yes. And included in those risks would be the
9 financial risk is measured by the market value capital
10 structure.

11 **Q Would you agree with me that informed**
12 **investors and the investment community, including**
13 **analysts that provide services to investors, are**
14 **familiar with the fact that in regulated industries the**
15 **regulators such as the Florida Public Service Commission**
16 **apply a traditional rate-based rate of return type of**
17 **analysis to the utilities under their jurisdiction?**

18 A Sure, I would agree with you that they
19 recognize how regulation is set, as do I recognize that.
20 But they would also recognize that the financial risk of
21 any group of proxy companies in the marketplace would be
22 affected and be measured by the market value capital
23 structures of those proxy companies.

24 **Q Would you agree that they understand that this**
25 **traditional rate base, rate of return form of regulation**

1 **is applied to the book value of the assets?**

2 A They would, yes.

3 **Q Would you agree that the utilities, including**
4 **Gulf Power and Southern, prepared financial statements**
5 **that are based upon book value and not market value?**

6 A Yes. They're required by statutory and
7 generally-accepted accounting principles to prepare
8 financial statements. But that doesn't preclude the
9 investors from understanding that the market price is
10 different than the book value and by -- and, thus,
11 looking, measuring their financial risk in terms of the
12 market values.

13 That's commonly accepted in financial circles
14 that investors measure financial risk by the market
15 value -- of an equity investment by the market value
16 capital structure of the company.

17 **Q Would you agree that the investors and the**
18 **investment community that provides the services to them**
19 **have access to those financial statements in the form of**
20 **annual reports and reports to the SEC?**

21 A Of course they have access to the financial
22 statements. But they don't use the financial statements
23 to assess their -- the financial risk of the company.
24 They use -- they adjust those financial statements to
25 look at the market values of equity and debt in the

1 capital structure and measure their financial risk using
2 market value capital structures. Every financial
3 textbook that I know of discusses financial risk in
4 terms of the market value capital structures.

5 **Q Within the universe of information available**
6 **to inform investors there exists information based upon**
7 **market value, and there's also information based upon**
8 **book value; would you agree with that?**

9 A Yes. But I would not agree that those
10 investors would use book value to estimate their
11 financial risk. They would only use market value to
12 estimate their financial risk.

13 **Q In response to some discovery requests**
14 **relating to examples in which market value and not book**
15 **value was applied, you referred us to the Verizon**
16 **TELRIC -- that's acronym T-E-L-R-I-C -- order issued by**
17 **the FCC, did you not?**

18 A Yes, I did.

19 **Q And that case involved petitions by**
20 **competitive local exchange companies for arbitration of**
21 **the prices that Verizon would charge them to lease**
22 **components of the local network; is that correct?**

23 A I don't know who initiated the case, but it
24 certainly involved the prices of unbundled network
25 elements, yes.

1 Q And that was done pursuant to the 1996
2 Telecommunication Act?

3 A Yes, it was.

4 Q We provided you with an excerpt of that order
5 that I would like to have --

6 MR. MCGLOTHLIN: And I need a number assigned
7 to that, please.

8 CHAIRMAN GRAHAM: Which one is this?

9 MR. MCGLOTHLIN: The description is order of
10 FCC in Common Carrier Docket Numbers 218 and 251.

11 MS. KLANCKE: 178.

12 CHAIRMAN GRAHAM: 178.

13 (Exhibit No. 178 was marked for
14 identification.)

15 MR. MCGLOTHLIN: And counsel for Gulf, we do
16 have a full version of the order here in the
17 hearing room. The FCC doesn't do anything in less
18 than three or 400 pages so we included the full
19 cost of capital section of that order for purposes
20 of the questions so we're happy to show you the
21 order itself.

22 MR. MELSON: That's all right, so long as
23 Dr. Vander Weide thinks he has the portions he
24 needs.

25

1 BY MR. MCGLOTHLIN:

2 Q Dr. Vander Weide, please turn to page 45 at
3 the bottom, which is also the last page of the excerpt I
4 gave you.

5 A Yes.

6 Q Paragraph 102 contains the FCC's conclusions
7 with respect to choice of capital structure. Would you
8 read into the record the highlighted sentence that
9 begins "In section 252D1"?

10 A Yes. "In Section 252D1 of the Act, Congress
11 specifically prohibited the use of traditional rate
12 base, rate of return on equity rate making."

13 Do you want me to go on?

14 Q Yes, please.

15 A "The Commission has interpreted this section
16 to require prices based on forward-looking costs because
17 forward-looking costs best replicate the costs a carrier
18 would face in the market with facilities-based
19 competition."

20 Q Thank you.

21 A Can I complete the paragraph?

22 Q I'll tell you what, let me ask my questions
23 and see if they cover the same ground and then on
24 redirect your counsel will have the same opportunity.

25 A Okay.

1 Q You would agree, would you not -- I think
2 you've already agreed -- that this Commission applies
3 the traditional rate based, rate of return form of
4 regulation?

5 A Yes.

6 Q And is that the type of regulation that FCC
7 was reciting here that it is prohibited from using?

8 A The FCC did not use rate of return regulation;
9 they used regulation based on forward-looking costs.

10 Q And that's --

11 A But they do say that -- there is a statement
12 that says that they're trying to do the same thing with
13 forward-looking economic costs and that is that "The
14 TELRIC Rules provide for the recovery of the investment
15 in that efficient network through the use of economic
16 depreciation and they provide for a return on that
17 investment through a risk adjusted cost of capital."

18 Q Dr. Vander Weide, I believe we agreed a minute
19 ago that you would limit your answers to my question
20 posed.

21 The question before you is simply do you agree
22 that in this paragraph, the FCC expressed its view that
23 the 96 Act prohibited it from applying the same type of
24 rate of return regulation that this Commission employs?

25 A Yes.

1 **Q** The FCC also indicated that the choice of
2 capital structure is geared to address a situation in
3 which Verizon is facing facilities-based competition,
4 correct?

5 A Are you referring to a specific sentence?

6 **Q** Yes, "Because forward-looking costs best
7 replicate the costs the carrier would face in a market
8 with facilities-based competition," one of the
9 highlighted sentences.

10 A Yes. They didn't necessarily say that they
11 are facing competition at this point. They said it's
12 what they -- "best replicate the costs the carrier would
13 face in a market with a facilities-based competition."

14 **Q** Would you agree that Gulf Power Company has a
15 monopoly on providing retail electric service in this
16 service area?

17 A I do -- I would agree with that. But it's
18 also my understanding that regulation is supposed to
19 be -- it's supposed to provide -- or be a surrogate for
20 competition; that is, it's supposed to provide the
21 results of a competitive market even though a
22 competitive market does not exist.

23 **Q** Now, in this instance, the FCC applied market
24 value information directly, correct?

25 A Yes.

1 **Q** This is not an example of a forum in which the
2 type of financial risk adjustment that you described was
3 made?

4 A No. That's correct. It's evidence though
5 that the FCC believes that investors do base decisions
6 on market value capital structures and also ask if they
7 base decisions on those market value capital structures
8 they must measure the financial risk of the company
9 based on a market value capital structure.

10 And it's straightforward to go from there to
11 say that if investors measure financial risk based on a
12 market value capital structure but one applies the cost
13 of equity associated with that market value capital
14 structure and that level of financial risk to a book
15 value capital structure, one ought to make an adjustment
16 to recognize the difference in financial risk.

17 **Q** You also referred us to a decision by the
18 **Surface Transportation Board regarding railroad costs.**
19 **Do you have that excerpt in front of you?**

20 A I do.

21 MR. MCGLOTHLIN: I'll need a number for that,
22 sir.

23 CHAIRMAN GRAHAM: That's 179.

24 (Exhibit No. 179 was marked for
25 identification.)

1 BY MR. MCGLOTHLIN:

2 Q Dr. Vander Weide, I've highlighted a sentence
3 on page seven of the document.

4 A Yes.

5 Q Would you read the highlighted sentence?

6 A Yes. "AAR calculated the 2009 market value of
7 common equity for each railroad by calculating weekly
8 market values for each railroad using data on shares
9 outstanding from railroad 10-Q and 10-K reports
10 multiplied by stock prices at the close of each week in
11 2009."

12 Q And the AAR is the industry Association of
13 Railroads; is that correct?

14 A Yes, that's my understanding.

15 Q And would you agree with me that like the
16 earlier order, this is not an instance in which the
17 regulator applied a financial risk adjustment but
18 instead applied market value data directly to derive the
19 required return?

20 A Yes.

21 Q Do you have the Iowa Tax Authority Rules
22 before you?

23 A Yes, I do.

24 MR. MCGLOTHLIN: I need a number, sir.

25 CHAIRMAN GRAHAM: 180, one eight zero.

1 (Exhibit No. 180 was marked for
2 identification.)

3 BY MR. MCGLOTHLIN:

4 **Q** And like the others, this is a document to
5 **which you referred for examples of the market value**
6 **analysis that you recommend; is that correct?**

7 A Yes.

8 **Q** If you turn to the first page, do you see a
9 **definition of stock and debt approach about two-thirds**
10 **down on 77.1(7)?**

11 A Yes.

12 **Q** Would you agree with me that the rules in this
13 **document contemplate the application of a market value**
14 **approach to the derivation of ROE directly without a**
15 **financial risk adjustment of the nature that you're**
16 **making in this case?**

17 A Yes. No -- since they apply it directly, no
18 such market value -- no such financial risk adjustment
19 is required. They are already using market values and
20 recognizing that market values must be used to estimate
21 the cost of equity and so no adjustment is required in
22 this case.

23 **Q** Now, I believe it was in response to the staff
24 **where examples of jurisdictions that had accepted your**
25 **type of financial risk adjustment, you referred to an**

1 order issued by the Missouri Public Service Commission
2 involving the Empire District; is that correct?

3 A Yes.

4 Q But you have appeared in more than one
5 proceeding on behalf of Empire District over time, have
6 you not?

7 A That's correct.

8 Q And do you have before you the document which
9 is the Missouri PSC order dated March 26th, 2008?

10 CHAIRMAN GRAHAM: We'll call that 181.

11 THE WITNESS: Yes.

12 (Exhibit No. 181 was marked for
13 identification.)

14 BY MR. McGLOTHLIN:

15 Q Please turn to page 11. And you'll see in the
16 right-hand column there that I've highlighted a portion
17 of the paragraph. Take a moment and familiarize
18 yourself with what is captioned in paragraph 12
19 beginning with your name there.

20 A Yes.

21 Q Do I understand correctly that in this
22 particular case, you developed an average cost of equity
23 of 11.3 percent and then adjusted that with a version of
24 your financial risk adjustment?

25 A Yes. That's correct.

1 **Q** So the average of your methodologies was
2 11.3 percent and you recommended a financial risk
3 adjustment of 40 basis points to arrive at 11.7,
4 correct?

5 A Yes.

6 **Q** Please turn to page 12. Would you read the
7 highlighted paragraph?

8 A Yes. That's the one that begins "In light
9 of"?

10 **Q** Yes.

11 A "In light of the comparable companies' average
12 ROE at or near 10.9 percent, the national average ROE
13 and the perceived risk associated with investment in
14 Empire, including the downgrade of Empire's credit
15 rating to the lowest investment grade after this case
16 was filed, the Commission concluded that 10.9 percent is
17 a reasonable and appropriate ROE for Empire."

18 **Q** Now, the average of your methodologies was
19 11.3, correct?

20 A Correct.

21 **Q** And you proposed to increase that by 40 basis
22 points for the financial risk adjustment?

23 A Yes.

24 **Q** Would you agree with me that in this instance,
25 the same Missouri PSC did not accept your financial risk

1 adjustment?

2 A Yes. That's correct.

3 Q You also appeared on behalf of -- you also
4 appeared before the Missouri PSC on behalf of Union
5 Electric doing business as Ameren; is that correct?

6 A Yes.

7 Q Do you have that order in front of you? This
8 is a Missouri PSC order dated May 22nd, 2007.

9 A Yes, I do.

10 CHAIRMAN GRAHAM: We'll number that 182.

11 (Exhibit No. 182 was marked for
12 identification.)

13 BY MR. McGLOTHLIN:

14 Q Please turn to page 34 -- I'm sorry -- 33.
15 The highlighted language in the middle of page 33
16 indicates that you recommended a return on equity of
17 12.2 percent; is that correct?

18 A Yes.

19 Q And did that reflect the application of the
20 financial risk adjustment?

21 A Yes, it did.

22 Q Would you please turn to page 34 and read the
23 paragraph that begins -- well, this paragraph number 23
24 beginning "In large part."

25 A "In large part, the overly high return on

1 equity recommendations put forward by AmerenUE's
2 witnesses result from their inclusion of a large
3 financial risk add-on premium based on the allegedly
4 greater financial risk resulting from the market value
5 of common authorized equity and AmerenUE's capital
6 structure.

7 "The witnesses used this premium adjustment to
8 increase some exchange return on equity recommendation
9 by 100 basis points and Vander Weide by 70 basis points.
10 But despite his advocacy of an adjustment to account for
11 AmerenUE greater risk, Vander Weide acknowledged at the
12 hearing that the AmerenUE's risk is about average for
13 the electric utility industry."

14 **Q And on page 35, the second paragraph contains**
15 **the Missouri PSC's disposition of your recommendation.**
16 **Would you read that?**

17 A "In sum, the financial risk upward adjustment
18 proposed by AmerenUE's witnesses appears to be a
19 transparent effort to inflate the company's proposed
20 return on equity to obtain a better bargaining position
21 in the hope the Commission would simply split the
22 difference between the extreme positions.

23 "Such efforts call into question the
24 credibility of these witnesses. Indeed, Vander Weide
25 came close to acknowledging that his proposed return on

1 equity was extreme when at the hearing he indicated an
2 11 percent return on equity in line with the amounts
3 that the Commission has allowed Kansas City Power &
4 Light and the Empire District Electric Company in recent
5 cases would be a benchmark that the financial community
6 would look to."

7 Q And then on page 36, the Missouri PSC
8 reflected the ROE that it felt was appropriate in that
9 case. Did they find a 10.2 percent would be appropriate
10 in that case?

11 A Yes, they did.

12 Q We provided another Missouri PSC order dated
13 July 30th of 2008. Do you have that before you?

14 A Yes.

15 MR. McGLOTHLIN: I need a number, please.

16 CHAIRMAN GRAHAM: This will be 183.

17 (Exhibit No. 183 was marked for
18 identification.)

19 BY MR. McGLOTHLIN:

20 Q And in this case, you appeared again as the
21 cost of capital witness for the Empire District Electric
22 Company, correct?

23 A Yes.

24 Q Please turn to page 16. Reading the
25 highlighted language, Dr. Vander Weide, do I understand

1 **correctly that you performed three separate analyses**
2 **with different methodologies and then averaged them to**
3 **arrive at 11.6 percent?**

4 A Yes.

5 Q **And do I also understand it correctly that in**
6 **this appearance for Empire District, you did not propose**
7 **a financial risk adjustment before the Florida -- excuse**
8 **me -- the Missouri PSC?**

9 A Yes. That's because it had been rejected in
10 that -- it had been accepted in a 2007 case and that's
11 why I presented it as support. And it also then was
12 rejected in the follow-on case and so I decided not to
13 present it in that case because the Commission had made
14 a strong statement about not accepting it.

15 Q **And because the Missouri PSC had rejected it**
16 **in prior cases, you performed your three separate**
17 **analyses, arrived at an average of 11.6 percent but did**
18 **not propose to increase it to reflect the difference in**
19 **financial risk?**

20 A Yeah. Actually, as I now think about that
21 answer, I would revise it slightly. The -- my recall
22 is, as I think about it, that -- and I don't have the
23 testimony in front of me to know for sure -- but my
24 recall is that the company requested that I -- I
25 indicated in the testimony that it would be appropriate

1 to use a financial risk adjustment.

2 But in the final recommendation, the company,
3 in order to keep the issues at a minimum, asked me to
4 not apply a financial risk adjustment. That's my recall
5 as I'm sitting here today.

6 **Q So that the record is clear, do I understand**
7 **correctly that in this performance -- excuse me -- in**
8 **this appearance for Empire District, you did not propose**
9 **to apply the financial leverage -- financial risk**
10 **adjustment that you had advocated in earlier**
11 **appearances?**

12 A No. And just to be clear, the reason that I
13 did not is that I discussed the appropriateness of the
14 financial risk adjustment in the testimony and I
15 indicate in the testimony that the company asked me to
16 keep -- because there were so many other issues in the
17 case -- to keep the number of issues at a minimum and to
18 not make the adjustment in that proceeding.

19 **Q So you recommended the 11.3 without**
20 **adjustment, correct?**

21 A Yes.

22 MR. McGLOTHLIN: If I may have a couple of
23 minutes, I'll see if I have anything else to ask.

24 CHAIRMAN GRAHAM: Sure.

25 MR. McGLOTHLIN: That's all.

1 CHAIRMAN GRAHAM: Mr. Moyle.

2 MR. MOYLE: Thank you, Mr. Chairman.

3 CROSS EXAMINATION

4 BY MR. MOYLE:

5 Q Hello, Doctor, how are you?

6 A Fine, thank you.

7 Q Good. I'm Jon Moyle. I represent the Florida
8 Industrial Power Users Group. I think we met previously
9 when you testified a couple of years ago down there.

10 A I believe we have, yes.

11 Q Okay. I'm not going to be as long as
12 Mr. McGlothlin, but I want to ask you some questions
13 about a few points.

14 Counsel for Gulf in his opening statement --
15 you were here for the opening statements, correct?

16 A Yes.

17 Q I think he had a little fun with some of the
18 intervenors and suggested they were bringing in experts
19 from out of state. You're not a Floridian, are you?

20 A No, I'm not. I don't recall that particular
21 statement and I don't know whether he was having fun or
22 not.

23 Q All right.

24 A But his statement, I believe, is self-evident.

25 Q All right. And I thought I would have a

1 little fun. You're a Blue Devil from Duke; is that
2 right?

3 A Right.

4 Q Okay. And you're advocating that there be an
5 ROE of 11.7, correct?

6 A Yes, I am.

7 Q And that's after this risk premium adjustment
8 that Mr. McGlothlin was just asking you about of 90
9 basis points; is that right?

10 A That's right.

11 Q So it's almost a full percentage point that
12 you're asking this Commission to approve to increase
13 based on the capital structure of the company; is that
14 right?

15 A It's 90 basis points.

16 Q In Exhibit No. 181, this case you testified in
17 Missouri, you only sought 40 basis points; is that
18 right?

19 A Yes.

20 Q And the Missouri Commission did not accept
21 your recommendation to make a financial risk adjustment,
22 correct?

23 A In that case they did not. They had
24 recommended it in a prior case.

25 Q Okay. And then you had just indicated before

1 that in another case you didn't make the recommendation
2 because the company asked you not to; is that right?

3 A They asked me to minimize the number of issues
4 in the case because there were other very important
5 issues they wanted to focus on.

6 Q Okay. How many issues were in that case?

7 A I didn't count them.

8 Q Can you give us a ballpark?

9 A No.

10 Q Do you know how many issues are in this case?

11 A No.

12 Q Okay. There's a prehearing statement, I'll
13 represent to you that at least going in I think it was
14 in excess of 100. You would agree that's a lot of
15 issues, would you not, if my recollection is correct?

16 MR. MELSON: Objection, relevance.

17 CHAIRMAN GRAHAM: Mr. Moyle.

18 MR. MOYLE: Well, I think it is relevant just
19 to get to his point about -- and there were a lot
20 of issues in Missouri and his financial risk wasn't
21 sought. I'm trying to get his understanding as to
22 is this a similar case or a lot of issues and
23 whether he would consider not asking for the
24 financial risk adjustment in this case.

25 CHAIRMAN GRAHAM: I thought I remember him
FLORIDA PUBLIC SERVICE COMMISSION

1 saying that the company thought it was a lot of
2 issues. I didn't hear him say he thought it was a
3 lot of issues.

4 MR. MOYLE: That may be.

5 CHAIRMAN GRAHAM: What was your testimony,
6 sir? Was it the company thought it was a lot of --

7 THE WITNESS: You had it exactly right, the
8 company thought there were a lot of issues. And I
9 stated in the testimony that I believe that the
10 financial risk adjustment was correct in that
11 testimony.

12 BY MR. MOYLE:

13 Q Okay. With respect to each hundred basis
14 points or one percentage point, 100 basis point equals
15 one percentage point; isn't that right?

16 A Yes.

17 Q Okay. So how much with respect to the amount
18 of money that Gulf is seeking does each percentage point
19 represent?

20 A I don't know.

21 Q So you don't know whether it's 10 million or
22 30 million? You don't know the value of each hundred?

23 A No. I was only asked to provide an estimate
24 of the cost of equity.

25 Q Okay. And you're aware that OPC has an

1 expert, Dr. Woolridge, who is also providing his opinion
2 on return on equity, correct?

3 A Yes.

4 Q Okay. And you don't question any of
5 Dr. Woolridge's qualifications, you would agree he's an
6 expert in economics and well versed to testify about
7 return on equity?

8 MR. MELSON: Objection, relevance. This
9 witness's opinion about another witness's expertise
10 is not relevant.

11 CHAIRMAN GRAHAM: I'll allow it.

12 THE WITNESS: I obviously question his
13 expertise because I disagree with it. I agree that
14 he has been qualified as an expert in this case,
15 but I disagree with his expertise on certain
16 subjects.

17 BY MR. MOYLE:

18 Q And I guess the finer point that I'm trying to
19 make is that lawyers will sometimes disagree on a legal
20 point, but if they're members of the Bar they have some
21 expertise on the law.

22 That's a similar situation with you and
23 Dr. Woolridge, you don't question whether he's qualified
24 to render an opinion, you just disagree with his
25 opinion; is that right?

1 A Yes.

2 Q And as a general proposition in trying to
3 determine the appropriate return on equity, you have put
4 forward a lot of theories: DCF and CAPM and risk
5 premium. These are theoretical exercises; isn't that
6 right?

7 A I wouldn't characterize them as theoretical at
8 all. They are used all the time.

9 Q Okay. And with respect to the equity that
10 is -- well, let me ask you this: Do you know, does the
11 Southern Company -- do you know as a matter of fact that
12 the Southern Company does these calculations when
13 deciding whether to make an equity investment?

14 A I haven't examined what the Southern Company
15 does. I know that they agree that this is a reasonable
16 method of estimating the cost of equity; otherwise, they
17 wouldn't have hired me.

18 Q No, I understand. I'm just asking you
19 factually as we sit here today, do you know if the
20 Southern Company -- if their senior management, before
21 they decide to make an equity investment, whether they
22 do a CAPM model or any of the other --

23 A I have no idea what they use. I haven't
24 explored it.

25 Q And the reason I'm asking the question and the

1 reason I think it's relevant is because isn't it true
2 that all of the equity for Gulf comes from the Southern
3 Company?

4 A Yes.

5 Q Okay. So I, as an investor, if I wanted to
6 invest in Gulf and I say, you know what, if I can get
7 nine and a half or ten, I mean, if I wanted to invest
8 that, I couldn't do it because the equity is limited to
9 the Southern Company's investment, correct?

10 A That is correct. The Southern Company can
11 invest in Gulf and they are the relevant equity investor
12 for the purpose of determining what it would take to
13 continue to invest in Gulf.

14 Q Okay. And you've been in the room throughout
15 the day, correct?

16 A Yes.

17 Q Okay. And you would agree with me that the
18 Southern Company made a decision in 2010 that they could
19 invest equity and receive a return of 9.5, correct?

20 A I don't know what situation you're referring
21 to.

22 Q The chief financial officer who testified, he
23 was asked a question about what was the return on equity
24 in 2010, and I think he answered 9.5. Do you remember
25 that?

1 A I believe he was referring to an actual rate
2 of return as opposed to a required rate of return.

3 **Q And the same question with respect to 2011?**

4 A Yes. As I heard that, he was referring to an
5 accounting rate of return that was realized as opposed
6 to a forward-looking required rate of return that one
7 would use, say, for capital budgeting purposes.

8 **Q Nobody from the Southern Company has told you**
9 **that they're not going to invest in Gulf Power unless**
10 **they get a return on equity of greater than 10 percent,**
11 **have they?**

12 A I haven't discussed it with Gulf Power. Did
13 you say Southern Company? Southern Company, I haven't
14 discussed it with Southern Company.

15 **Q Right.**

16 A No.

17 **Q Southern Company is the equity investor in**
18 **Gulf?**

19 A Yes.

20 **Q Okay. So the answer to my question would be**
21 **no, because you haven't discussed it, no one's told you**
22 **that they would not invest in the Gulf Company if the**
23 **return on equity was not greater than 10 percent?**

24 A No, I have not discussed it with them. I
25 forget which way the question was phrased, whether a yes

1 or no is appropriate, but the meaning is clear that I
2 haven't discussed it with them.

3 **Q Okay. I want to spend a little time about**
4 **the -- talking more about the risk adjustment that you**
5 **did. And I read your testimony, and I assume that that**
6 **was done as a way to in effect measure and value risk,**
7 **correct?**

8 **A It began as a way to measure risk. It also**
9 **had the purpose of determining the appropriate return**
10 **that when applied to a book value capital structure**
11 **would give investors an opportunity to earn their**
12 **required return in the marketplace.**

13 **Q Okay. My thinking in reading your testimony**
14 **was if there are adjustments that need to be made**
15 **because of different risk profiles that in your approach**
16 **you could make adjustments one way or the other with**
17 **respect to different risk elements; is that fair as a**
18 **general proposition?**

19 **I mean, because you did it for the financial**
20 **equity thing, I would assume that if there were other**
21 **risks or other things that made the company less risky**
22 **that you would likewise consider making an adjustment?**

23 **A That is correct. However, I felt that from an**
24 **equity perspective, this group of electric -- the**
25 **average electric utility in my proxy group had a**

1 comparable business risk to Gulf Power but had a
2 different financial risk than was embedded in my cost of
3 equity estimates.

4 **Q So I think you've agreed that adjustments are**
5 **appropriate based on the level of risk, correct?**

6 A If they're significant.

7 **Q Okay. Are you aware as to the type of cost**
8 **recovery clauses that the Florida Commission has in**
9 **place either through rule or through legislative**
10 **direction?**

11 A I'm generally aware as from my reading of the
12 company's 10-K that there are financial recovery
13 mechanisms. And I also am aware that most electric
14 utilities have cost recovery mechanisms that are very
15 similar in nature to those available here.

16 **Q Do you know what percentage of Gulf's annual**
17 **income flows through the clauses as compared to what**
18 **flows through base rates?**

19 A I've heard it mentioned today that it might be
20 up to 60 percent. But that would be typical for most
21 electric utilities, again, because it's very common to
22 have a fuel cost adjustment clause. And fuel costs
23 represent a large percentage of an electric utility's
24 operating expenses.

25 **Q It's less common to have an environmental cost**

1 **recovery clause, is it not?**

2 A No. In recent years because the environmental
3 costs are generally required investments legislated by
4 national policy and sometimes state policy, it's quite
5 common to have clauses that guarantee the recovery of
6 environment costs as long as they are prudently incurred
7 and prudently made.

8 **Q Right. And investors like it when the money**
9 **flows through clauses as compared to base rates, that**
10 **gives them less risk, correct?**

11 A They do but the relevant thing for the cost of
12 capital is how the risk of Gulf Power relates to the
13 risk of my proxy companies.

14 **Q Right. And with respect to your proxy --**

15 A I wasn't quite finished with my answer yet.

16 **Q I'm sorry.**

17 A And if they all have similar types of recovery
18 clauses, then the cost of equity results from my proxy
19 companies are reasonable to apply to Gulf Power.

20 **Q So I'm assuming based on that answer that you**
21 **then did a detailed analysis and looked at the recovery**
22 **clauses that Gulf has and compared it to all of the**
23 **recovery clauses that your proxy group has; is that**
24 **correct?**

25 A No, it's not correct. That I did a detailed

1 analysis, if by that you mean I identified all of the
2 cost recovery clauses for all of the companies in my
3 proxy group, that would have been very cost prohibitive.

4 However, I am aware as a person who testifies
5 frequently for electric utilities and who reads
6 extensively about electric utilities, that the major
7 expenses of other electric utilities are recovered in a
8 very similar manner.

9 **Q Did you know that Gulf recovered 60 percent of**
10 **its -- when did you first find out that Gulf recovered**
11 **60 percent of its money through clauses? Was that today**
12 **in the hearing?**

13 A Well, that precise number was today in the
14 hearing. But as I've mentioned to you a minute ago,
15 fuel cost adjustment clauses are very, very common
16 throughout the entire electric utility industry and fuel
17 costs are a major percentage of the costs, so other
18 electric utilities would have similar percentages.

19 **Q Okay. And I'm going to move on in a second.**
20 **But are you aware of any other besides the fuel and the**
21 **environmental cost recovery clause that Florida has?**

22 A I've read them in the 10-K. I couldn't
23 enumerate them as I sit here.

24 **Q Okay.**

25 A But I have read about all of the clauses that

1 are available.

2 **Q All right. And you did not make an adjustment**
3 **downward with respect to your recommended return on**
4 **equity due to the fact that Florida has a number of**
5 **clauses, correct?**

6 A No, I didn't believe it was appropriate,
7 because Value Line has rated Florida regulation as being
8 average for regulatory environments throughout the
9 country. And since my proxy group has about an average
10 regulatory business ranking, I thought that was
11 appropriate for Gulf as well.

12 **Q Do you agree with the proposition that**
13 **companies which have nuclear operations, that that has a**
14 **higher risk profile and therefore that there should be**
15 **an adjustment upward with respect to return on equity?**

16 A I don't think I would be willing to make a
17 general statement about that. You know, I would have to
18 consider all of the circumstances surrounding that.

19 **Q You would agree that a nuclear unit presents**
20 **more risk as a general proposition, correct?**

21 A Nuclear has some risk factors and it has some
22 other factors. It generally provides lower costs for
23 baseload energy. It's more -- it has -- it emits a lot
24 fewer greenhouse gases and so the company would not have
25 to make as big of investments in environmental capital

1 expenditures.

2 The risk is that it has generally a longer
3 period of recovery, so there are -- one would have to
4 look at all of the different factors at the same time.

5 **Q Are you familiar with the -- any issues or**
6 **costs associated with the Crystal River 3 nuclear**
7 **outage?**

8 MR. MELSON: Objection. This is getting
9 pretty far afield.

10 CHAIRMAN GRAHAM: I agree with the objection.
11 Unless you can tell me -- what do you plan on
12 getting to?

13 MR. MOYLE: The reason I think it's an
14 appropriate question is that I'm asking him
15 questions related to any adjustments he made
16 relative to risk and it's all about risk as to the
17 return on equity.

18 You know, I think some experts have said
19 nuclear presents greater risk. He's saying he
20 doesn't necessarily agree. And I think in terms of
21 trying to establish that, no, nuclear does present
22 greater risk to the extent he had any information
23 about Crystal River 3, it would help me establish
24 that. If he doesn't have any information, you
25 know, he can't establish them.

1 CHAIRMAN GRAHAM: Sir, do you have any
2 information on Crystal River 3?

3 THE WITNESS: No.

4 BY MR. MOYLE:

5 Q Okay. With respect, again, to elements of
6 risk, doesn't it help to have a utility that is
7 backstopped or supported by a large holding company as
8 compared to having a utility that's not supported by a
9 large holding company or backstopped by a large holding
10 company?

11 A I can't say that it helps or it hurts. I
12 think one would have to examine, again, the individual
13 set of circumstances. As a general proposition, I don't
14 think that it does.

15 Q Do you think having a statutory rate case
16 clock is a favorable thing for investor-owned utilities?

17 A I misunderstood one word. A rate case clock?

18 Q A statutory provision that says once a rate
19 case is filed you have to have it heard and decided
20 within a certain amount of time. Is that a beneficial
21 thing that reduces risk to an investor-owned utility in
22 your opinion?

23 A Sure, it's a beneficial thing, but it doesn't
24 reduce the risk relative to my proxy companies, because
25 most states have such schedules in place.

1 **Q** Did you research that issue to find out
2 whether the ones in your proxy group indeed had a
3 regulatory time clock or a statutory time clock?

4 A It didn't require a lot of research. I've
5 been in several hundred rate cases over the last 30
6 years and I'm very familiar with the kinds of regulation
7 environments that are faced by electric utilities.

8 **Q** Okay. And you testified in the Progress
9 Energy case, you're aware that the Commission set a 10.5
10 return on equity in that case; is that right?

11 A Yes.

12 **Q** Okay. And that was considerably below the
13 number that you had recommended, correct?

14 A Yes. And as was discussed earlier, the case
15 was settled and there were some other things that were
16 beneficial to the company in addition to the range of
17 rates of return that were allowed.

18 **Q** All right. And as we sit here today, you have
19 no information or evidence that Progress Energy has not
20 been able to provide reliable service since the end of
21 the rate case, correct?

22 A No, I don't have any information, but I don't
23 think it would be relevant. I don't think that the
24 company would intentionally allow in the short-run its
25 service to deteriorate solely because it didn't get the

1 rate of return that it requested.

2 The commitment to provide quality services is
3 a long-run commitment and it's generally considered that
4 there's a compact between the regulator and the company,
5 that the company will provide safe and reliable service
6 and the regulator in return in compliance with the Hope
7 and Bluefield Standards will provide an opportunity to
8 earn a fair rate of return on the investment.

9 MR. MOYLE: Mr. Chairman, in being respectful
10 of our witness, a lot of these questions are simple
11 yes and no questions that don't respectfully
12 require a elaboration about the regulatory compact
13 and the Supreme Court holdings, so I think it would
14 move it along if I could get a yes or a no. I
15 would appreciate some help in that regard.

16 CHAIRMAN GRAHAM: Dr. Vander Weide, normally
17 the way I handle things up here is -- or the way
18 it's written up in preorders, you're allowed to
19 answer the question yes or no and give a brief
20 explanation.

21 Normally I'll let the witness go on until the
22 person asking the question calls for me to rein it
23 in a little, so what I'm doing right now is reining
24 it in a little. I need you to make your responses
25 as brief as possible.

1 THE WITNESS: Certainly.

2 BY MR. MOYLE:

3 Q Since the decision in the Progress Energy rate
4 case in which a 10.5 return on equity was awarded, do
5 you have any information to suggesting that Progress
6 Energy has not been able to access either debt or equity
7 capital?

8 A No. And I don't believe that it would -- that
9 such information would be relevant to determining the
10 cost of capital in this proceeding.

11 Q And such information -- with respect to
12 determining return on equity, you try to take a snapshot
13 of market conditions as they exist at a particular point
14 in time, correct?

15 A Yes.

16 Q Okay. So there was a question earlier about
17 Gulf having previously had a 12 or 12 and a half percent
18 return on equity. You would agree that was set ten
19 years ago at a time that had completely different market
20 conditions, correct?

21 A I haven't examined the conditions involved in
22 that case.

23 Q Okay. But with respect to what the objective
24 is, a historical return on equity does not have much
25 relevancy with respect to trying to set a return on

1 equity on a going-forward basis, correct?

2 A All I did is I would look at current market
3 conditions.

4 Q Okay. So am I correct then in suggesting that
5 a historical return on equity is not particularly
6 helpful or relevant in determining return on equity
7 because it's designed to try to get a market picture at
8 the time the return on equity is being decided?

9 A Well, I didn't consider it relevant or
10 important.

11 Q And you're an expert in this field?

12 A Yes.

13 Q Do you try to keep up with Commission
14 decisions around the country with respect to return on
15 equity?

16 A Generally, yes.

17 Q Are you aware that the Oklahoma Gas & Electric
18 on 6/17/11 issued an opinion in which they awarded a
19 9.95 return on equity?

20 A I don't recall the Oklahoma decision. I am
21 aware that the average allowed return for integrated
22 electric utilities in 2011 has been approximately 10 and
23 a half percent.

24 Q With respect to -- I had three or four of
25 these, I just want to test your knowledge about specific

1 cases.

2 Are you aware or have any information that the
3 Pittsburgh Gas & Electric Company, which is in
4 Massachusetts, that their regulator on 8/1/11 authorized
5 a return on equity of 9.2 percent?

6 MR. MELSON: Objection, relevance. The
7 witness has testified that what is awarded in other
8 jurisdictions is not relevant to this proceeding,
9 that you look at a snapshot in time.

10 CHAIRMAN GRAHAM: He said that he didn't
11 believe it was relevant but he said that he stays
12 on top of what goes on nationwide, so I'll allow
13 him to answer the question.

14 THE WITNESS: When I look at information on
15 authorized returns, I don't look at individual
16 returns, so I'm not aware of that, the answer would
17 be. I look only at the average allowed return and
18 I look particularly at integrated electric
19 utilities. And as I have suggested, that average
20 for 2011 has been approximately 10 and a half
21 percent for integrated electric utilities.

22 BY MR. MOYLE:

23 Q Well, 10 and a half percent is a lot different
24 from 11.7, isn't it?

25 A Yes, it is different. It doesn't say that I

1 agree that that's my estimate of the cost of equity.

2 **Q Okay.**

3 A I'm just providing information in response to
4 your question on what the allowed rates of return are.

5 **Q Sure. And I'm just testing your knowledge as
6 to utility-specific return on equities.**

7 A And I don't have any knowledge of it to
8 testify to about utility-specific returns.

9 **Q Okay.**

10 A Only the average for the country.

11 **Q All right. But you would agree that utility
12 specific are used to calculate the average, correct?**

13 A Yes. But because each case is different and
14 there are so many factors that go into each case, it's
15 very difficult to compare one case to one other case.

16 **Q Okay.**

17 A It's better to look -- to average out those
18 unusual characteristics of a particular case. It's
19 better to look at an average if one looks at allowed
20 returns at all.

21 **Q So with respect to -- you wouldn't have any
22 information about Niagara Mohawk, which is out of New
23 York, on 1/20/11 authorized a return on equity of 9.3 or
24 Portland General on December 17th, 2010 authorizing a
25 10.0 return on equity, correct, because those are**

1 **utility specific?**

2 A I don't have any utility-specific information,
3 but I do know, however, that if there is an
4 industry-wide average number that is reported, it's not
5 indicative to just taking numbers that are below the
6 average and pretend like they are relevant for this
7 proceeding. One has to look at the entire range of
8 numbers.

9 Q I would agree. And the number that you're
10 asking this Commission to adopt is -- would put Florida
11 at the top of the heap in terms of return on equity, it
12 would be one of the highest return on equities in the
13 country; isn't that right?

14 A It would. And as I've already indicated, the
15 allowed returns aren't my estimate of the cost of
16 equity, but they are quite a bit higher than those of
17 the other cost-of-equity witnesses in this proceeding
18 and indeed are about halfway between us. But, again, I
19 would still believe that my estimate is the correct
20 estimate of the cost of equity.

21 MR. MOYLE: Just one second, I think I'm done.

22 CHAIRMAN GRAHAM: Sure.

23 MR. MOYLE: Thank you for your time, I
24 appreciate it.

25 CHAIRMAN GRAHAM: As we are about at the
FLORIDA PUBLIC SERVICE COMMISSION

1 two-hour mark, probably just a little past that, we
2 are going to have to let our court reporter take a
3 break, so we'll take about a -- well, we'll take a
4 ten-minute break.

5 (Whereupon, the hearing was recessed at 4:30
6 p.m.)

7 (Whereupon, the transcript continues in
8 sequence to volume 3.)
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

STATE OF FLORIDA)
COUNTY OF LEON)

I, MICHELLE SUBIA, Registered Professional Reporter, certify that the foregoing proceedings were taken before me at the time and place therein designated; that my shorthand notes were thereafter translated under my supervision; and the foregoing pages, numbered 253 through 401, are a true and correct record of the aforesaid proceedings.

I further certify that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorney or counsel connected with the action, nor am I financially interested in the action.

DATED this 14th day of December, 2011.



MICHELLE SUBIA
NOTARY PUBLIC
COMMISSION #DD987077
EXPIRES JUNE 7, 2014