

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

FILED 5/11/2018
DOCUMENT NO. 03632-2018
FPSC - COMMISSION CLERK

In the Matter of:

DOCKET NO. 20170215-EU

REVIEW OF ELECTRIC UTILITY
HURRICANE PREPAREDNESS AND
RESTORATION ACTIONS.

_____ /

VOLUME 1
PAGES 1 through 155

PROCEEDINGS: ELECTRIC UTILITY HURRICANE WORKSHOP
COMMISSIONERS
PARTICIPATING: CHAIRMAN ART GRAHAM
COMMISSIONER JULIE I. BROWN
COMMISSIONER DONALD J. POLMANN
COMMISSIONER GARY F. CLARK
COMMISSIONER ANDREW G. FAY

DATE: Wednesday, May 2, 2018

TIME: Commenced: 9:30 a.m.
Concluded: 12:40 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: DEBRA R. KRICK
Court Reporter

PREMIER REPORTING
114 W. 5TH AVENUE
TALLAHASSEE, FLORIDA
(850) 894-0828

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

PRESENTATIONS BY:	PAGE
Bryan Olnick, Florida Power & Light	18
Jason Cutliffe, Duke Energy Florida	66
Regan Haines, Tampa Electric Company	94
Adrienne Collins, Gulf Power	119
Jorge Puentes, Florida Public Utilities	138

1 P R O C E E D I N G S

2 COMMISSIONER BROWN: Good morning, everyone.
3 Welcome.

4 I would like to call this workshop to order,
5 and first thank Chairman Graham for graciously
6 allowing me to preside over this two-day workshop.

7 At this time, staff, can you please read the
8 notice?

9 MS. GERVASI: Good morning. Pursuant to
10 notice, this time and place has been set for a
11 Commission workshop in Docket No. 20170215-EU,
12 Review of Electric Utility Hurricane Preparedness
13 and Restoration Actions.

14 COMMISSIONER BROWN: Thank you so much.

15 We have a variety of folks in the audience
16 today, and I want to welcome you all here to our
17 day one of our two-day workshop to review Electric
18 Utility Hurricane Preparedness and Restoration
19 Actions. And right now, I would like to give you
20 kind of an overview of how we got here today.

21 As most of you know here, during 2000 -- 2004,
22 2005, Florida was impacted by multiple hurricanes
23 and tropical storms, which resulted in billions of
24 dollars of damage. The power restoration efforts
25 ranged from a few days to up to three weeks.

1 Since that time, this Commission has been
2 diligent in crafting policies, procedures with the
3 goals of minimizing damage and restoration time,
4 while also minimizing the resulting rate impact to
5 customers around the state.

6 Some examples of the policies this Commission
7 has enacted are regular vegetation management
8 trimming schedules; pole inspection replacement
9 programs; annual monitoring of hardening efforts;
10 annual hurricane briefing -- briefings, and
11 increased customer outreach.

12 Now, this is a very important week for our
13 state. While here, we have a two-day workshop,
14 utilities are also preparing their own hurricane
15 drills throughout the state. And operational
16 preparation is not just during hurricane season, as
17 we know, it's a year-round activity for all of you
18 in the room. So thank you for the efforts that you
19 have done.

20 Florida IOUs have been recognized as leaders
21 in the area of storm restoration throughout the
22 country. Other utilities, municipals, co-ops
23 around the United States really rely on Florida's
24 knowledge and experience when faced with restoring
25 the power grid following, not just a hurricane or

1 tropical storm, but any natural disaster.

2 Over the last decade, Florida was fortunate
3 not to have been hit by major hurricanes up until
4 2016, when Hurricanes Hermine and Matthew impacted
5 our state. However, on September 10th of this past
6 year, Hurricane Irma hit Florida and left
7 wide-spread damage, which impacted every county in
8 the state, resulting in the first major test of the
9 state's electric infrastructure in over a decade.

10 On October 3rd of that -- of last year, we
11 opened up this generic docket to review the
12 electric utility storm preparedness plans and
13 activities, as well as efforts to restore service
14 to customers.

15 This review will also give the Commission an
16 opportunity to explore the potential to further
17 minimize infrastructure damage, resulting outages,
18 as well as recovery times for customers in the
19 future.

20 And finally, this review can be used to
21 critically assess the Commission's policies and
22 procedures for improvements and efficiencies.

23 This generic docket provides a public
24 accessible vehicle for the Commission to seek and
25 collect information from all electric utilities and

1 stakeholders, as well as customers. And on
2 October 9th of last year, the Commission invited
3 customers to submit comments in this docket about
4 hurricane response and restoration efforts. We had
5 a link, and we still do, on our website. And to
6 date, we have received over 700 comments from
7 customers.

8 So today's workshop will provide us, the
9 Commission and staff, to engage in an informal
10 dialogue with utilities in order to gain a better
11 understanding of the utilities' experiences in an
12 effort to identify options for future Commission
13 actions.

14 So to give you all an idea of today, we will
15 be taking about two to three -- every two to three
16 hours, we will take about a 10-minute break, and we
17 will recess for lunch, which will be about an hour,
18 at a natural stopping point.

19 And, Commissioners, if there are any other
20 opening comments to make. Seeing none, we will go
21 ahead and move into public testimony.

22 At this time, are there any members of the
23 public here who would like to address the
24 Commission? Going once. Going twice.

25 Seeing none, we will move into the staff

1 presentation, which will be given by Mr. Tom
2 Ballinger.

3 And before staff or the utilities go with
4 their presentations, I want to let the
5 Commissioners know that since this is a workshop,
6 please let me know if you have any questions at any
7 time rather than reserving them for the end of the
8 presentation, just feel free to let me know, and
9 you can ask a question any time you want.

10 With that, Mr. Ballinger, you may begin.

11 MR. BALLINGER: Good morning, Commissioners.
12 It's good to see you all again.

13 As you said, Tom Ballinger, Director of
14 Division of Engineering with the Commission.

15 What I have got for you today is a brief
16 overview of how we got to where we are, and what
17 the original findings were. I will go through
18 pretty quickly so we can get to the meat of this
19 workshop, which, as you said, Commissioner Brown,
20 is to have a dialogue with utilities.

21 Let me remind you, this workshop is really for
22 you. Our staff has been working with this issue
23 for the past six, seven months, so we are -- we
24 have the data we need and collect the data, stuff
25 like that. So this commission -- this workshop is

1 really for you to ask your questions and engage in
2 a dialogue to further gain some knowledge.

3 Real quick, we will go through what storm
4 hardening is; what it means; what it is not; a
5 review of the review process that we went through;
6 some summary of our findings; and then the workshop
7 structure for today and tomorrow.

8 A little history, Section 366.03, Florida
9 Statute, requires utilities provide reasonably
10 sufficient service at rates that are fair and
11 reasonable. That requires the Commission to do a
12 balancing act. The utilities have to do a
13 balancing act between reliability and cost of
14 service.

15 As you said earlier, our goals in storm
16 hardening were to do that, to help further
17 strengthen the infrastructure while minimizing rate
18 impacts to customers. So that's the goal of storm
19 hardening, is to achieve that balance.

20 What storm hardening is not. It is not a
21 total prevention of outages. It will minimize some
22 outages, but it is not the silver bullet. So
23 despite reducing outages, there will still be
24 restoration costs beyond. You see there is a
25 picture on the left is an underground circuit that

1 was uprooted by trees. On the right, you see a
2 concrete pole which people will think is hardening.
3 It fell down and collapsed. Could have been from
4 wet soil. Could have been trees coming down, a
5 variety of things, but storm hardening is not going
6 to prevent every outage.

7 Now, a quick overview of our review process
8 when staff went through.

9 Once the docket was opened, we have collected
10 data from all 57 utilities, IOUs, municipals and
11 cooperatives alike. What staff was looking for was
12 any consistencies or inconsistencies between
13 utilities and comparisons among the different
14 industries.

15 Our objective was to identify options and
16 changes we could make to our policies, procedures
17 and utilities activities to help minimize outages
18 and increase restoration times.

19 We are also looking at our rules and our
20 filing requirements to see can we make any
21 improvements there.

22 We issued three sets of data requests, about
23 60 questions to all those utilities. The Office of
24 Public Counsel was also intervened in this
25 proceeding, and they issued interrogatories to the

1 investor-owned utilities alone.

2 As you said, their customer comment portal was
3 opened on October 9th. We solicited inputs from
4 also stakeholders, such as Chambers of Commerce,
5 local businesses, League of Cities, things of that
6 nature, and that was on December 9th.

7 The portal was closed on May 1st. We have to
8 have a cutoff date to start finally tallying this
9 information, but I will get to that a little later.

10 Basically, we found no anomalies between
11 utilities about outage causes. It was all pretty
12 similar, and the restoration times were also
13 comparable.

14 All utilities have similar staging, damage
15 assessment and workload management processes.

16 Again, the primary cause of outage was wind
17 and windblown debris, mainly trees outside the
18 right-of-way, and flooding. This is similar to the
19 damage that we saw in '04 and '05 hurricanes.

20 Transmission structures generally performed
21 well during these storms. We had a handful of
22 affected facilities, but some of them did affect
23 wholesale customers, Munis and Coops. They are
24 transmission -- most of them are transmission
25 dependent utilities, and require on the IOU's

1 transmission system to serve their retail
2 customers.

3 Good news during recovery efforts, you had a
4 large contingent of crews from outside the state
5 and outside the country even, as far away of
6 Canada, only reported 98 injuries, and no
7 fatalities. When you look at the damage and the
8 debris around, and the hazardous working
9 conditions, that's a pretty amazing feat.

10 On a macro level, I think staff could come to
11 the conclusion that it looks like hardened -- our
12 hardening policies have worked. There was some
13 irregularities, or lack of granular data that staff
14 would have liked to have seen, but I think when you
15 step back and look at the bigger picture, I think
16 we can make the conclusion that it looks like our
17 policies are working.

18 One other thing we found is under our current
19 pricing policies, where the requester of
20 underground pays the differential for overhead,
21 installation of underground has been growing
22 steadily, but it's mainly been in new construction,
23 is where we have seen the growth there.

24 Most common impediments to restoration time
25 were debris removal, which is similar to other

1 hurricanes. For Irma, we had the other additive of
2 local traffic issues, and I should also add to
3 this, fuel.

4 On the customer portal, we had over 700
5 customer comments come in. Most of them were the
6 majority were for the IOUs, and some refer to Munis
7 and Coops. This -- this was surprising to me. We
8 actually had 10.6 percent comments were positive,
9 that they gave an attaboy to the utilities for
10 their responsive efforts. We were used to seeing
11 mainly negative comments.

12 Common themes were frustration with timely
13 communication, cost responsibility for restoration
14 and support for solar distributed generation.

15 COMMISSIONER BROWN: Tom, can I stop you there
16 real quickly?

17 MR. BALLINGER: Yes, ma'am.

18 COMMISSIONER BROWN: Regarding the most common
19 impediments to the restoration time, it says debris
20 removal and local traffic issues. So these are --
21 it's kind of outside the scope of the PSC's
22 jurisdiction, would you agree, those two issues?

23 MR. BALLINGER: Yes. Let me back up.

24 The debris removal, when I said not trash on
25 the side of the street, but just trees in lines,

1 and getting that cleared, it takes time before you
2 can actually work on the facilities. And that's
3 common for other storms we had, too.

4 COMMISSIONER BROWN: How can we improve, or
5 how can we effectively improve on these issues,
6 though?

7 MR. BALLINGER: That's -- that will be coming
8 later in June. And, yes, if these were out of
9 right-of-way trees, let's say, yes, that is outside
10 of our jurisdiction. So in other words, if a
11 utility trimmed its right-of-way, but a tree that
12 was outside of it fell in, there is not much we can
13 do. That requires a coordination between the
14 utility and local governments.

15 COMMISSIONER BROWN: Chairman Graham.

16 CHAIRMAN GRAHAM: Tom, so I guess the question
17 is, how do we know how much of this is actually
18 tree debris that's actually in the right-of-way or
19 it's stuff that's just still sitting around?

20 I can just tell you from the local government,
21 one of the biggest complaints you get is -- because
22 that stuff is going to sit around for weeks
23 sometimes before somebody comes along and picks it
24 up, which it's not -- you know, which is not the
25 responsibility of the utility. And I guess I am

1 trying to figure out of these complaints you are
2 talking about, which is which, or do we know?

3 MR. BALLINGER: This wasn't a complaint. This
4 was an observation in the field of what impeded the
5 restoration efforts. That was where our question
6 was at, is how -- did something slow you down from
7 getting the power back on. They probably cut the
8 debris and laid it on the side of the road and
9 fixed the facilities and went on their way. After
10 that, that is a local issue to remove the debris.
11 That's not what we are talking about here.

12 CHAIRMAN GRAHAM: Okay. Thank you.

13 MR. BALLINGER: Does that help?

14 COMMISSIONER BROWN: Yes.

15 CHAIRMAN GRAHAM: Yes.

16 MR. BALLINGER: Okay. Now we can move on to
17 the workshop structure.

18 In the agenda, it shows day one, we are going
19 to hear from the utilities today. They are going
20 to provide you a 10-minute overview of these
21 topics.

22 Afterwards, there will be questioning, and we
23 will probably go by these topic areas to help
24 facilitate discussion.

25 Day two, we will hear from the nonutility

1 stakeholders, such as Office of Public Counsel,
2 some -- there is a city, a few city representatives
3 will talk to you as well.

4 After this, all of this information is final,
5 staff is preparing a report and will bring it to
6 you to the June 19th Internal Affairs that's
7 currently scheduled then, with some recommended
8 future actions. It may be other dockets, it might
9 be suggested legislation, other activities.

10 So with that, I will end. If you have any
11 questions for me, I will take them now or at any
12 time during the day.

13 COMMISSIONER BROWN: Commissioner Polmann.

14 COMMISSIONER POLMANN: Tom, can we go back to
15 your page six, please?

16 I believe I heard you, in reference to these
17 comments, something to the effect of damage more
18 recently, perhaps within 2017, being similar to
19 earlier years, like 2004, '05, or thereabouts.

20 And the term similar, did you mean the type of
21 damage, meaning here, like, the wind, windblown
22 debris, and so forth, and not the degree of damage?
23 Could you clarify on that?

24 MR. BALLINGER: Correct. It's the type. It's
25 the cause of the damage. It's wind and windblown

1 debris, mainly trees falling down. I will say,
2 probably in this storm, less wind only damage,
3 partially from our pole inspection program. In '04
4 and '05, there were a lot of rotted poles that were
5 still standing before the storms came, but blew
6 over during the storm with wind only, no trees
7 impacting them.

8 Since then, I think our pole inspection and
9 replacement program has done a good job of
10 replacing those poles before they were subject to
11 fail to wind only, and we saw there is evidence
12 about a lot less poles replaced during Irma than
13 there were during, let's say, Wilma.

14 COMMISSIONER POLMANN: So this is back to your
15 point, that in a severe storm, there will be
16 damage, and a lot of that is related to wind and so
17 forth. And, quite frankly, I guess what you are
18 saying is that some of that is unavoidable, but the
19 extent of the damage, because of the hardening, is
20 what we are really examining. Is how is that
21 different? Am I understanding that right?

22 MR. BALLINGER: Correct, and I hate to make a
23 comparison to past storms on the amount of damage
24 because every storm is different.

25 COMMISSIONER POLMANN: Yeah, okay.

1 MR. BALLINGER: I will also say that hardening
2 was never intended to design against trees falling,
3 as I said earlier in my slide. So even though they
4 are a hardened system, if a tree is into the
5 right-of-way, it's -- or into the lines, it's going
6 to come down. You can only do so much to protect
7 against that.

8 COMMISSIONER POLMANN: Thank you.

9 COMMISSIONER BROWN: Commissioners, any other
10 questions before we move on to utility
11 presentations?

12 Okay. Seeing none. Thank you, Tom.

13 All right. The order -- the utilities have
14 filed PowerPoint presentations in this generic
15 docket concerning their storm preparedness and
16 restoration activities, and we are going to be
17 hearing from each of the presenting utilities.
18 They will have an opening statement to give
19 regarding these activities, and the order will go
20 as follows: Florida Power & Light, Duke Energy,
21 TECO, Gulf, FPUC, FECA, followed by FEMA.

22 Commissioners, as I stated please feel free to
23 jump in if you have a question, just let me know,
24 and staff will be asking questions following the
25 conclusion of all of the presentations.

1 So with that, we will begin with Florida Power
2 & Light. Welcome.

3 MR. OLNICK: Thank you. Good morning,
4 Commissioners. I am Bryan Olnick, and I am FPL's
5 Vice-President of Distribution Operations, and I am
6 glad to be here presenting on behalf of Florida
7 Power & Light.

8 And just as we did after the 2004, 2005 storm
9 seasons, we are looking forward to partnering with
10 you at this workshop, and beyond, to continue to
11 make sure we can improve and respond to storms.

12 While we believe the actions taken following
13 the 2004, 2005 storm seasons have provided
14 significant improvements and excellent results to
15 date, we do recognize our customers desire even
16 better performance. And since Florida is more
17 susceptible to hurricanes than any other state, we
18 must continue to be a leader and vigilant in
19 preparing and responding for storms.

20 So our first topic is damage outage prevention
21 and storm restoration. Now, that covers a lot of
22 ground, so let me start with distribution
23 transmission hardening, where we've made great
24 progress. For critical infrastructure feeders and
25 community feeders, we are 95 percent complete with

1 the remaining expected to be hardened by the end of
2 this year.

3 In 2016, FPL broadened the scope of its feeder
4 hardening process to address the remaining
5 60 percent of our non-hardened feeders in our
6 system, and our entire feeder system is expected to
7 be hardened or placed underground by 2024.

8 Keep in mind, as Tom said, hardening will not
9 prevent all outages; however, our forensic data
10 does confirm that hardening facilities mitigate
11 infrastructure damage and provide for faster
12 restoration.

13 In 2014, we completed installation of flood
14 monitors in more than a third of our substations.

15 On our transmission wood structure replacement
16 program, we are happy to say it's almost 90 percent
17 complete.

18 Restoration has also benefited from Smart
19 Grid. With over 83,000 Smart Grid devices, we were
20 able to avoid 118,000 outages in Matthew, and over
21 546,000 outages in Irma.

22 COMMISSIONER BROWN: Could I just stop you a
23 moment?

24 How do you -- how do you quantify that?

25 MR. OLNICK: The way we quantify that --

1 COMMISSIONER BROWN: The metrics.

2 MR. OLNICK: Yeah, the metric -- is in --
3 if -- if an outage -- if, let's -- let me use an
4 example.

5 If a tree was to fall on a line, and we could
6 restore that line quickly using automation and
7 prevent the outage in a matter of seconds, we can
8 measure that, and so that's an outage we avoided.

9 COMMISSIONER BROWN: So has it -- the avoided
10 outages, as a result of the Smart Grid technology
11 that Florida Power & Light has implemented, is that
12 because there are more smart meters?

13 MR. OLNICK: It's the combination of smart
14 meters and, in this particular case, the more
15 active device that helped that was our automated
16 feeder switches that we are putting on our
17 mainlines. We have -- just over the last many
18 years, we've installed several thousand of them.
19 Our goal is to have them in all feeders here over
20 the next couple of years, and so it allows the grid
21 to somewhat reconfigure almost on its own to sense
22 a fault and to eliminate outages as quick as we
23 can, and isolate them.

24 So that was probably the main -- one of the
25 key drivers for the reduction in these outages.

1 COMMISSIONER BROWN: How do the smart meters
2 interplay during the storm?

3 MR. OLNICK: In a lot of ways, and in
4 different -- in different stages of the storm.

5 Smart meters are -- have become a key element
6 in day-to-day restoration. I think smart meters --
7 to help clarify, smart meters need power to
8 transmit, and so day-to-day, they provide us a
9 wealth of information.

10 During the storm, initially when there are
11 millions of customers out of service, the
12 information we get back from them the first hours,
13 and maybe the first day, is somewhat limited. But
14 as we continue to restore power, they allow us --
15 we can ping them. It gives us the ability to see
16 who's in power and who's out of power. It helps us
17 determine if there are nested outages.

18 Our crews, when they are working in a
19 particular area, as they restore that area, they
20 can ping devices in that area to make sure, before
21 they leave, they didn't miss somebody.

22 So it -- as you go through the process, they
23 become more and more valuable in the restoration.

24 COMMISSIONER BROWN: That's excellent. Thank
25 you.

1 MR. OLNICK: Uh-huh. Thank you.

2 Our next area in kind of technology is the
3 increasing use of drones, too. It also allows us
4 to more quickly assess damage. They were very --
5 they are very relevant, especially in Irma.

6 Smart meters, as we have just discussed, have
7 also become a very valuable tool in reducing
8 restoration times.

9 Pole inspections. The Commission's mandated
10 pole inspection program has been instrumental in
11 reducing the amount of pole failures experienced
12 during Matthew and Irma.

13 We completed our first eight-year pole
14 inspection cycle in 2013, and are on schedule to
15 complete the second cycle.

16 For vegetation management, we continue to
17 execute our approved trim cycles, mid-cycle
18 trimming, hot spot trimming and customer trim
19 requests.

20 We promote FPL's Right Tree, Right Place
21 initiative with our customers and local
22 governments. Although, unfortunately, we have
23 encountered some resistance from a few local
24 governments on this initiative.

25 As discussed earlier, storm preparedness is

1 really a key element of restoration performance,
2 and something FPL focuses on year-round through its
3 planning. It includes our annual training for all
4 of our storm roles; our annual corporate dry run,
5 which is going on this week; and a simulated
6 staging site exercise.

7 In Matthew and Irma, FPL pre-staged more
8 resources than ever before, and overall restoration
9 time significantly improved versus Wilma. So some
10 examples:

11 In Matthew, we restored 99 percent of all
12 customers in two days.

13 In Irma, we restored 50 percent of customers
14 in one day.

15 And you compare that to Wilma, when it took
16 almost five days to restore 50 percent of the
17 customers.

18 Also in Irma, which impacted a much larger
19 area than Wilma, we restored all customers within
20 10 days versus 18 days it took in Wilma. This
21 shows our investments are really paying off for our
22 customers.

23 Our second topic is infrastructure
24 performance, specifically hardened versus
25 non-hardened.

1 Hardened distribution and transmission
2 facilities perform significantly better than
3 non-hardened facilities during both Irma and
4 Matthew.

5 For distribution, during Hurricane Matthew,
6 zero hardened poles failed and had to be replaced
7 in order to restore service. And during Irma, only
8 26 hardened poles failed and had to be replaced to
9 restore service.

10 Now, compare those numbers to the results of
11 non-hardened distribution poles during Matthew,
12 408, and during Irma, 2,834 non-hardened poles
13 failed and had to be replaced to restore service.

14 The total amount of poles replaced during
15 Matthew and Irma was significantly less than Wilma.
16 In Wilma, we had more than 12,400 poles that needed
17 to be replaced. And I credit that improvement, not
18 just to hardening, but also to the eight-year pole
19 inspection program.

20 Hardened feeders had fewer outages and
21 restored in half the time as compared to
22 non-hardened feeders.

23 For our transmission, again performance was
24 excellent. Zero hardened transmission structures
25 failed during Matthew and Irma.

1 Additionally, our flood monitors devices
2 allowed us to deenergize several stations and
3 prevent significant damage.

4 The third topic focuses on comparing our
5 overhead facilities performed versus our
6 underground facilities during both Matthew and
7 Irma.

8 Our underground facilities performed extremely
9 well compared to our overhead facilities during
10 these storms, which was expected, given the primary
11 cause of the overhead outages in both Matthew and
12 Irma was vegetation. Much of which was outside of
13 our easements and public rights-of-way, and beyond
14 areas we are permitted to trim. And no amount of
15 trimming by FPL would prevented damage caused by
16 these uprooted and fallen trees, and broken tree
17 branches from a distance.

18 During Matthew, underground feeders and
19 laterals performed approximately 95 percent better
20 than overhead. And during Hurricane Irma, they
21 were approximately 80 percent better.

22 The fourth topic involves identifying
23 impediments encountered during storms, trees in
24 roadways, flooding, storm surge, debris removal,
25 traffic congestion, they all delayed restoration.

1 The fifth topic concerns customer and
2 stakeholder communication. For storms, we leverage
3 all possible channels to ensure we are properly
4 communicating with our customers and stakeholders.
5 And as you know, communication methods have changed
6 significantly since that destructive 2004, 2005
7 hurricane season. Smart phones and social media
8 are now really key tools of communication with our
9 customers.

10 Irma's impact helped us identify some key
11 opportunities to improve communication. Our
12 website and digital systems experienced
13 unprecedented customer traffic, which caused
14 website performance issues, and affected our
15 customers' ability to get information.

16 So we've completed our initial system
17 improvements to ensure that capacity of the digital
18 systems can now handle extreme volumes of customer
19 traffic even beyond the volumes we experienced
20 during Hurricane Irma. But we are working on
21 solutions to provide more timely and accurate
22 restoration information to our customers and
23 stakeholders during restoration. And we are now
24 improving our ability to coordinate multiple
25 information systems, including bringing in outage

1 tickets, using smart meter data and other systems
2 all together.

3 The last topic was key improvement
4 opportunities, and we have three.

5 The first involves our new three-year
6 underground lateral pilot program, which we are
7 pursuing largely based on the lessons learned from
8 the excellent performance we had of our underground
9 facilities during Matthew and Irma. We expect that
10 this pilot program to provide valuable insight on a
11 whole host of issues on undergrounding.

12 Our second suggestion is for advocacy at the
13 state and local level to adopt and enforce our
14 Right Tree, Right Place philosophy.

15 And the third improvement involves
16 reintroducing the requirements of the eight-year
17 pole inspection program on telephone companies that
18 own poles with electric facilities. Reintroducing
19 these requirements would ensure that all poles with
20 electric facilities attached meet applicable
21 standards for electric utilities.

22 And that concludes my presentation. Thank
23 you, Commissioner and staff.

24 COMMISSIONER BROWN: Thank you.

25 I believe there is going to be a few questions

1 here.

2 Commissioner Polmann.

3 COMMISSIONER POLMANN: Thank you, Commissioner
4 Brown.

5 I would like to ask -- and this is directed to
6 all of the utilities in this particular segment, so
7 I am not looking for an answer right now, but --
8 and also to staff, if you would please pose a
9 question when you get to your section, but I am
10 going to put this on the table now so you can be
11 thinking about this when staff -- and they may
12 already have this question.

13 But what I heard in your presentation was
14 mention of relationship or coordination issues with
15 some local governments. And we've heard some about
16 this. And I think this is on our mind at this
17 point and -- so without specifics, I am not talking
18 to examples. We are not here to deal with the
19 specific issues that any of you may have with a
20 particular local government. That's not the
21 discussion for today.

22 But what I would like for you to consider, and
23 provide to staff, is actions that you think, from
24 your experiences, would be most helpful to address
25 the sticky relationship issues that you are having,

1 or anticipate, with a local government from your
2 experiences. So actions that you think would be
3 most helpful, and the question is in the context of
4 coordinated assistance from third parties. You
5 alluded to that here just a moment ago.

6 So between the utility and the local
7 government, what type of assistance from third
8 parties, be it from the Commission, from higher
9 level governments, such as the State, or from
10 others who could assist?

11 I mean, there are issues that you are dealing
12 with that seem to be problematic. So moving
13 forward, there are things that need to be resolved.
14 So what third-party, and what kind of action would
15 be helpful that we may be able to facilitate, or
16 somebody else may be able to facilitate, or we
17 could help directly. So I don't know what that is,
18 but I think we need to identify those things. We
19 would like to hear them.

20 Now, at least some thought about that -- that
21 we can pass that on to staff, and maybe something
22 can move forward. And staff already has some ideas
23 in mind. We may have some things in mind.

24 So I will just leave it there. Please be
25 thinking about that, and whether you can provide a

1 specific response to that today, or kind of allude
2 to it and get back.

3 So thank you, Commissioner Brown.

4 COMMISSIONER BROWN: All right. Commissioner
5 Clark.

6 COMMISSIONER CLARK: Thank you, Madam Chair.

7 Just kind of a broad statement to begin with
8 for all of the utilities involved. First of all, I
9 want to commend you all on the safety record that
10 we achieved during these storms. The number of
11 workers that we had in the field, and the safety
12 record that was displayed is very, very impressive,
13 and that goes to just a testimony to the amount of
14 work that each of your companies have put in to
15 making safety the number one priority of these men
16 and women that are in the field trying to restore
17 service during these dangerous times. So I want to
18 go on record first of all saying that.

19 I have a question for each of you, and it kind
20 of plays a little bit off of what Mr. Polmann had
21 asked, but specifically related to the role that
22 this Commission plays in these procedures.

23 I would like a very short, succinct answer to
24 what is the one thing that this Commission can do
25 to help you, as a utility company, to restore

1 services better, faster, what is the one thing that
2 we can do to assist you in this outage management
3 process during major storms?

4 Mr. Olnick, I will -- since you are on the
5 fence already.

6 MR. OLNICK: I wish I could have two,
7 because --

8 COMMISSIONER CLARK: Give me two, if you have
9 two on the top of your head, absolutely, please
10 give them to us.

11 MR. OLNICK: Well, I know I'm probably putting
12 someone on the spot, but of the three that I did
13 mention, in our system, we have approximately 1.2
14 million of our own poles, but we have about over
15 200,000 other utility poles that we are attached
16 to, and they are very much a weak link in our
17 system.

18 And I know that, in my remarks, I suggested
19 that we reconsider either reinstating a pole
20 inspection program, or something else, for those
21 other utilities, because that is a weak link in our
22 system.

23 The second one, if I had the chance, and this
24 gets back to, I think, Commissioner Polmann's
25 request, too, is we are working closely with some

1 of our local municipalities and governments on
2 helping us put some more firm regulations in place
3 for Right Tree, Right Place, so that there is some
4 recourse if you don't abide by the local ordinance,
5 but that is always a challenge for us.

6 And so that's -- those are -- if you were to
7 give me the second one, that would be my second
8 one.

9 COMMISSIONER CLARK: And a follow-up
10 question -- thank you for those answers.

11 Does FPL keep some -- an individual in each of
12 the EOCs that are activated during a storm?

13 MR. OLNICK: We serve 35 different counties,
14 and during Irma, we had staffed, I believe it was
15 28 or nine, only because of the remaining four or
16 five, they are in counties where we have maybe less
17 than 100 customers. And so those -- those we
18 maintain contact with the EOCs, but those we did
19 not staff. All of the other ones, we staffed.

20 COMMISSIONER CLARK: Okay. And my final
21 question is related to the critical facilities list
22 that FPL maintains.

23 Would you see any advantage in shifting the
24 responsibility for the maintenance and management
25 of critical facilities list to the EOC and away

1 from the utility companies?

2 MR. OLNICK: The -- when you say the
3 management of the list, maybe I can describe to you
4 the process that we go through every spring. And
5 we just completed that process once again, where we
6 will meet with the local representatives of the
7 EOC.

8 When we have that meeting, and we identify our
9 critical infrastructure function list, we go into
10 that meeting having already pre-identified acute
11 care facilities and 911 facilities in that county.
12 So those are our coming-in list that we are already
13 saying whatever you say or not -- we are including
14 those right off the bat. Then everything after
15 that, it's really up to the EOC in our discussion
16 with them to choose.

17 We have a definition of what we consider
18 critical infrastructure functions. It could be
19 anything from a water treatment plant, to a jail,
20 or whatever that county thinks is the most critical
21 for that particular county, and then it's
22 essentially their list.

23 We will manage it for them, only because we
24 need to know where those facilities are and what
25 they are located on, but it's -- beside the upfront

1 choosing of acute care and 911, which we -- those
2 are ours to define, all the other ones, it's really
3 essentially their list.

4 COMMISSIONER CLARK: And they prioritize the
5 restoration of those critical facilities for you?

6 MR. OLNICK: They -- they -- we agree to what
7 that list is. And then in our restoration process,
8 they are all looked at based on kind of a level of
9 what they are. And so they get prioritized based
10 on what kind of critical infrastructure function
11 they may be.

12 In our restoration process, from day one, all
13 the critical infrastructure functions get the
14 highest priority beyond getting our plants online
15 first.

16 COMMISSIONER CLARK: I don't -- I don't want
17 to get into a hypothetical, but I'm trying to
18 understand how the facilities are evaluated even by
19 the counties.

20 Just for example, if you had two hospitals
21 that were served out of two separate substations on
22 two separate feeders, and you had to begin a
23 restoration process, the county would determine
24 which one of those facilities that are -- or your
25 predetermined list, or your agreed to list would

1 determine which one of those was restored first?

2 MR. OLNICK: No, the county wouldn't do that.
3 That would really be -- that would really depend on
4 the restoration process itself. We would be
5 looking at both of those at the same time, but --

6 COMMISSIONER CLARK: But you have limited
7 resources, you are going to have to decide. I
8 guess my question is, would it help -- be helpful
9 for you if the county said, these are the
10 priorities. Here are the restoration priorities,
11 and assuming you had this example, we would rather
12 you put the resources on this facility as opposed
13 to this facility to get this one done. Would that
14 relieve you of any liabilities?

15 MR. OLNICK: Typically, those discussions take
16 place. So with our representatives at the EOC,
17 once -- once our initial, let's say, patrol and
18 assessment is done of those two hospitals, we will
19 have that discussion with our representative at the
20 EOC with their representative of the EOC, and say,
21 this is the situation. And so that discussion
22 would take place then.

23 COMMISSIONER CLARK: And by having that
24 representative in the EOC, it makes the
25 communication much easier?

1 MR. OLNICK: Exactly, because each -- each
2 storm is different. So to say this hospital is
3 more important in this storm, it may not be that
4 way the next storm, so that's why it is key to have
5 those representatives so we can have that
6 discussion.

7 COMMISSIONER CLARK: Thank you, sir.

8 COMMISSIONER BROWN: Chairman Graham, followed
9 by Commissioner Fay.

10 CHAIRMAN GRAHAM: Thank you.

11 Bryan, I have got a question for you to, I
12 guess, try to understand the tools that you are
13 using.

14 Earlier, you mentioned -- you were talking
15 about smart meters, and you would have to ping that
16 meter to see if the meter was on. Now, I guess my
17 vision is you can look at a screen of a thousand
18 homes, and you can see over here, 200 of those
19 homes are out. Now, do you actually have to take
20 action to see if those homes are there, or is it
21 automatically on the screen? Do you have to ping
22 each one of those to see if each one of those 200
23 are out, or can you look at the screen and see
24 those 200 are all out?

25 MR. OLNICK: You can -- maybe let me answer it

1 this way.

2 In a day-to-day scenario, I can ping an
3 individual meter, or I can ping a group of meters,
4 and our line workers and trucks have that
5 capability. They can ping thousands of meters.

6 Typically, an outage that, on a day-to-day
7 basis they are responding to, that would be the
8 scope of something they would be working on.

9 In a hurricane, when you have millions of
10 them, that process is not as efficient. So we do
11 two things. We have a group of individuals at our
12 command center that -- that do some of that work
13 for our line crews, because they are more available
14 to do it.

15 And if I can answer -- if this is, I think,
16 what you are looking for. It's not -- it's
17 dependent, again, on how far along we are in the
18 restoration, because you may try to ping those
19 meters, and some of them may be in and some of them
20 may be out. But if the infrastructure is not
21 robust enough, and has enough systems in place to
22 see everything, you could potentially miss
23 something. And so it kind of depends on the timing
24 of when you do that.

25 There is no giant screen that we look at and

1 look at every individual one. But within the
2 laptop device, or the screen that could be at one
3 of our staging sites, they could see a pretty large
4 area and zoom in and out to a community level. But
5 once you get past thousands, it's very hard to
6 distinguish what that little red or green dot is on
7 a map. You end up kind of zooming in.

8 So it is very helpful to get down to more of a
9 localized level than it is zooming out and looking
10 at the bigger picture.

11 CHAIRMAN GRAHAM: All right. So maybe I am
12 putting more -- too much of an effort into the word
13 ping. When you are saying you are pinging
14 something. If you just pull up a thousand homes,
15 is that pinging a thousand homes once you pull the
16 screen up, or is it more involved than that?

17 MR. OLNICK: No, it -- it can. And this is --
18 this is the challenge during a hurricane event.

19 On a normal day-to-day, if you call our care
20 center, the representative can ping your meter and
21 literally, within seconds, get a response.

22 When you have a lot of your system and
23 millions of homes out of power, that can take hours
24 to ping all of those. And so the timing
25 difference, and the expectation is a lot different

1 on a day-to-day than it is for a storm. It's
2 just -- the system to go through and do a million
3 at a time can take hours. So that's kind of the
4 difference.

5 CHAIRMAN GRAHAM: So like on a normal outage,
6 do you have to react to somebody calling in, or is
7 there an operator or somebody somewhere that sees
8 the screen and say, okay, we just had a transformer
9 blew out here and 100 homes are out, or -- I mean,
10 is that on the screen somewhere, or is that a phone
11 call that comes in? How do does that -- that
12 person know that there is a problem?

13 MR. OLNICK: So normally, on a day-to-day like
14 today, probably over 90 percent of the outages
15 through either our SCADA system or our meters
16 telling us that -- that something happened and
17 somebody is out of power, most of the time we do
18 know. During a hurricane, though, that's -- that's
19 different, as the network goes down.

20 If a customer calls our care center, and that
21 phone number is the phone number they are using on
22 file, it actually -- and they want to talk to a
23 care center rep, it actually pings the meter, gets
24 the status, gets the reading before that customer
25 even gets a chance to talk to the care center rep.

1 So the care center representative already has that
2 information ahead of time.

3 So day-to-day, a lot of that is almost done
4 behind the scenes without anybody having to do it.
5 During a storm, because of the complexity of having
6 millions and the timing of it, it goes from seconds
7 to hours because of the volume. The system, to
8 process millions of those, can take hours to do
9 that.

10 And that's one of the enhancements that we've
11 actually added since Irma, is we relied heavily
12 just on our outage management system to give us an
13 indication of who was in or out. And when one of
14 our line crews was working during the storm, it may
15 have taken them hours -- minutes or hours when they
16 finished to radio in and say I am done.

17 During -- during day-to-day, that's more
18 automatic. During -- after Irma, what we've done
19 is now we've tried to leverage -- even though it
20 takes hours to ping all of those meters, we are
21 bringing that in with our trouble call system, so
22 in the future, when a customer calls during a
23 hurricane, we are trying to leverage multiple
24 sources of information, even though it could be
25 hours old, to at least give a higher confidence

1 level of what we've seen in the last couple of
2 hours.

3 CHAIRMAN GRAHAM: That kind of segues into, if
4 I can, segues into my -- my second question.

5 As you heard Tom say earlier, and as I am sure
6 you are aware, communication is one of the key
7 things to all of this. And I know we go out and
8 get mutual aid from other utilities. Do we get
9 mutual aid when it comes to customer service as far
10 as somebody answering the phone?

11 MR. OLNICK: We actually did do this during
12 Irma. It was one of the first times I am aware of
13 in our -- in our company's experience we did
14 something like this.

15 I won't mention the utility, but they were far
16 on the west coast, and they actually opened up
17 their care center, and we leveraged, I believe,
18 hundreds of their care center reps to answer
19 phones. That now has become more of a standard
20 process for us moving forward.

21 So during Irma, we do have two care centers in
22 Florida. We have one in Texas. The one in Texas,
23 we put there after '04-'05 hurricane season as a
24 lesson learned. And during Irma, we did actually,
25 through mutual exchange, reach out to other

1 utilities, and that was one of the first times, to
2 my knowledge, we've done that. And again, that
3 will be more of a standard practice in the future.

4 CHAIRMAN GRAHAM: Now, will they also have
5 access to your computers as well so they can answer
6 some of these questions?

7 MR. OLNICK: They will. And that was the
8 uniqueness of certain utilities that have a similar
9 phone answering system that you do. It was -- it
10 was easier for them to be able to do that because
11 their systems and interfaces were very similar to
12 ours. And so we are working with a few other
13 utilities that can do something very similar. I
14 think we've identified a few more.

15 CHAIRMAN GRAHAM: Thank you.

16 COMMISSIONER BROWN: Commissioner Fay.

17 COMMISSIONER FAY: Thank you.

18 I will be -- piggyback with the rest of the
19 Commission a little bit, in that I -- I see the
20 time that the utility spends to repair lines as
21 being the top priority. And as you address some of
22 those issues, you run into how do you even get
23 access to those lines, and what's an efficient way
24 to do that?

25 And so my first part of that question is how

1 do you coordinate with the State, or with your
2 other resources, to make sure your folks are
3 getting to those lines quickly, and their time is
4 spent working on the lines and not addressing
5 blockages?

6 MR. OLNICK: Again, probably the biggest
7 advocate that we have is our representatives in the
8 EOC, and that would be the State EOC as well as the
9 local EOCs, to be able to be there and available to
10 remove big barriers. Then -- then locally, through
11 either -- if it's beyond just EOCs, our local
12 representatives and customer service
13 representatives can do the same thing.

14 So our -- our coordination at the state level
15 through -- again, if it's a big issue, we will work
16 through the State EOC. If it's a more localized
17 issue, we can work through the local EOC. If it is
18 a school board issue, we will work through the
19 local school board.

20 So it's having those relationships and having
21 those contacts. And if it's at a municipal or
22 county level, if it's access to a water plant, or
23 so forth, we work through our EOC representatives
24 and they are very quick in getting whatever contact
25 we need to get in contact with.

1 Accessing during a storm, it's not as much
2 accessing a locked gate as it is sometimes, because
3 of storm damage, getting access into something
4 because of a tree or something in the way.

5 COMMISSIONER FAY: Do -- are there certain
6 entities that are more responsive than others, or
7 more consistent? I know you cover a large
8 territory. Do you prioritize who you reach out to
9 to deal with those issues?

10 MR. OLNICK: I wouldn't say we prioritize as
11 much as we -- we use every contact we have through,
12 whether it's the EOC, or our representatives that
13 have a relationship with whatever business it is,
14 or school board, or whatever it is.

15 I wouldn't -- again, I would say that -- that
16 having representatives in the EOCs, state and
17 local, are probably the biggest advantage to being
18 able to do that.

19 COMMISSIONER FAY: Great.

20 And then the other part of the question is --
21 I might be disclosing my nerdiness a little bit
22 here, but I noticed the use of drones to at least
23 get some visuals on some of these issues. Can you
24 talk a little bit about the benefits and the
25 changes that you have made to use those

1 advancements; and then, you know, what is working,
2 and what you -- what you intend to expand on?

3 MR. OLNICK: So during Hurricane Irma, we
4 utilized 29 staging sites. Each one of our staging
5 sites had two drone teams assigned to them. In
6 Irma, we flew over 1,130 something drone flights.
7 We got waivers from the FAA to fly several out of
8 line of sight just because the areas were so
9 flooded that it was very hard to get into and
10 access.

11 So to have -- to have -- you know, one of my
12 key things I always tell my incident commanders is
13 I don't want any surprises. And so you can be
14 working for days, and then all of a sudden you get
15 back in an area that was covered with trees and
16 find out there is a lot there that you weren't able
17 to see because you couldn't access it.

18 And so they have given us a tremendous amount
19 of ability to get visual line of sight of damage.
20 We've also learned how to use them in some very
21 unique ways as a delivery method to carry a piece
22 of -- a device, a rope strung to a wire so it can
23 fly the rope across a channel with the wire
24 attached so we can then pull the wire across the
25 channel.

1 We have found all kinds of ways during -- I
2 think during Irma, this was probably the most drone
3 missions that any utility has flown in an event.
4 And so it was a real -- real good testimony of the
5 different ways that you can use them.

6 Safety was mentioned earlier. You know, in a
7 very complex restoration effort, it's great to have
8 one above to watch what's going on so that, you
9 know, you get a different perspective on the work,
10 and so forth.

11 So the ability to actually -- again, I don't
12 like surprise, so the ability to try to get ahead
13 of what kind of damage is in flooded areas and
14 heavily treed areas, and areas that you just can't
15 access safely, for whatever reason, was -- was --
16 saved a significant amount of time in some of
17 these.

18 COMMISSIONER FAY: Yeah. So I think the
19 safety issue alone is reason to use this new
20 technology. And I think it sounds like you guys
21 did a great job using it.

22 Are there any barriers to the use of these, or
23 is there anything on a federal or local level that
24 is an issue?

25 MR. OLNICK: There is. You know, there are

1 certain restrictions on a federal level that we
2 have all been working cooperatively with certain
3 agencies at the federal level to try to be able to
4 remove some of these restrictions. And we've been
5 making a lot of progress, and hopefully we will
6 continue to make some progress. They were very
7 helpful in giving us some waivers to be able to fly
8 further.

9 The biggest restriction right now is you have
10 to have visible line of sight and control. When
11 you may have a line that goes for miles, and you
12 would like to fly that drone farther than you can
13 see it, and that's beyond line of sight. And so
14 we -- they did give us many waivers during Irma
15 that allowed us to do that. And -- and that is
16 probably one of the -- the bigger areas that we
17 will continue to work with a lot of those agencies
18 on, but we are continuing to make a lot of
19 progress; but any help you can give us on that one,
20 we will take.

21 COMMISSIONER FAY: Great. Thank you.

22 Thank you, Chair.

23 COMMISSIONER BROWN: Commissioner Clark,
24 followed by Commissioner Polmann.

25 COMMISSIONER CLARK: Just a follow-up on

1 Chairman Graham's questions regarding the ability
2 to ping meters. I had similar experience with the
3 power line carrier system, the communication level
4 between the command center and the substations.

5 Is that where your issue is, is the link -- is
6 your data link between the substations, it's
7 limiting your ability to ping multiple meters, or
8 is an actual power line carrier -- is it actually
9 the meters that you are using and the speed at
10 which they transmit?

11 MR. OLNICK: It's not the power line carrier.
12 It is, I will say, really, kind of two things.

13 The way -- the way this system works, the way
14 a lot of these technologies work, they bounce off
15 of each other to get a message home. And during a
16 normal day-to-day basis, when you have millions of
17 them out there, that works very effectively. When
18 you have large-scale outages, sometimes the way
19 they normally find a way home, which could be
20 several bounces, those bounces don't exist. And so
21 it's trying to find other ways home, because that's
22 the natural technology that's built into it.

23 So normal day-to-day, what can take typically
24 seconds to find ways home, can literally take hours
25 when millions of them are trying to find a new way

1 home, and it's really more of that's --

2 COMMISSIONER CLARK: It's not a capacity
3 issue.

4 MR. OLNICK: It's not really a capacity issue,
5 no.

6 COMMISSIONER CLARK: Okay. Thank you.

7 COMMISSIONER BROWN: Thank you.

8 Commissioner Polmann.

9 COMMISSIONER POLMANN: Thank you, Madam
10 Chairman.

11 The Chairman mentioned at the opening comments
12 about exercises that are ongoing, and a question I
13 have there, from your experience, from the
14 utility's experience, I know you conduct these.
15 Would it be more helpful with regard to your
16 restoration efforts if the utilities were to have
17 these types of exercises more frequently, or to
18 involve additional parties and have more detailed
19 exercises? Because I see those from my own prior
20 experience as kind of a continuous learning process
21 where you learn adaptive management for an actual
22 storm.

23 So would more frequent, or more detailed with
24 additional parties, you think, be more helpful?

25 MR. OLNICK: So the first one, I would say

1 more frequently. When you look at the storm dry
2 run, it serves several functions.

3 We begin our normal storm training of all of
4 our employees, think of it -- the analogy I like to
5 use, it's kind of like the National Guard Reserve.
6 Just about every one of our employees, no matter
7 what their normal job is, during a storm, they have
8 another job. And so we begin that process usually
9 in January, through about now.

10 So training has gone on for about the last six
11 months, and it kind of culminates in a real live,
12 kind of lifetime live fire exercise, which happens
13 this week, which we will set up mock staging sites,
14 mock drills. It's only one of several dry runs
15 that we do every year. We also conduct other dry
16 runs for cyber attack, and other things.

17 So our -- our emergency preparedness
18 organization is a year-round organization, and we
19 do reach out and have representatives from either
20 the Commission here, and the staff, on occasion.
21 We will have representatives from FEMA, the
22 Department of Energy, from other utilities.

23 And so it is -- we do take that advantage and
24 that opportunity to bring in outsiders, Department
25 of Energy, to make observations, and then ask them

1 to actually participate during the roundtable
2 exercises with us, and give us that input that they
3 may have seen or experienced in other areas.

4 I would share, too, that although we -- we do
5 have our dry run, and we hope we don't have to
6 exercise our storm organization this year, we do
7 get a lot of practice.

8 This year, for example, from January 5th, I
9 think, until April 6th, we've had incident
10 commanders, management teams and line personnel in
11 Puerto Rico for over 90 months -- or 90 days
12 getting experience. Shortly after Irma, we sent
13 crews up to Maine. You know, we get a lot of
14 experience from mutual aid all over the country
15 throughout the year.

16 So the dry run is very important for us. It
17 helps us coordinate -- we typically try do it with
18 a state dry run. We work with the EOCs. So I am
19 pretty comfortable in doing one dry run every year,
20 but I do want to make sure that you are
21 comfortable.

22 We have a lot of input and a lot of guess, and
23 we do take recommendations in that.

24 COMMISSIONER BROWN: I just have a few
25 questions to follow up from my fellow

1 Commissioners. And I do want to bless Commissioner
2 Clark's comments on the safety. I think drones
3 have absolutely been helpful in that regard too,
4 and not just damage assessment, but there is a lot
5 of different safety measures that have been
6 beneficial to all the folks that were involved in
7 the restoration.

8 From my perspective after witnessing the storm
9 firsthand on the ground, and in the area, I see
10 vegetation management really as the biggest issue.
11 And you mentioned it, about the Right Tree, Right
12 Place program. You also mentioned a pole
13 inspection program, though, for non-electric
14 utilities that own poles with the electric
15 facilities attached.

16 I want to -- if you could talk a little bit
17 more about the Right Tree, Right Place. It makes
18 sense. It definitely makes sense during exigent
19 purposes during -- after a storm, but I imagine the
20 cities and the counties will -- or whoever owns
21 that -- that -- the land there, will oppose it.

22 MR. OLNICK: There are several that oppose it
23 quite a bit, and have their own philosophy on what
24 they think is a right tree in a right place, and a
25 right species, and are actually planting trees

1 right back under our line as we speak.

2 But we do have several county and local
3 governments that just, over the last year, have
4 actually been very cooperative in putting
5 recommendations for some more stringent local
6 regulations to ensure that homeowners, builders,
7 developers do plant the right tree far enough from
8 the line, the right type of tree, the right species
9 of tree, and are actually proposing some
10 enforcement actions to comply with that.

11 And so I give them a lot of credit, because
12 they do see the result of having lines cleared of
13 vegetation during a major hurricane event, and how
14 much quicker their community gets restored. And
15 the opposite, which we've experienced here last
16 year, can take place when you do plant trees too
17 crowded, where their roots can't take -- root
18 properly, and the wrong species of trees that
19 inevitably, in a major storm, will not stay
20 standing.

21 COMMISSIONER BROWN: I appreciate that
22 discussion. And I am interested -- I am definitely
23 interested in exploring that idea a little bit.

24 The pole inspection program that you suggest
25 for the non-electric utilities, so say you have got

1 AT&T owns a pole, which -- and who, you know,
2 really has the authority to tell them that they
3 need to harden the pole? Because it's not this
4 Commission right now.

5 So how would you suggest requiring a type of
6 pole inspection program? How do you see that
7 developing, especially for these non-electric
8 utilities that, really, the FCC maybe governs?

9 MR. OLNICK: Well, that's -- that's why I put
10 it on my list, because I think that somehow that
11 discussion needs to take place, and I think it
12 needs to take place between us. I think between
13 you, and maybe with the FCC, whoever it is.

14 But we need to figure out a way do that,
15 because it is a weak link for us, for other
16 utilities in this room, and specifically here, more
17 so, I think, in the state of Florida, maybe than
18 other areas. And I think it will continue to be.
19 And, you know, this is -- this is one area that,
20 you know, more than one will continue to work with
21 you on trying to find a solution for this.

22 I don't have the answer on who is the right
23 body or authority to do that, but I think we need
24 to figure that out.

25 COMMISSIONER BROWN: Do you think these

1 telecom companies, do you think they have an
2 appetite to harden -- are they hardening? Do you
3 know?

4 MR. OLNICK: Not a big appetite.

5 COMMISSIONER BROWN: Not a big appetite.

6 MR. OLNICK: I will leave it there.

7 COMMISSIONER BROWN: So I -- I hear
8 Commissioner Clark.

9 Commissioner Clark, you want to jump in?

10 COMMISSIONER CLARK: Yeah, I did.

11 So just as a -- just a reminder, or a
12 question, your joint use pole agreement, attachment
13 agreements with the other utility companies, just a
14 reminder, you are paying them a yearly fee to be
15 attached to that pole; is that correct?

16 COMMISSIONER BROWN: Yes.

17 COMMISSIONER CLARK: And is that -- I assume
18 that is negotiated by the utility, the two utility
19 companies.

20 MR. OLNICK: I will have to confirm how we
21 negotiate that. I am not sure if you have input on
22 that, or if that's totally negotiated with us.

23 COMMISSIONER CLARK: I wasn't either. That's
24 kind of why I was asking.

25 MR. OLNICK: You may have input on that.

1 COMMISSIONER BROWN: I will just look, does
2 staff have anything that they would like to offer
3 to Commissioner Clark's question? No?

4 COMMISSIONER CLARK: Okay. Thanks.

5 COMMISSIONER BROWN: Okay. Any -- yes,
6 Commissioner Fay.

7 COMMISSIONER FAY: Just one more follow-up.
8 Can you talk a little -- I know you touched on
9 it, but talk a little about the progress of the
10 underground pilot?

11 COMMISSIONER BROWN: You just stole my
12 question.

13 MR. OLNICK: Sure. We have -- we have a lot
14 of interest in that.

15 I believe it was maybe a year or two ago
16 when -- when we, I think during one of our last
17 cases, we shared that it's been a great vision to
18 harden our feeder system, but the next step would
19 probably be to start hardening laterals. And we
20 had a thought of what that looked like, and we
21 thought that looked very similar to harden overhead
22 laterals just like we harden overhead feeders with
23 stronger, harder poles. But after Hurricane
24 Matthew and Irma, it really shined a light on,
25 especially in rear easements with lots of trees, a

1 taller concrete -- whatever it is, the tree is
2 still going to come down.

3 And the performance of our undergrounding
4 during those storms really showed that it probably
5 could make more sense to underground a lot of those
6 laterals and rear easements than harden them
7 overhead.

8 And so what we are proposing over the next
9 several years is to do several hundred miles of
10 laterals in rear easements and try to test
11 different construction methods, different --
12 different impediments that we may see in
13 undergrounding than we see today.

14 And the reason it's different is our
15 undergrounding today has grown, and I think
16 mentioned earlier, mostly from new construction
17 over the years. Everything -- a large percentage
18 of new subdivisions, new developments are all new
19 construction. Greenfield undergrounding has its
20 own design and own issues, and when customers want
21 to underground, they come to us.

22 This is a different situation, where we are
23 going to have to go to customers and say we want to
24 underground, will you let us underground? Can we
25 go this route? Can we do this? And there are

1 different construction techniques that we may be
2 able to try to be able to do that.

3 So there is a whole new host of things now
4 that, you know, one could argue we do a lot of
5 undergrounding, and we do, but now it's a different
6 approach.

7 But we are real excited because we think the
8 long-term plan -- and this, frankly, would probably
9 be decades away, but just like we had to make a
10 decision on hardening in the 2004, 2005 season, we
11 have got to make a discission on this. This could
12 eliminate potentially a lot of the issues that you
13 may see with vegetation issues and rear-of
14 easements in the future some day.

15 So we are trying to engineer that out. You
16 know, there is one way you can do it, but you are
17 still always going to be back trimming that tree.
18 So we are trying to figure out a way to engineer
19 this out once and for all.

20 COMMISSIONER FAY: I have one follow-up.

21 COMMISSIONER BROWN: Sure, go ahead.

22 COMMISSIONER FAY: So, and I -- when I looked
23 at the program initially, it seemed like a great
24 idea, and it seems like you are going to progress
25 through it. The more staff is educating me, and

1 the more I learn about it, this change comes with
2 its own set of problems.

3 And so I know when we speak to undergrounding
4 areas that are not new development, there is issues
5 with roots, and water, and all these other
6 potential problems. Is that sort of why this is --
7 this pilot is out there, so you will have time to
8 implement and then see what some of those issues
9 may be before investing.

10 And I -- you know, I think of, literally, you
11 know, you drive down your street and you see the
12 whole area is torn up to underground, that it's not
13 a easy process. And so is that -- is the pilot
14 intended to give you efficiencies and improvements
15 before you implement anything on a bigger scale?

16 MR. OLNICK: It is. So from an efficiency and
17 improvement standpoint, obviously, one of the goals
18 here is to try to get it to be the most
19 cost-effective as we can, but to look at different
20 engineering and construction techniques, whether
21 they are directional boring, whether they are using
22 a different design of the number of transformers we
23 may use traditionally, versus do we do something
24 different?

25 So we are going to try to figure out the most

1 efficient and cost-effective acceptable to
2 customers, all of those kinds of things. I mean,
3 it may sound easy, but there is a lot of pieces
4 there we are going to have to figure out, and this
5 will be hundreds of laterals that we end up doing
6 over the next couple of years.

7 We are going to do them all over the state,
8 because customers are different everywhere, and the
9 challenges of soil conditions on the west coast are
10 different than they are on the east coast. So we
11 are going to try to figure all of that out and then
12 come to you with what we think a good
13 recommendation would be long-term.

14 COMMISSIONER BROWN: So just a quick little
15 follow-up to Commissioner Fay's question.

16 So it -- are you saying that -- are you
17 looking that undergrounding is the elixir for all
18 of the problems?

19 MR. OLNICK: No. I wish it was the magic
20 elixir, but I think, just as today in feeder
21 hardening, undergrounding makes sense in certain
22 places.

23 Part of this pilot is to see how far do you
24 go? Which -- which lines in rear-of easements and
25 laterals? Which ones do make sense to underground?

1 It may not be all. I would be very surprised if
2 it's all.

3 But I think that there is probably a good
4 percentage of them when we are all said and done,
5 once we've engineered, and studied, and come with a
6 recommendation, there will be a percentage that
7 says, if it meets this criteria, and it's this --
8 this, that's probably a better recommendation than
9 just going back and hardening it overhead.

10 COMMISSIONER BROWN: Thank you.

11 And then for the other utilities that are here
12 that are going to be presenting, please listen to
13 these comments and questions from the
14 Commissioners, and feel free to respond as your own
15 company sees fit, because this is definitely an
16 interest for all of us here.

17 I have to touch on lastly, though, the
18 communication. I think Florida Power & Light, as
19 do all of the IOUs, really strives and does an
20 excellent job at keeping the Commission informed at
21 the state EOC before, during and after a storm. So
22 I commend you all for you -- and I know it's
23 changing, and you are developing, and you are
24 learning, and you are trying to grow with the
25 technology. And I think you all are doing a -- are

1 trying to achieve a good job to have that customer
2 satisfaction.

3 But, you know, looking at the 700 customer
4 comments, and they came in to all of our offices,
5 and communication ultimately is an issue that
6 customers -- and, you know, whether it's
7 communicating about restoration times, and it's so
8 hard.

9 But looking at what Florida Power & Light is
10 doing on the digital side, creating an FPL mobile
11 app, I am curious about that, because can that work
12 even if power, say, in a home is out, if you have
13 cellular data with a network, would that be an
14 accurate way to track? Because these customers
15 want -- I mean, they want to know when they can
16 come back to their homes. They want to know when
17 the power is going to be on. I mean, it's not
18 necessarily -- from looking at the comments in this
19 docket, it's not necessarily that, oh, you know,
20 it's two days they are going to be without because
21 they planned for two days. It's they want that
22 accurate information, you know, if you can
23 elaborate a little bit on that.

24 MR. OLNICK: I can.

25 Customers love digital access. We learned in

1 Irma, given the millions of hits we had on our
2 system, that customers must have three devices in
3 their hand at one time, because just the
4 millions --

5 COMMISSIONER BROWN: My son does.

6 MR. OLNICK: -- the millions of hits you are
7 getting were more than four-and-a-half million,
8 almost five million customers. So you get just
9 multiple things at one time.

10 And prior to Irma, we had -- we did just
11 introduce a new mobile app. The mobile app works
12 great in its design on a day-to-day basis. During
13 Irma, the way we engineered the mobile app, had a
14 lot of information that, during the storm,
15 customers really didn't care about. And so that
16 was a big lesson learned for us.

17 How do we trim that down during a storm so
18 that -- alls they really want to know is give me my
19 if I am going to be in or out. I don't want to
20 know what my next month bill is. I don't want all
21 of this. And so that was part of the slowdown,
22 frankly, in our system, was we were using a system
23 designed more for day-to-day that we had just
24 launched.

25 But we do know that customers, whether they've

1 evacuated, they want the best information they can.
2 So our goal over the last six or seven months since
3 Irma is to try to bring in even more information
4 into those mobile apps in a digital platform, so
5 that it's looking at multiple different pieces to
6 give you a different message that may say, we've
7 looked at this, this, this, and this, and right
8 now, the highest probability is we can tell you
9 this. We are going to be pinging them all in
10 another couple of hours, so if you want a
11 confirmation, you might be able to check back.

12 So we are trying to give them a better sense
13 of what that is on a -- on kind of a thinner
14 application during a hurricane because they don't
15 want to know all this other stuff. So we are
16 working through that.

17 On a day-to-day basis, it works very efficient
18 in being able to give you times, and so forth. So
19 we are learning how to leverage what our
20 restoration process is during a storm, which is
21 different than day-to-day, and now design that app
22 a little bit differently to meet their needs.

23 COMMISSIONER BROWN: And that's great, but the
24 app could work, even if you don't have wifi, you
25 don't have electricity to your house, it could

1 still be -- they could still utilize it, you know,
2 say they are at hotel, and the network is working,
3 they could --

4 MR. OLNICK: Right.

5 COMMISSIONER BROWN: -- see, oh, I can go back
6 to my home now --

7 MR. OLNICK: That's what --

8 COMMISSIONER BROWN: -- ostensibly?

9 MR. OLNICK: Yep, that is the goal. So even
10 though -- even though the meter -- the house may
11 even have power, we may not have full connectivity
12 to see that sometimes, because it's trying to find
13 a way home and it hasn't found a way home yet, but
14 it may be back in power.

15 So we are trying to give them all the latest
16 information that we can every several hours by kind
17 of routinely looking at things to do that.

18 So the system, our -- our mobile app system
19 was up and running the entire time, except frankly
20 for about 10 minutes when we had to take it down
21 for about 10 minutes to reboot something, but it
22 was up and running, but it was not providing the
23 most accurate information sometimes, and that's
24 what we really focused on now.

25 COMMISSIONER BROWN: Thank you.

1 Commissioners, any other last questions before
2 we move from Florida Power & Light? All right.

3 MR. OLNICK: Thank you.

4 COMMISSIONER BROWN: Thank you.

5 We are -- our next speaker is Jason Cutliffe
6 from Duke Energy Florida.

7 MR. CUTLIFFE: Good morning, Commissioners. I
8 believe you have the presentation we prepared, so I
9 appreciate the opportunity to share some additional
10 opening comments to go along with it.

11 As has been mentioned, Hurricane Irma was a
12 historic storm in terms of both magnitude and
13 scope. Many of the employees and utility partners
14 that came to work for Duke Energy worked incredibly
15 long hours, and many of them were personally
16 affected by Irma's damage as well. I am so proud
17 of our people and the effort they put forward, the
18 incredibly long hours to restore service safely to
19 over 1.3 million homes and businesses, including a
20 million in the first three days.

21 And as we evaluate the devastating effects of
22 Hurricane Irma, and the threat of more extreme
23 storms in the future, we are determined to get
24 better. We have been listening to our customers'
25 concerns, and have undertaken a thorough review of

1 all of our storm processes.

2 Our goal is simple, to become better and far
3 more effective in how we respond to these storms,
4 and how we communicate with our customers.

5 To improve the information flow to customers,
6 in 2018 we are rolling out an expanded social media
7 presence, and a doubling of the customers now to
8 over a million that are capable of receiving outage
9 updates directly by either text messaging or
10 e-mail. And we are working closely with local
11 government leaders and our EOC partners to identify
12 their critical restoration priorities on the local
13 level. There is more we can do in partnership with
14 these governments, and -- these government
15 agencies, and I look forward to the discussion that
16 will follow.

17 We know the next destructive hurricane is not
18 a matter of if, but when. And our customers know
19 this, too. They know it's a fact of life living in
20 the state of Florida.

21 Since 2004, Duke Energy has invested over \$2
22 billion in our hardening programs. There aren't
23 any quick fixes. To change the characteristics of
24 an electric grid takes a significant amount of
25 time, and that's why we are excited about the

1 agreement approved by this Commission last year
2 that continues construction on a smarter, a more
3 resilient grid. It will be a grid with improved
4 reliability, that's more receptive to solar and
5 renewable energy sources, and with infrastructure
6 to combat the growing cybersecurity threat.

7 We are working toward a grid that uses
8 automation to identify faults, other disruptions,
9 and to automatically reroute power to minimize the
10 impact of those faults. And the agreement enables
11 a plan that has been validated by our hurricane
12 forensics reviews from Irma and Matthew, and other
13 storms, and many years of operational experience
14 with the facilities that have been upgraded.

15 An example of this is without delaying Irma
16 restoration, we collected site forensic information
17 on over 500 poles in hardened line segments. The
18 data was reviewed by an outside consultant, and the
19 results from that review have helped shape our plan
20 to, among other things, build more resilient
21 transformers, increase the strength and capacity of
22 hundreds of more line miles, and use data analytics
23 to target undergrounding of the poorest performing
24 overhead segments. Doing the right work today will
25 better protect the energy grid for years to come.

1 So our customers expect and deserve power that
2 stays on, and if there is an outage, power that
3 comes back faster than before. By making these
4 targeted investments that build a stronger, more
5 intelligent, more resilient grid, installing meters
6 that provide customers with the information and
7 options they deserve, and investing in the targeted
8 undergrounding, we are moving to a smarter energy
9 future for all of our customers.

10 So again, thank you for the invitation to be
11 here with you today, and I look forward to the
12 discussion that will follow.

13 COMMISSIONER BROWN: Thank you, Mr. Cutliffe.

14 Commissioners, any question of Duke Energy?
15 Yes, Commissioner Fay.

16 COMMISSIONER FAY: I just is have a quick
17 question on your initial comments. I always find
18 it extremely impressive that during a time when
19 everyone is looking to you to respond to a storm,
20 you have your own employees that are dealing with
21 the same issues that your consumers are dealing
22 with. And so how do you plan to ensure that you
23 can provide a proper response knowing that some of
24 those individuals might not be able to get to the
25 facility that they need to, or may need to be home

1 for other reasons?

2 MR. CUTLIFFE: Yeah, I would have to start by
3 commending just the will and the sense of purpose
4 in mission that our folks have; because they have
5 many reasons not to come to work, and nearly all of
6 them do, even they when they've got homes at home
7 that are dark, and food that's going bad, and the
8 same things our customers are working through.

9 But the way we deal with that operationally is
10 in our incident command structure. It's a very
11 layered, scalable operational plan. So we've got
12 the means to, if a -- if a -- if an employee is not
13 able to come to work for, you know, legitimate
14 issues with their family, or at home, we've got
15 folks trained that can step in and fill that role.
16 We've got a process to call up other employees who
17 have had off-season training that can fill those
18 roles as well. So we have a means to fill the
19 storm role if somebody is not available to come in.

20 COMMISSIONER FAY: And you implement those
21 plans, I mean, they are -- you see that actually
22 come to fruition when a storm hits?

23 MR. CUTLIFFE: Yes. Yes. And, you know,
24 there are also -- there are other ways to
25 contribute if not the normal 16-, 18-hour days that

1 would be worked, there are accommodations made to
2 work part days for a period of time, while, you
3 know, roofs are covered and that kind of thing.

4 COMMISSIONER FAY: Great. Thank you.

5 Thank you.

6 COMMISSIONER BROWN: Yes, Commissioner Clark.

7 COMMISSIONER CLARK: Yes, Mr. Cutliffe, a
8 couple follow on to my earlier question. You get
9 your two wishes, what would those two wishes be?

10 MR. CUTLIFFE: Can I keep the two that my
11 colleague --

12 COMMISSIONER CLARK: And add two on to it,
13 that would be fine.

14 MR. CUTLIFFE: I like them both.

15 I would add to those, engagement with local
16 governments in education and striking the right
17 balance in tree trimming. We have folks that do
18 that every day. We have vegetation management
19 specialists that work with city arborists and
20 directors of utilities, and there is a balance to
21 be struck between legitimate aesthetic concerns and
22 our obligation to clear the lines, so that would be
23 one.

24 The second would be -- I will characterize it
25 this way: Our folks are very good at restoring

1 service in a hurricane. That's what they do. Our
2 employees that do that work themselves typically
3 transition into a role in a hurricane where they
4 are coordinating and overseeing the work of dozens
5 of others. So they know what they are doing, and
6 they are very good. I want to keep them on that
7 mission, and so anything that distracts them from
8 working their plan lengthens the overall
9 restoration process.

10 And one example that's already been discussed
11 that's a very good one is the critical facility
12 priorities. There is a -- there is a legitimate
13 place for that in our plan. We want that, because
14 we can't foresee every circumstance, and so we --
15 we -- we appreciate the partnership with our EOCs
16 to identify and act on those -- those critical
17 situations.

18 In fact, in Irma, we call these EOC missions,
19 and it's when we pull our crews off of their
20 planned work and we send them to a location that's
21 a high priority.

22 We worked over -- we log every one of those so
23 we know that they are completed. We worked over
24 4,500 of those missions in Irma. But they take us
25 away from the planned work. So anything you can do

1 to help us distill those lists down to the critical
2 priorities, and make sure that when we pull our
3 crews off, it's only for an urgent matter.

4 We are happy to do it, but when we get pulled
5 off to restore what turns out to be a school ball
6 field instead of a school building, it delays
7 restoration.

8 COMMISSIONER CLARK: To follow on to that, one
9 of the -- some of the activities that your staff
10 has to be involved in on a day-to-day basis during
11 a storm, as you talked about the roles changing,
12 one of the issues, I think, that's been brought up
13 and probably discussed is hotel rooms, the ability
14 to find available hotel rooms. It's not just hotel
15 rooms.

16 One of my responsibilities was booking and
17 lodging and food preparation during storms, and
18 having to make that call when the storm is still
19 200 miles out in the Gulf, and you are going to
20 decide to book 300 hotel rooms or not, somebody is
21 going to have to pay for them if the storm takes a
22 turn, and I have made that bad call a couple of
23 times myself.

24 Is there anything that we can do from the
25 State's perspective to establish priority for

1 utility restoration employees to be able to get
2 hotel rooms, and even to possibly work with -- with
3 our hoteliers regarding the cost of booking those
4 rooms, or at least locking those rooms down in
5 advance. And as I also understood, you also had
6 some employees that were kicked out of hotel rooms
7 during this time period that caused a problem.

8 Is there anything that you know of that we
9 could do to help in that process? And feel free to
10 tag on even food preparation, tent cities, a state
11 contract for these type of services; is that
12 something we should be looking at?

13 MR. CUTLIFFE: So I would offer a couple of
14 thoughts in that area.

15 In regard to the lodging, there are -- we work
16 through a third party vendor that secures hotel
17 rooms for us. They are very -- it's what they do.
18 This is their, you know, their mission, so they are
19 very good at it. They work out rates ahead of time
20 with hotels.

21 So education, along the similar lines with
22 local governments and tree clearing that, once we
23 are in, we need to stay there until restoration is
24 complete. And that's what you mentioned,
25 Commissioner, with there were some relocations that

1 took place.

2 I don't know -- I am not sure the reasons of
3 each of those situations, but it's disruptive to
4 our -- again, our folks getting lights on. We need
5 to keep them where the work is, and when they have
6 to relocate, it delays restoration.

7 So continuing, or honoring those arrangements,
8 and allowing the restoration, the first responders
9 to stay until their work is done would be one area.

10 The second would be alternate housing -- we
11 call it alternate housing. It's something that has
12 become a foundation of our logistics plan. The
13 Governor challenged us a few years ago to expand in
14 that area so as to allow more evacuees and other
15 uses of the hotel rooms, and we've done that. I
16 know all the utilities have done that.

17 We had, at one point, over 6,200 alternate
18 housing beds that we were using in Irma. And those
19 are anything from cots in a gymnasium, to sleeping
20 in a tent on a staging site, to sleeper trailers.

21 So we have greatly expanded our capability in
22 that area, but what we do run into -- we saw this
23 in Irma -- the vendors that we rely on had a lot of
24 their equipment in Texas for Hurricane Harvey, and
25 so cooperation with other states to help with an

1 apportionment of those resources would be a benefit
2 to all of us.

3 COMMISSIONER CLARK: Okay. I want to go back
4 and follow up on the tree trimming issue as well
5 with -- with --

6 In regards to the underground performance, I
7 think we all understand that underground has a
8 place. It is not -- it is not the overall solution
9 to the problem.

10 We've established right-of-way parameters for
11 laterals and feeder lines, three phase, single
12 phase. Would looking at expanding the lateral
13 right-of-way requirements to something more similar
14 to what we have on the feeder lines be a potential
15 solution as well?

16 MR. CUTLIFFE: It could be part of a solution.
17 The -- that brings us into property rights with
18 individual landowners, of course.

19 One of the other unique aspects of the
20 laterals is overhang. So overhanging trees that
21 are outside of the easement boundaries. So we trim
22 to what we've got. What would help is expanded
23 flexibility to remove trees from outside the
24 right-of-way.

25 And you mentioned it, Commissioner. I think

1 it's really -- it's an all-of-the-above solution.
2 That certainly is part of it.

3 Also, quite honestly, moving those facilities
4 out of that environment is part of the solution as
5 well. And the undergrounding program I mentioned
6 that we are moving into is aiming to do just that.

7 COMMISSIONER CLARK: Could we look at some
8 sort of pilot that expanded -- I know we talked
9 about the pilots for the underground, and looking
10 at their performance, but should we look at a pilot
11 with expanded right-of-way on laterals that
12 compared itself to underground performance?

13 MR. CUTLIFFE: That's something we would be
14 happy to discuss further, yes.

15 COMMISSIONER CLARK: Okay. Thanks.

16 COMMISSIONER BROWN: Commissioner Polmann.

17 COMMISSIONER POLMANN: Thank you, Madam
18 Chairman.

19 A question regarding your experience with the
20 mutual aid, and it's concerning changes on how you
21 employed that, took advantage of it.

22 Compared -- say, compared to prior storms,
23 what changed in the experience with Irma, and
24 either in terms of the magnitude of your mutual aid
25 or the efficiency? You know, did it perform? Did

1 your interaction with crews from other locations,
2 did that work better in some regard?

3 MR. CUTLIFFE: The scale of the -- of the
4 support that came to Florida for Duke Energy was,
5 as I mentioned, it was bigger than any storm we
6 have had before. So we had over 7,500 line
7 technicians, just the folks who, you know, work on
8 their tools and do the work, which was -- which was
9 close to double, the largest workforce we had put
10 to work before.

11 What I observed in Irma in the mutual
12 assistance -- I will call it that, just the
13 process; because it's really -- it's a coordination
14 of mutual assistance groups. We have one in the
15 Southeast. There is one in the Mid-Atlantic.
16 There is one in the Northeast.

17 What I observed is excellent and improved
18 coordination between those mutual assistance
19 organizations. We -- we shared our needs based on
20 our forecasting models, as other utilities did, and
21 we came as close to make -- receiving those
22 resources in Irma as we have for any other storm,
23 even with the, you know, the greater scale and the
24 larger need.

25 I would characterize that as a process that

1 works very well, and I would expect that to
2 continue.

3 COMMISSIONER POLMANN: Okay. Well, thank you.

4 We've already talked a little bit here about
5 communication during the storm, and there is many
6 aspects to that. With -- with the mutual
7 assistance, and I -- and you have touched on this,
8 so what is it that you would offer as an aspect of
9 improvement?

10 Because of the magnitude of the most recent
11 storm, I imagine it was quite a challenge, but from
12 that experience going forward, can you suggest how
13 it, again, might be improved, and at different
14 levels? You have got interaction and communication
15 between the -- your crews, the mutual assistance
16 crews, and then there is the communication from
17 internal leadership to the crews in terms of how
18 are you managing the work assignments and so forth.

19 And then the one that we've heard a lot about
20 is communication from the utility to the customers.
21 And I won't go into the details of your local
22 experience, but, you know, forecasting restoration
23 times, and so forth.

24 So how do -- what did you learn about the
25 communication in any of those aspects, and what can

1 we look forward to in changing or improving?

2 MR. CUTLIFFE: So I will start with -- with
3 the mutual assistance resources and lessons as it
4 relates to bringing them on system and putting them
5 to work.

6 The logistics of transportation, we learned
7 some things in Irma with evacuee traffic. At one
8 point there was a concern that I-75 would have to
9 be closed for a river crusting north of
10 Gainesville, and we were looking at a detour plan
11 that was going to add 10 hours to travel for crews
12 coming in from out of state.

13 So an area that we are focusing on is
14 contingency plans, and working with agencies to
15 minimize the impact of that sort of disruption;
16 because Florida is a peninsula and everybody has to
17 come down one of three highways to get here.

18 Once on property, our incident command
19 structure that is scalable, and as I mentioned, it
20 places our employees who typically do restoration
21 work in a field coordination role over anywhere
22 from 30 to 50 outside resources.

23 The communication process is very close to the
24 one that we use every day for normal storms. So
25 that is something that we drill, and that we get a

1 lot of practice in summer storms. We get practice
2 when our crews go out of town and support other
3 major storms. So that worked -- that worked very
4 well in Irma.

5 One thing that did not work well is our
6 communication out to customers. And that is
7 something that's been a top priority for us as soon
8 as the storm was cleared up.

9 We rely on an outage management system to
10 communicate granular level outage data to
11 customers, and that system malfunctioned during
12 Irma.

13 COMMISSIONER BROWN: That's an outside
14 system -- I am sorry, Commissioner Polmann, but
15 that's a third party vendor?

16 MR. CUTLIFFE: Yes. Yes. It's provided by a
17 third party vendor. We partner to maintain the
18 system. It's really -- to achieve the function,
19 it's a number of systems that interconnect and
20 communicate with each other.

21 We set and achieved nearly all of our ETRs,
22 including some in Central Florida, where the
23 greatest damage was. Unfortunately, we set a few
24 that were aggressive and we did not meet them. The
25 impact to customers was exacerbated by our

1 inability to communicate with them at this granular
2 outage level.

3 Restoration went on as planned, and as
4 drilled, and as is normally done; but what we
5 realized is our inability to reach out to those
6 customers where they could call in and get specific
7 information about the device that serves them, and
8 their ability to use our iFactor external website
9 map, which is fed by the OMS system. When that was
10 down, it just -- it just exacerbated the situation.

11 So we've gone about two corrective actions.
12 The first one is we've isolated what the problem
13 was with the OMS system. There was a latescence
14 bug in the vendor software. It's the same system
15 we used for Matthew and Hermine and other
16 hurricanes, but when it hit with Irma volume, the
17 malfunction was evident. That's been isolated.
18 It's been fixed and it's been tested, and we are
19 continuing to test to prepare for 2018.

20 With our ETR process, we were -- in all
21 transparency, we were aggressive in some of the
22 intermediate ETRs that we set. We learned from
23 that. We have adjusted our process, our
24 forecasting tools, and we are determined to get
25 better in that area. And I commit to you,

1 Commissioners, that in the next storm, we will be
2 ready, and those lessons will be part of our
3 forecasting methodology when we set ETRs.

4 COMMISSIONER POLMANN: I appreciate that very
5 much. That's great news.

6 One other thing, there's been discussion here
7 today about vegetation management, and I fully
8 appreciate the challenges there at the local level
9 with right-of-way and trees that you have control
10 of and you don't.

11 In my particular area, there are locations
12 where there is a lot of vegetation, and customers
13 they are not shy about suggesting that the utility
14 has not properly managed the vegetation, and I have
15 a strong suspicion that you probably are managing
16 the vegetation that you have control of.

17 What can we do collectively to make it more
18 clear that there are things that you just don't
19 have control of? We've already talked about it
20 here, but what is the communication to the public,
21 for one thing? Not that that solves the problem,
22 they are just not happy and they don't understand
23 it.

24 I mean, not that I -- I am not trying to put
25 you on the spot, but what is the collective effort

1 that you can think about, other than something
2 needs to be done to actually fix the vegetation
3 problem. It's a communication issue.

4 I mean, where I live, that was just the main
5 thing. They were just, like, the utility is not
6 doing the job to clear the vegetation, and you
7 can't. You don't have control of it.

8 So I am just raising the issue. How do you
9 tell people that we can't fix it?

10 MR. CUTLIFFE: I think we just need to
11 continue our education efforts. We need to be
12 excellent operationally to minimize the impact.

13 And what I would share is, so, you know, we
14 have crews trimming lines every day. Right now, we
15 have vegetation management crews in the air,
16 clearing, you know, clearing limbs from our lines.
17 When we carry that work out, we understand and you
18 have -- you have zeroed in on the crux of the issue
19 in a lot of cases.

20 We send letters one to two weeks to customers
21 before we show up on their street to cut trees.
22 When our crews arrive, we walk door to door and
23 speak to people and say, this is why we are here.
24 This is what we need to do. If they are not home,
25 we leave door hangers with a phone number and an

1 explanation.

2 I think that type of grassroots,
3 on-the-ground, face-to-face, person-to-person
4 interaction is the way you make this better over
5 time, complimented by working with local government
6 officials on the importance, and really not the
7 preference, but the obligation that we have to
8 clear the lines in a storm.

9 And when it comes to trees outside the
10 right-of-way, that's an area that we can all work
11 on together. Our -- our forensics tells us that
12 70 percent of the poles that broke were due to a
13 direct impact from a tree, and most of those were
14 from outside the right-of-way. So we know that's a
15 cause, and that's an area for us to continue to
16 work on to get better.

17 COMMISSIONER POLMANN: I will give you a
18 contrasting example. I live in an area that has
19 underground power, and the county is not shy about
20 clearing trees on behalf of the Fire Department. I
21 came home one day and looked at on my street, which
22 has a very nice canopy, and thought, what in the
23 world happened? They had come through and cut more
24 trees than you could imagine that were hanging
25 over.

1 COMMISSIONER BROWN: And you got mad.

2 COMMISSIONER POLMANN: And I -- I -- I had to
3 call them, it's like, well, they need access for
4 the firetrucks. I was like, what in the world
5 happened here?

6 So I mean, there are -- there are, you know,
7 entities, utility systems and, you know, emergency
8 response folks, it's like we need to get through
9 here, cut those trees. I am not suggesting you do
10 that, by the way.

11 Thank you, Madam Chairman.

12 COMMISSIONER BROWN: Commissioner Fay, and
13 then Commissioner Clark.

14 COMMISSIONER FAY: Thank you, Madam Chair.

15 My question is on -- when I went through your
16 presentation, you spoke a little bit about the
17 waivers for reconnection fees and delays. Can
18 you -- it wasn't something that I -- from a
19 consumer perspective that I thought of initially,
20 and then realized what a significant issue it
21 probably is to manage that and communicate properly
22 to those consumers how that's done.

23 So can you talk a little bit about the
24 decision to do that, and then the process for those
25 consumers?

1 MR. CUTLIFFE: Yes. We recognize that for
2 many of our customers, long after the hurricane,
3 their lives were disrupted, and so I just -- this
4 is at a high level, a few of the options that were
5 put in place for them. For those that were
6 relocated, when they called us and they were moving
7 their service to a new location, an apartment or a
8 rental property, we -- we asked them if it was
9 hurricane related. Most of the calls we got after
10 the second week of September were. And if it was,
11 we waived any of the normal fees that go along with
12 stopping service and starting service.

13 For those that received estimated bills,
14 that's another irritant for customers after a
15 hurricane, because we are not able to read meters
16 during that period. We've got a plan to install
17 AMI to alleviate a lot of that problem, but until
18 we do, a lot of customers got bills that were
19 higher than normal due to the estimation.

20 Plus, for many of them, they couldn't work.
21 If they had small businesses, they weren't getting
22 revenue. If they had to go to work and they were
23 taking care of a damaged home, they, you know,
24 they -- they weren't pulling a paycheck.

25 So where they had back bills, they were given

1 interest free period of time to make payments over
2 either three or four months to ease some of that
3 burden until life got a bit back to normal.

4 COMMISSIONER FAY: Was there anything that you
5 feel that maybe was a burden to those folks that
6 you didn't originally think of?

7 MR. CUTLIFFE: I think our role was really to
8 help with their utility payment. They had a lot
9 going on in their own lives with what they were
10 dealing with. So for us being able to waive those
11 fees, and give them some payment terms that were,
12 you know, more -- more flexible for them, that was
13 the important thing.

14 COMMISSIONER FAY: Okay. Thank you.

15 COMMISSIONER BROWN: Thanks.

16 Commissioner Clark.

17 COMMISSIONER CLARK: I am going to opine for
18 just a moment on right-of-way, and staff is
19 probably going to start cringing any minute. But I
20 am an advocate for right-of-way trimming. And
21 you -- we've talked about overhang. We've talked
22 about the issues.

23 I am an advocate for ground-to-sky clearing.
24 I don't think we ought to be exposing ourselves to
25 these kind of problems.

1 I am also an advocate that this Commission --
2 I am hoping this Commission will take a position at
3 the end of these hearings that advocates, whether
4 it be through our own policies or through
5 advocating to the Legislature, some change in the
6 laws so that -- so that right-of-way can't be --
7 right-of-way trimming can't be preempted by local
8 ordinances. I see that as a problem.

9 You are dealing with 20 different
10 municipalities that have 20 different sets of
11 rules. And one of the biggest problems we have is
12 that in your -- your willingness to cooperate and
13 try to get along and work with the consumers, as
14 opposed to saying, no, this is for the benefit of
15 everybody that is on this line. We are going to
16 clear this.

17 I follow that up with the question regarding
18 would enhanced sectionalizing give us some
19 advantages in terms of isolating these problems and
20 focusing on efforts where we are able to keep
21 things trimmed?

22 MR. CUTLIFFE: Yes. And -- and I would
23 respond to that by sharing some of the efforts
24 underway -- and this goes back to the
25 all-of-the-above approach.

1 So sectionalizing is a big part of it. We've
2 got a program that's underway where we are
3 installing automated equipment on our -- on our
4 backbones, and we are segmenting the feeders into
5 smaller and smaller pieces, which is a big part of
6 the -- the automation that we call the self
7 optimizing grid.

8 And so if there is a fault, if a piece of a
9 tree does break out in an overhang, in the past
10 we've had anywhere from 1,000 to 2,000 customers
11 per segment. We are building a plan where
12 80 percent of our customers will be on a feeder
13 that has those segments broken down to no more than
14 400 customers. So it -- it -- it sectionalizes, as
15 you described, down to smaller pieces.

16 We are also installing stronger, higher
17 capacity conductors, which can withstand brush
18 contact and won't be taken to the ground like some
19 of the annealed wire that's there might otherwise
20 do.

21 And then in those cases where the environment
22 is just incompatible with our tree trimming
23 standards due to trees, weak trees, poor root
24 systems, rotting trees outside the right-of-way,
25 established overhangs that are, you know, 100 feet

1 high, in some cases there just aren't acceptable
2 mitigation means from tree trimming. It's not a
3 lot, but there are places where that's true. We
4 call that the fragile fringe of our system, and
5 reliability issues are chronic in those areas.

6 And we've -- we've committed to a targeted
7 undergrounding program to move -- first of all, to
8 move those facilities out of back lots to
9 accessible front lot location, first and foremost,
10 and then underground them so that they are out of
11 that tree canopy environment.

12 COMMISSIONER CLARK: Thanks.

13 MR. CUTLIFFE: It's a combination of those
14 things, I believe, is the way to go.

15 COMMISSIONER BROWN: Commissioner Polmann.

16 COMMISSIONER POLMANN: A quick follow-up on
17 Commissioner Clark's point. And this gets back to
18 the issue of underground versus overhead, and the
19 value of undergrounding.

20 I know some folks, some quite well, that have
21 underground power and they were out of service for
22 six, seven, or eight days, because the circuit that
23 they are on has overhead lines.

24 And -- and to the point of segmenting, perhaps
25 it would be helpful in an effort for improvements

1 to look at those types of circuits where the
2 customer is being served by underground, but their
3 feed source is overhead. So where is it from --
4 from a design from an engineering improvement
5 perspective that you go from the neighborhood back
6 to the feed and segment that out so that the local
7 customer is -- is better protected?

8 So just the thought in terms of the
9 improvement. And I think the Commission might look
10 favorably upon those types of things, so that you
11 have got smaller local distribution that's better
12 protected and can be automated in the switching
13 process --

14 MR. CUTLIFFE: Agreed.

15 COMMISSIONER POLMANN: -- so just a
16 suggestion.

17 Thank you, Madam Chair.

18 COMMISSIONER CLARK: I am sorry, I have got to
19 follow with one -- one statement regarding the
20 undergrounding.

21 One of the things that I do want us to be
22 cautious of as we look at where we take on
23 undergrounding projects, and -- and we call it
24 hardening in light of the fact we are hoping to
25 achieve some significant results out of it. But in

1 places where we are doing this to mitigate having
2 to do proper right-of-way maintenance, then that
3 becomes a cost issue that concerns me. And that's
4 passing costs on to customers based on someone
5 else's decision, not that customer's decision.

6 And I would just -- just want us to be
7 cautious as taking on massive underground projects
8 just to keep from having to do proper right-of-way
9 maintenance in the area that's being preempted by
10 some local ordinance.

11 COMMISSIONER BROWN: Because it may not be the
12 elixir.

13 COMMISSIONER CLARK: Exactly.

14 COMMISSIONER BROWN: And just -- I guess we
15 are done with questions here, so just a comment to
16 Duke.

17 I wanted to express appreciation for your
18 investment -- further investment in modernizing the
19 grid, as well as improving your communications
20 uplift. I know you are going to -- it looks like,
21 from your filed materials, spend a great deal of
22 capital improving these for the benefit of all your
23 customers. So I commend you on that initiative --
24 those initiatives.

25 With that, we are going to move on to Tampa

1 Electric, seeing that there are no other questions.

2 Ms. Regan Haines -- Mr. --

3 MR. HAINES: Good morning, Commissioners.

4 Yeah, Regan Haines. Tampa Electric. I am
5 Director of Transmission and System Operations.
6 And I appreciate the opportunity to be with you
7 here this morning and talk about this very
8 important topic.

9 And I will apologize in advance, because you
10 are probably going to hear a lot of things that are
11 repetitive and a general theme because there are a
12 lot of common issues and challenges that each of
13 the utilities faced.

14 And rather than going through our general
15 restoration process, because that -- that, again,
16 is very similar across all the utilities, I thought
17 I would focus on our experience with Irma, and give
18 you some details around -- around that.

19 And I think we have a very good story to tell
20 with Tampa Electric's performance and how we
21 responded to Irma, and the benefits that storm
22 hardening provided us, and I will go through that.

23 It's been said that Irma was really a record
24 setting hurricane for us. It was the largest that
25 impacted our service territory since Donna in 1960.

1 And so four key points that I would like to make
2 before I get started is first and foremost, we had
3 thousands of foreign resources working on our
4 system around the clock. And I am proud to say
5 that we had no serious safety incidents during our
6 restoration efforts.

7 Secondly, well over half of our customers were
8 impacted by Irma, and we were able to meet our
9 restoration objectives of getting 90 percent of
10 those customers back within four days, and over
11 100 percent, or 100 percent, within seven days,
12 utilizing those 3,400 foreign resources that we had
13 to bring on our system, largest ever undertaken by
14 our company.

15 Thirdly, the investment and storm hardening
16 that we have made is paying off. We saw much less
17 pole damage following Irma than the 2004
18 hurricanes, and that resulted in much shorter
19 restoration times for our customers.

20 And then last, communication and the use of
21 social media does make a difference.

22 So for us, we started preparing for Hurricane
23 Irma on September 3rd, a week before we were
24 impacted, and we spent that time running different
25 scenarios. And as you recall, the storm's path

1 kept shifting to the west, and we were able to
2 acquire those 3,400 resources from 90 different
3 companies that week. And so they started traveling
4 our way. And based on those resources, we set a
5 restoration goal of four days to have 90 percent of
6 our customers back in.

7 And we started seeing outages on that Sunday,
8 September 10th, peaking right after midnight. We
9 had 335,000 customers that were out at the peak,
10 and over 425,000 of our 752,000 customers, or
11 57 percent of our customers, were affected by the
12 storm.

13 That first day after the storm cleared, we
14 performed initial damage assessment and established
15 a global ETR of the following Sunday at midnight to
16 have all of our customers restored.

17 We set up six staging sites, or incident
18 bases. Again, the largest undertaken by our
19 company. And worked that week, and we were able to
20 meet our four-day restoration goal and our global
21 ETR goal.

22 As far as the performance of our system and
23 T&D infrastructure, we thought it performed
24 extremely well, again, due to the efforts of the
25 storm hardening. Irma was a much larger storm than

1 what we saw in 2004. And while we had more
2 customers that were impacted following Irma than
3 those storms, there was less damage, and we were
4 able to get our customers back on in much shorter
5 restoration times.

6 So some information on kind of how our system
7 held up. We have 25,000 transmission structures,
8 and we only needed to replace 10 of those, and
9 those are all non-hardened transmission poles.

10 Of our 263,000 distribution poles, we only
11 needed to replace 165. Again, far fewer than what
12 we had in 2004, and only 20 of those we would
13 consider to be hardened distribution poles.

14 Our underground system, we did not have,
15 really, any issues with that as you would expect
16 with no storm surge in our area, or significant
17 flooding, so underground held up very well.

18 And our forensic analysis revealed similar to
19 what you have heard. It was conducted by a third
20 party. Most of the damage that we experienced was
21 not pole failures, but line feeder and lateral line
22 damage caused by windborne debris and trees outside
23 the right-of-way.

24 Again, challenges to -- to our restoration,
25 you know, one of the big ones first is just the

1 storm path and the weather forecast uncertainty.
2 It kept shifting, and that caused resources by
3 companies that we normally get help from to kind of
4 hold those resources because they weren't sure if
5 they were going to be impacted. So that created
6 limited resource availability both from a labor
7 standpoint, and what's been mentioned, hotel
8 resources were very tight for us.

9 Road congestion caused by returning evacuation
10 traffic was a challenge for us, as well as trees
11 outside the right-of-way.

12 I will say our communications with our
13 customers and our key stakeholders, we thought, was
14 very successful for us. We leveraged several
15 channels to get key messages out; you know, whether
16 it be our -- our company website outage map; our
17 IBR system; direct email that we had with
18 customers, and Twitter and Facebook social media
19 networks were used.

20 And those messages involved, you know,
21 preparations that customers should be taking ahead
22 of the storm; safety messages, whether there is a
23 line down or improper generator use following the
24 storm; and how to register for our power updates
25 program that customers can get updates on outages

1 through text messaging.

2 We also used the opportunity to get
3 educational information out to our customers as far
4 as what our restoration process is, and philosophy
5 and priority orders.

6 And finally we issued photos and videos of
7 crews in the field restoring certain areas, and we
8 were able to get that on our website and our
9 Facebook.

10 Now, while restoring customers is a core
11 competency for us, it's something we do every day,
12 we are always looking for ways to improve and
13 incorporate lessons learned, whether it be our
14 training sessions, our mock storm drills or actual
15 storm events. And some of those areas that we've
16 identified following Irma is ways to, some of them
17 have been mentioned, is to enhance our coordination
18 with our local governments on establishing
19 restoration priorities, but also enforcing Right
20 Tree, Right Place programs. Enhancements to our
21 wire-down process, we had over 1,400 wire-down
22 calls that came in.

23 We are going to have an opportunity to expand
24 our storm plan to deal with a much larger storm
25 that would require significantly more resources.

1 Opportunities to increase the granularity and
2 frequency of posting ETRs to meet our customers'
3 expectations, and finally streamlining our outage
4 communication technologies.

5 Some things went well for us, I would like to
6 highlight key successes is we were able to use call
7 center mutual assistance, handled 20 percent of our
8 calls and allowed us to achieve an average answer
9 time of 47 seconds.

10 Our process to prioritize critical facilities,
11 such as hospitals, nursing homes and water
12 treatment plants.

13 Targeted and consistent messaging to key
14 officials in governmental agencies. And we were
15 able to implement our storm plan and effectively
16 manage over 3,400 external resources, the largest
17 ever by Tampa Electric Company.

18 And lastly, we developed the global estimated
19 restoration goal of 24 hours after the storm
20 cleared, and we were able to meet that restoration
21 target with no serious injuries.

22 So again, I appreciate the opportunity to be
23 here, and I would be happy to answer any questions
24 you have.

25 COMMISSIONER BROWN: Thank you, Mr. Haines.

1 Chairman Graham.

2 CHAIRMAN GRAHAM: Thank you.

3 Mr. Haines, what percentage of your system is
4 underground? Rough numbers.

5 MR. HAINES: Roughly 40 percent.

6 CHAIRMAN GRAHAM: What problems, if any, did
7 you have during Irma for any of the underground
8 lines?

9 MR. HAINES: Really, no different than you
10 would see during a normal week during storm season,
11 or in September. So you have your normal amount of
12 transformers that fail, or cables that fault and
13 fail, but not an excessive amount of damage to the
14 underground system that we saw.

15 CHAIRMAN GRAHAM: Chairman, can I ask that
16 question to the other two?

17 COMMISSIONER BROWN: Yes.

18 CHAIRMAN GRAHAM: I forgot to ask.

19 COMMISSIONER BROWN: You are the Chairman.

20 CHAIRMAN GRAHAM: Not today. What -- Bryan,
21 what percentage is Florida Power & Light, and what,
22 if any -- I mean, if you had problems, kind of
23 elaborate what problems you had, if not.

24 MR. OLNICK: We are also in a plus 40 percent,
25 a little over 40 percent total underground today.

1 During -- during Matthew and Irma, in -- in
2 Matthew, in particular in some coastal areas, we
3 had some areas that got washed away that were in
4 some coastal, but it was pretty limited. That was,
5 again, very small instances there.

6 Probably the bigger thing in -- in Irma was,
7 surprisingly, we did have some damage from
8 windblown debris. We did have damage to
9 transformers' switchgear from trees falling onto
10 them. So a little different than you would
11 normally see day-to-day.

12 We also had -- in certain parts of the state,
13 we did have more uprooting of underground equipment
14 than other areas. Keep in mind that roughly two
15 weeks prior to Irma, we had already had record
16 rainfall of 16 inches or so.

17 CHAIRMAN GRAHAM: Everything was soft.

18 MR. OLNICK: Everything was soft. And so
19 there were a lot of -- there was a lot more
20 uprooting, I think, that went on than we may have
21 seen in the past, and I think that was probably a
22 contributing factor.

23 So a little bit more uprooting in certain
24 areas on the southwest and the southeast coast.

25 But again, I think it was probably just because of

1 the magnitude and the size of the storm. It was so
2 big, and there was so much of it that, on a normal
3 day-to-day, you may get a little of it, but you
4 multiply that because of the size of the storm,
5 there was a little bit more of that.

6 So that was my guess, in general, what we saw
7 on the underground side.

8 Underground performed very well. You know, we
9 did have a lot of flooding around the state, but it
10 was not as much of an impediment in this -- in this
11 particular situation.

12 CHAIRMAN GRAHAM: Thank you.

13 Jason.

14 MR. CUTLIFFE: We also had experience with
15 uprooting that took out switchgear and
16 transformers. We had some live-front switchgear
17 that was -- that was taken out by flooding and the
18 water level rising.

19 Irma affected all 35 of the counties we serve.
20 So -- so just --

21 CHAIRMAN GRAHAM: Back up to the flooding.
22 What -- what happened? I mean, walk me through
23 that one.

24 MR. CUTLIFFE: Yeah. So switchgear is like a
25 central distribution point for underground,

1 where -- where loops come in and can be opened and
2 closed in one place. And we have a vintage of
3 equipment that goes back to the late '90s, where
4 the terminations inside that equipment are, we call
5 it live-front. Meaning that there are parts that
6 are exposed to the air inside the cabinet.

7 Everything we buy now is dead-front. It's
8 insulated, and it's -- when it's put together, it's
9 water tight.

10 So in some cases where we had heavy rains that
11 raised the water table up, the moisture got inside
12 the cabinet and it caused flashes between the
13 energized pieces of equipment that are exposed
14 inside those gear, which is something that happens
15 occasionally with heavy rain events.

16 And again, it's always a challenge to compare
17 hurricanes. Irma being so large, and affecting
18 every one of our counties, we saw more of
19 everything in that -- in that event, but -- so the
20 underground was not, you know, we did have some --
21 some hurricane impacts. Overall, less than half
22 the outage events on underground equipment. It
23 takes longer to restore them. And in a lot of
24 cases, our underground, when it was out, it was
25 because it's fed by overhead further upstream.

1 No question it performs better in a hurricane,
2 but it does bring a unique set of challenges for
3 restoration.

4 CHAIRMAN GRAHAM: Now, what percentage are
5 you?

6 MR. CUTLIFFE: So we are -- we are 43 percent
7 underground today. And a vast majority of
8 Greenfield Construction is -- is underground
9 naturally. But that doesn't move the needle very
10 quickly in the overall, because we don't -- you
11 know, we don't build our system more than one, two
12 three, percent a year. So just by the math, it
13 doesn't change the percent underground.

14 What will move the needle for us is the -- the
15 targeted undergrounding I mentioned. At the
16 conclusion of that program, we will be somewhere
17 between 47 and 48 percent underground.

18 CHAIRMAN GRAHAM: Thank you.

19 Thank you, Chair.

20 COMMISSIONER BROWN: Commissioner Clark.

21 COMMISSIONER CLARK: Yeah. I -- looking back
22 at TECO systems specifically. You didn't
23 experience -- we talked about the performance of
24 the underground, you didn't experience the surge
25 that was anticipated from Irma, did you?

1 MR. HAINES: No, we did not.

2 COMMISSIONER CLARK: Had that event -- had
3 that event happened as anticipated, what do you
4 think would have been the underground performance?
5 What would your results have been then? I am
6 asking you to speculate way probably more than you
7 would like to but --

8 MR. HAINES: Yes, we have to run some modeling
9 on that to see, based on that storm surge, and the
10 different elevation levels, and where some of our
11 underground equipment are relative to that surge,
12 what the potential impact would be.

13 COMMISSIONER CLARK: It would be safe to say
14 that there would have been -- the performance would
15 not have been as good, and you would have had
16 probably significant replacement cost on that
17 equipment; is that correct?

18 MR. HAINES: Absolutely, yeah. And like Duke
19 pointed out, you know, the live-front switchgear.
20 We have live-front switchgear, so if you do have
21 flooding, you are going to have issues with that
22 failing.

23 COMMISSIONER CLARK: A couple other questions,
24 Madam Chair.

25 First of all, I know each of you did a great

1 job in terms of your presentations, but TECO, I
2 wanted to just specifically commend you guys. The
3 PR aspects of your presentation were very strong,
4 and I really like the statistics that you including
5 in there -- your outage, your response times, a lot
6 of good information. And by all appearances, you
7 guys did a really good job of communicating with
8 the customer base during the storm.

9 One of the questions I had is related to your
10 outsourcing of your calls. That's got to be a
11 tough decision for any company to make to begin to
12 outsource calls, especially during an outage time.

13 How did your customer interface system -- FPL
14 kind of explained how theirs worked, but how did
15 your customer interface system work with a company
16 that you outsourced with in terms of their ability
17 to actually see and understand what was going on at
18 the local level from that third-party location?

19 MR. HAINES: I believe most of the mutual
20 assistance is through an IBR system, so they have
21 the ability -- it shortens the weight time, so it
22 gives the customer the ability to get in and report
23 an outage, or get information on an outage much
24 quicker. And, you know, we have that set up
25 day-to-day too. If we get hit with major

1 thunderstorms during the summer, and we can't
2 process the calls quick enough, we have an overflow
3 third-party company that we use to help us process
4 those calls quicker and allow our customers to get
5 access to their accounts and report the outages
6 quicker.

7 COMMISSIONER CLARK: And my final question
8 was, in the presentation, there were two numbers
9 that I was a little bit curious about. On page 17,
10 you admitted that there was no transmission
11 structure damage, but earlier you had reported that
12 you had 10 structures failed that were
13 non-hardened. I was just kind of curious if that
14 was -- if I missed something here.

15 MR. HAINES: Right. Well, just to clarify, on
16 page 17, that's the results of the forensic
17 analysis that we performed, and we had a
18 third-party vendor come in and go in the field and
19 actually patrol 21-square-mile areas of our damaged
20 system. And it was mostly our most heavily damaged
21 areas. And in those areas, they documented the
22 damage that they saw.

23 Within those 20 square miles, they observed
24 basically 10,000 distribution poles, and I think
25 they documented that nine of those had failed. And

1 did not see any transmission failures in that
2 sampled area.

3 COMMISSIONER CLARK: Understood. Thanks for
4 clearing that up.

5 COMMISSIONER BROWN: Commissioners?
6 Commissioner Polmann, followed by Commissioner Fay.

7 COMMISSIONER POLMANN: Thank you, Madam
8 Chairman.

9 You had indicated, as you just responded to
10 Commissioner Clark, no storm surge as was
11 anticipated, and I think you said no significant
12 flooding related to Irma. However, there are areas
13 within the City of Tampa where there is significant
14 flooding, what I would call significant flooding in
15 routine places; you know, rain an inch, and you
16 have got flooding in South Tampa that's, like,
17 three feet. I have had the pleasure of driving
18 through that by mistake, you turned left when you
19 should have turned right, and forget about it. The
20 Chairman is quite familiar with that as well.

21 So do you have experience from normal routine
22 operations from what anybody else in America would
23 call significant flooding?

24 COMMISSIONER BROWN: Yes.

25 COMMISSIONER POLMANN: Do you have underground

1 facilities in those parts of the city?

2 MR. HAINES: Well, that's what I was going to
3 point out. I think, in areas like South Tampa,
4 that you mentioned, most of that is overhead, and
5 so the flooding didn't impact, you know,
6 underground equipment. Most of our underground is
7 kind of northwest, some of the newer areas.

8 COMMISSIONER POLMANN: Right. Right.

9 MR. HAINES: The issues we had there was the
10 rear lot and the trees outside the right-of-way
11 issue.

12 COMMISSIONER POLMANN: There have been rumors
13 I have heard in various places, even read it in
14 some literature about higher tides. I don't know,
15 maybe some of you have read these rumors, too. And
16 I think we've had some in Southeast Florida as
17 well. I don't know if you are familiar with these
18 rumors.

19 Is any of that occurring in the Tampa Bay area
20 that may have affected your facilities, and again,
21 with regard to -- you probably don't have
22 underground along the coast, any experience there?
23 And I will ask the same question of FPL.

24 MR. HAINES: Yeah, I mean, we have underground
25 facilities along the coast, you know, along Tampa

1 Bay area.

2 COMMISSIONER POLMANN: Right.

3 MR. HAINES: And we have substations, too,
4 that are located in areas where there is five, six
5 feet elevation above sea level. So there is
6 exposure there. I just think, like you said, we
7 didn't see that increased storm surge from
8 Hurricane Irma that was initially anticipated, and
9 when at one point it had coming, you know, very
10 close to Tampa Bay.

11 So, you know, at times in the past when we've
12 had flooding, we will see issues with our
13 underground facilities, it just we didn't see that
14 necessarily with Hurricane Irma.

15 COMMISSIONER POLMANN: One of the major
16 concerns that I have, and I think needs to be
17 discussed going forward, in any restoration effort,
18 for infrastructure that's at the coast, if we could
19 anticipate that any of these rumors might, in fact,
20 be true, and we are talking about infrastructure
21 replacement, restoration efforts that are capital
22 investments that you are talking about a useful
23 life that's going to be 30, 40, 50 or more years,
24 let's not put it back where it was. We should
25 anticipate changed conditions.

1 So if you have something that's underground,
2 with a water table that's five feet, you know, if
3 it's going to come up a foot in the future and it's
4 subject to saline water intrusion, that -- that
5 depth, you know, if it's going to be three-and-half
6 feet, that might make a difference. If it's going
7 to be three feet, or near ground surface during a
8 storm surge, that's not a good investment --

9 MR. HAINES: Right.

10 COMMISSIONER POLMANN: -- if that's going to
11 be there for 50 years. So just the point that I
12 think we will be looking more closely at when the
13 cost of restoration, even though underground might
14 be a good idea, it might not be a good idea.

15 MR. HAINES: Right.

16 COMMISSIONER POLMANN: So to FPL, what -- you
17 mentioned washout. Again, that's from at the
18 coast. Do you have any, again, rising water table
19 issues, not necessarily during a storm?

20 MR. OLNICK: Like red tide?

21 COMMISSIONER POLMANN: Kind of like the king
22 tide issue.

23 MR. OLNICK: King tide?

24 COMMISSIONER POLMANN: I mean, we are seeing
25 water in the streets in Miami, I think. I don't

1 know if those pictures are real.

2 MR. OLNICK: So all rumors aside, there are
3 certain areas that, like the Miami Beach area and
4 others in Miami, that at certain times of the year
5 king tide can be a problem.

6 And so looking at -- looking at
7 undergrounding, you do need to look at it
8 long-term. And so to give you an example, the work
9 that the City of Miami Beach and other coastal
10 areas are doing to put in pumping stations, and so
11 forth, to mitigate things like king tide. We work
12 very closely with them to locate transformer
13 locations several feet above where they would
14 normally have been placed to ensure that,
15 long-term, it's the right engineering solution.

16 And so you do have to look at undergrounding
17 in certain areas, and how you might modify or
18 mitigate it for maybe a specific issue for that
19 area, like we've done with the Miami Beach area.

20 COMMISSIONER POLMANN: That addresses my
21 question. Thank you.

22 COMMISSIONER BROWN: Commissioner Clark, we
23 are still on TECO. Did you have a question?

24 COMMISSIONER FAY: I am Fay.

25 COMMISSIONER BROWN: I meant Fay. Oh, gosh.

1 I am sorry. I have been thinking about
2 Commissioner Clark over here.

3 COMMISSIONER FAY: That was quite the comment,
4 Madam Chair. Thank you.

5 I was actually going to echo Commissioner
6 Clark. So I think the data and the information on
7 the customer and stakeholder communications you
8 provided was excellent, and so we appreciate that.

9 My question within this data, and of course
10 you give a lawyer numbers, there can be issues,
11 right? And I am going to try to narrow in on it.
12 But you state 90 percent of your calls are answered
13 in 120 seconds or less, and your average call, live
14 call was answered in 47 seconds. It says,
15 abandoned calls were about six percent in those
16 calculations.

17 Can you talk about -- there is a little bit a
18 of a gap in there, and I am not sure if those are
19 just the extended calls that weren't included in
20 the 90 percent analysis. But was it a mutual aid
21 that you used to get to those numbers and to be
22 able to provide the live response time under a
23 minute?

24 MR. HAINES: And you are look -- excuse me,
25 Commissioner, you are looking at --

1 COMMISSIONER FAY: So I am on page 19 of
2 your -- your presentation. And I am on the third,
3 I guess, little line -- under the third line there,
4 I will call them bullets but --

5 MR. HAINES: Right. So 90 percent of our
6 calls were answered within 120 seconds, and we
7 average 47 seconds. So abandoned calls, or
8 somebody got tired of waiting, are at six percent,
9 you know, hung up and didn't wait for an answer.

10 The question about the live calls, is that
11 115,000 calls were handled by a live agent?

12 COMMISSIONER FAY: Yeah, I guess there is just
13 a little bit of a gap in there. I was just trying
14 to see -- it's a two-part question; one, kind of
15 what that gap was. I am guessing those are just
16 additional calls that -- that exceeded that
17 120-second threshold, is that --

18 MR. HAINES: That drove the average down?

19 COMMISSIONER FAY: Well, that essentially
20 that's not including that number.

21 MR. HAINES: I believe that to be the case,
22 but we would have to follow up on that.

23 COMMISSIONER FAY: Okay. Great.

24 And then the -- the -- being able to achieve
25 that response time, what -- what did you -- what

1 did TECO do to set up that -- that system?

2 MR. HAINES: Well, we had brought in a
3 significant increase of customer service
4 representatives into our call center ahead of the
5 storm to take calls, you know, again pre-storm, and
6 then right after the storm they rode out the storm;
7 but then also the use of, you know, the mutual
8 assistance that I mentioned helped us get to these
9 numbers.

10 COMMISSIONER FAY: And how do you train
11 those -- those folks in the mutual assistance to
12 make sure they are -- they are aware how to
13 respond?

14 MR. HAINES: Again, those programs are
15 established ahead of time. That's something that
16 we've had ongoing for a while. And it's similar to
17 the mutual assistance we get with our line crews.
18 You know, they come and they kind of know the
19 process, and they are familiar with answering calls
20 during storms, so that -- that training, and those
21 expectations are set up ahead of time with the
22 companies that we use do that.

23 COMMISSIONER FAY: Okay. Great. Thank you.

24 COMMISSIONER BROWN: Thank you, Mr. Haines.

25 You know, one of the greatest advantages of

1 having a forum like this is to hear lessons learned
2 from the other utilities, and some of the Best
3 Practices that the other companies are kind of
4 employing. And I think something that I heard that
5 I think works, and it looks like Tampa Electric
6 really does strive to communicate, not just with
7 the public, but its community partners as well.

8 Florida Power & Light's communications app
9 would be a nice little enhancement, similar app,
10 since I think that sounds very intriguing to be
11 able to have that on your phone and be able to get
12 those estimated restoration times.

13 Same goes for Duke. I think that's just
14 another portal that the companies can explore in
15 communicating with the public.

16 I am curious about the Smart Grid technology.
17 So we've heard from the different companies about
18 some of their self-healing mechanisms, and AMI
19 meters. What's Tampa Electric doing? How did
20 it -- how did whatever Smart Grid technologies that
21 are across the field, how did they fair?

22 I know the territory was supposed to -- was
23 expected originally to really get a big storm
24 surge, and then got spared a great deal of the
25 otherwise destruction that occurred around the

1 state.

2 Could you talk about some of the Smart Grid
3 technologies?

4 MR. HAINES: Some of the Smart Grid
5 technologies that we have right now are the
6 mid-circuit reclosers that's been mentioned, that
7 kind of segment the circuits that, you know, for us
8 about an average a thousand customers per circuit.

9 So to the extent we can locate a recloser
10 maybe right in front of a heavily treed area, where
11 we know an area that causes a lot of outages, we
12 can prevent all of those customers upstream from
13 experiencing an outage.

14 And, you know, for our system, we have roughly
15 750 distribution circuits, or feeders. And we are
16 up to about 250 of those have those reclosers
17 installed. Part of our grid modernization roadmap
18 is to continue to install those, and then
19 eventually get the capabilities where we can have
20 self-healing networks, right; and they can
21 automatically reconfigure themselves and pick
22 customers back up and really minimize the number of
23 out outages that -- that the customers experience.

24 COMMISSIONER BROWN: I think that's great.

25 What about -- where is Tampa Electric on AMI

1 meters?

2 MR. HAINES: AMI, we are currently under
3 contract with a vendor to start installing AMI
4 meters, and that project is under way. We've done
5 a pilot, and so probably within the next three
6 years we should have AMI deployed.

7 COMMISSIONER BROWN: Excellent.

8 All right, seeing no other questions, we are
9 going to take about a five-minute break, and we
10 will reconvene at 11:55. We are going to recess
11 for lunch around 12:30, so we are just taking a
12 real brief break to stretch your legs.

13 Thank you.

14 (Brief recess.)

15 COMMISSIONER BROWN: All right. We are on to
16 Gulf Power, with Ms. Adrienne Collins. Welcome.

17 MS. COLLINS: Thank you. Good morning,
18 Commissioners and staff. Thank you for the
19 opportunity to present today.

20 Storm preparations and restoration efforts
21 following a major event are a critical part of the
22 service that we provide to our customers. Our team
23 works hard to cultivate what we call a culture of
24 preparedness. The culture is a vital part of the
25 successful restoration efforts.

1 Gulf Power's preparation is not just for storm
2 season. Our crews and personnel prepare and train
3 to provide our customers with exceptional service
4 all year long, no matter what the weather is.

5 Northwest Florida has experienced all types of
6 extreme weather conditions, from hurricanes,
7 tornadoes, ice and flooding. Each of these events
8 provides opportunities to learn.

9 Preparations occur in many ways; from asset
10 protection; pole inspections and maintenance; storm
11 hardening; increasing material inventory, to
12 training our employees and communicating with our
13 customers in the communities we serve.

14 Employee -- every employee has a storm
15 assignment, and they are trained to prepare to
16 fulfill that role when the time comes. Our storm
17 drills over the last few years continue to
18 challenge our team members to think outside the box
19 and use our well-proven storm restoration plan as a
20 guide to successfully restore power.

21 When a storm enters the Gulf, we activate our
22 storm center. This moves our team into storm mode,
23 and everyone begins preparing for restoration.
24 Mutual assistance is an important part of this
25 process, where we review our plans and have

1 conversations within Southern Company, the
2 Southeastern Electric Exchange and the Florida
3 Coordinating Group, to make sure everyone is
4 available to receive and provide the assistance
5 that's needed.

6 But there is much more to the mutual
7 assistance than getting crews to come help. We
8 have to activate and be prepared for our staging
9 sites and check-in sites to bring in all the
10 contractors, resources and the vendors that provide
11 support in these situations.

12 As seen in many of these storms, it doesn't
13 affect just one utility, and therefore, we have to
14 balance, as has been discussed already, the
15 resources and the timing when we make those
16 decisions to acquire those resources because the
17 costs can become mounting very quickly.

18 One of the most important aspects to preparing
19 for a storm is our communications with customers.
20 We don't start building those relationships when
21 the storm is about to come. It's done all year
22 long through timely communications, and we have to
23 work to continue to educate and communicate with
24 them all year long so that when the big storm does
25 come, they are ready and understand what to be

1 prepared for, and what to expect.

2 After our storm has passed, our plan really
3 focuses on the substation team leader efforts and
4 roles, and the rest of the company providing them
5 resources to make them successful in the
6 restoration efforts.

7 We work with the cities and the counties to
8 identify those critical facilities in our
9 communities, including hospitals and first
10 responder facilities. And our team works to
11 restore the power to those critical facilities as
12 quickly as possible. However, it is important to
13 note, just because a customer is a priority, it
14 doesn't mean that they will be the first to be
15 restored. We have a very systematic process where
16 we start out at the substation and work from there,
17 and so they may not be the first ones.

18 Accessibility is always a concern following a
19 major event. We work very closely with the
20 personnel who are trained and staged in the
21 Emergency Operations Center to work with the cities
22 and counties to gain access to our infrastructure
23 so that we have the ability to restore power
24 quickly.

25 The first groups that are typically seen by

1 our customers are usually our engineering and
2 others that are trained in assessing the damage, or
3 evaluating the damage to our system, so that we can
4 be sure to obtain the right resources in the right
5 locations.

6 Communication is a huge focus of our
7 restoration effort. We know that our ability to
8 deliver timely and accurate information is crucial
9 for our customers so that they can make decisions
10 around the residences and their businesses. I will
11 expand on that in just a few minutes.

12 Once power is restored to our customers, we
13 then offer assistance to other utilities that may
14 need help after a major storm.

15 Since 2006, Gulf Power has invested over \$250
16 million in storm hardening. Our focus has been on
17 critical infrastructure, such as hospitals,
18 shelters and commercial corridors. 89 percent of
19 our transmission system is hardened, and we have
20 over 24,000 of our poles, distribution poles that
21 have been hardened.

22 Gulf Power system sustained minimal damage
23 during 2017 as a result of the named storms. The
24 system performed very well, and the outages that we
25 had, all customers were restored within 24 hours.

1 No hardened facilities were damaged, however,
2 we did have some damage to non-hardened
3 facilities -- non-hardened poles, the majority of
4 those poles that were damaged were not owned Gulf
5 Power Company.

6 Storm hardening is, on the overhead system,
7 really is the strengthening of the poles for
8 increased wind loading. And I think what's
9 important to note here is there -- from the wind
10 loading perspective, if you have 100-mile per hour
11 wind, that the pole will sustain that; but you
12 could see that there is other factors if you were
13 to have severe rain, 10 inches of rain or flooding
14 and those wind conditions, the impacts on the poles
15 will be impacted very differently.

16 In terms of overhead versus underhand --
17 overhead versus underground system performance,
18 there is a common sometimes assumptions that
19 electric utilities are opposed to undergrounding,
20 and for Gulf Power, it's simply not the case. In
21 fact, 25 percent of our underground -- of our
22 distribution system is underground. Many new
23 subdivisions are requiring underground electric
24 service, and we are happy to work with them, the
25 construction contractors, to install underground

1 service for them.

2 Of the limited number of outages that we
3 experienced during Hurricane Irma and Nate,
4 98 percent of those were on the overhead system,
5 and two percent of those were on underground.

6 On average, underground customers do
7 experience fewer outages; however, some issues
8 still arise with underground, and the time it takes
9 to do the troubleshooting and repairs, we've
10 experienced that it takes 80 percent longer to do
11 that than on our overhead system.

12 One aspect to keep in mind from a Gulf Power
13 service area is that 50 percent of our customers
14 live within one mile of the coast, or another body
15 of water. Which means that there is more
16 susceptibility to storm surges or flooding.

17 For example, in Ivan, we experienced major
18 damage to our underground system in the coastal
19 areas, and power was not restored for weeks in
20 those areas. As been discussed already in here,
21 undergrounding is not the perfect solution for
22 reducing outages and the length of outages from a
23 storm, but there are instances where undergrounding
24 is a best option and benefit for the customer as a
25 whole. We just need to take into consideration all

1 the different factors and find a balanced approach
2 for finding those solutions.

3 Gulf Power did not encounter any impediments
4 during the restoration efforts as a result of
5 Hurricane Irma and Nate. We continue to train and
6 continue to have great working relationships with
7 the local entities, mainly through the EOCs, to
8 eliminate hurdles such as road closures, damages,
9 debris removal and vegetation management.

10 One example was when Gulf Power was called to
11 help out Tampa Electric to restore power after
12 Hurricane Irma, we were able to acquire police
13 escorts to get our crews from Northwest Florida
14 over to the Tampa Bay area.

15 We work hard to engage our -- we work hard to
16 engage and communicate with our customers
17 year-round, not just during the storms; and we
18 continue to transform the many channels in which we
19 keep up with their needs and communicate with them
20 in the way that they want to be communicated. And
21 those timely communications that are made during
22 the year help us build those relationships for
23 these significant times when we experience these
24 major storms.

25 Prior to the major storms hitting, we work

1 with the media outlets to place storm preparedness
2 ads across the service area, and to education them
3 to what to expect to prepare for the outage, and
4 how to connect with us during an outage situation.

5 One example of this is prior to Hurricane
6 Nate, we sent our customers an email that gave them
7 information they needed to be prepared for the
8 storm, and how they could connect with us to ensure
9 they had the latest updates they needed during the
10 storm.

11 Our website and social media is used
12 extensively with customers year-round, and we run
13 digital ads and billboards, just depending on the
14 different types of weather situations that we may
15 have, and also have public service announcements on
16 local radio stations.

17 We want to ensure that we keep the customers
18 informed during these -- during and after the
19 storm, whether it's the hurricane, a tornado or an
20 ice storm. It's in these times that we see that
21 customers have a need for the amount and frequency
22 of information, and we utilize as many different
23 channels to have the opportunity for our customers
24 to get that information. One of those being our
25 storm center website. We improved and launched a

1 new one in 2017, and it allows our customers easy
2 access to the information from smart phones or
3 tablets, and as well as their computers.

4 In regards to our outage map, it can be
5 accessed also from the computer or a smart phone,
6 and it gives them the latest restoration times and
7 the crew status. Our customers not only learn
8 about their particular outage, but also get an
9 opportunity to understand about the storm's impact
10 entirety.

11 In terms of the platform that's used, it's
12 hosted by Amazon, so we are very confident about
13 its ability to handle the high volume of traffic
14 for our customers.

15 We also have a Gulf Power app and alert, where
16 they can monitor and track the status of their
17 outage, and those alerts can be obtained in any way
18 that they choose. They don't have to have the app.
19 They can receive communications via email, text
20 messages or a phone call.

21 Regarding social media, we use all the
22 different platforms that are out there and
23 available. And as of today, we have 100 percent
24 response within 15 minutes during normal business
25 hours. And, of course, during a major storm

1 events, we are active on Facebook throughout the
2 entire event, and we also bring in additional
3 social media to address coverage 24/7.

4 From a customer care center perspective, we
5 have -- do this during normal just regular daily
6 operations, but also during storm situations, where
7 we have our sister companies within Southern
8 Company that are able to take the calls. And
9 actually, in Hurricane Irma, because we did not
10 have the significant outages, we actually took
11 calls for a sister company.

12 In terms of our media relations, each year
13 prior to the hurricane season, a team -- our team
14 conducts a tour with the media and sends
15 communication storm relevant information to them to
16 ensure they know -- they know how to communicate
17 with us during a storm.

18 And then after a storm has passed, we provide
19 the media with multiple restoration updates through
20 daily releases, which typically corresponds with
21 the timing when we send the updates to the State
22 EOCs.

23 We do have dedicated reps at every one of the
24 county EOCs as well as the State EOC so that we can
25 deliver those consistent messages regarding outage

1 numbers and restoration times.

2 In terms of suggested improvements, we don't
3 see any major changes that need to be made to the
4 existing initiatives. Many of the initiatives are
5 already part of what we do on an everyday basis.
6 We plan to continue to implement our 10 point plan
7 and make adjustments as needed.

8 To address the question from Commissioner
9 Clark, I would say that the biggest opportunity
10 that we have from a commission perspective to be
11 able to help us out is what my colleagues have
12 already communicated. We have 31 percent of our
13 infrastructure on non-electric utility poles. So
14 an inspection process on there would be something
15 that would be a benefit to us.

16 From the communications standpoint, I think
17 one of the things that we saw, while we may not
18 have been affected, when you see all the named
19 storms and the responses from our customers, and
20 what we saw was the perception or understanding
21 that, as we've talked about all the storm hardening
22 efforts that we've done, the potential thought that
23 they will not experience an outage, or the length
24 of outage time may not be what they would have
25 expected in the past.

1 So part of that goes back to communicating
2 with our communities and our customers prior to to
3 help them understand the differences between a
4 major storm situation and other type of storm
5 events.

6 And also, it includes us reaching out to our
7 community, government leaders and, again, also
8 explaining storm related education programs to
9 them.

10 The other piece of that is just helping the
11 individuals understand that in these major storms,
12 that we do have incorporated these technologies,
13 but as been previously shared, that you are still
14 going to have impacts from trees that are off the
15 right-of-way, or other conditions that are outside
16 of our control.

17 The -- some of the other things that we are
18 doing in terms of communications for preparation
19 prior to the storm really is around presenting the
20 messaging during the annual EOC storm preparedness
21 conferences across our service areas, as well as
22 the media visits that we are going to, and then
23 mailing out brochures to all of our customers
24 around storm preparedness.

25 So again, as we prepare for storm and the

1 restorations following a major storm event, the
2 critical part is that we continue to communicate
3 with our customers, and that we learn and seek from
4 the Best Practices, for instance, the things that
5 we've talked about today; and that there are
6 takeaways after every event, whether we were
7 impacted directly or not.

8 So thank you for the opportunity to be here
9 and share and learn from the workshop. That
10 concludes my --

11 COMMISSIONER BROWN: Thank you, Ms. Collins.
12 I want to say a very thorough presentation. You
13 have a very robust communications process in place,
14 so I commend you on that.

15 MS. COLLINS: Thank you.

16 COMMISSIONER BROWN: Commissioner Clark.

17 COMMISSIONER CLARK: And thank you for
18 addressing my two wishes question, you have still
19 got one left, by the way, so if there is another
20 one you would like to add to the joint use poll
21 agreement, we will take it.

22 I would commend you, again, echoing Chairman
23 Brown's comments regarding your communication plan.
24 You did an excellent job in the presentation, but
25 as much so you did an excellent job in

1 communication during the storm.

2 And one of the things I would compliment you
3 on is the app. And I believe someone else
4 mentioned that in terms of some of the other
5 utility companies. That -- that is a very
6 beneficial feature to the consumers, and I have
7 used your app on a number of occasions myself. And
8 that is a really, really good customer enhancement
9 tool that I think everyone can take a lesson from.
10 Thanks.

11 MS. COLLINS: Thank you.

12 COMMISSIONER BROWN: All right. Thank you.
13 Commissioner Polmann.

14 COMMISSIONER POLMANN: Thank you, Madam
15 Chairman.

16 You had mentioned something that we haven't
17 yet heard today, and I appreciate your bringing it
18 up, and that is ice. It probably does apply to at
19 least one of the other utilities, but you had
20 mentioned also 50 percent of your customers are
21 near the coast, and I think there is some
22 commonality with the other utilities. But with
23 regard to ice and perhaps your terrain within your
24 service area, and maybe the soil types and things
25 like that, you had -- you do have some -- some

1 differences from other parts of the state.

2 If you could perhaps comment on what your
3 utility encounters that may be different from
4 elsewhere in Florida. Ice, in particular, is, I am
5 sure, a challenge that we don't typically think of
6 across much of the state. So anything you can --
7 you can bring up that might be helpful to us as we
8 look at how to deal with storm response.

9 MS. COLLINS: I think what you shared,
10 probably one of the biggest differences is our
11 susceptibility to having more potential for that
12 cold weather, and the -- and the ice storms, and
13 our customers not being used to those conditions
14 around what does that do on roadways, and the
15 ability for them to be able to travel, and then the
16 potential additional impacts and the opportunity to
17 create additional outages that weren't caused maybe
18 initially by the storm, but by them trying to
19 travel and navigate to try to, you know, whatever
20 it is; maybe trying to get food, or trying to get
21 to another location.

22 So I don't know that I have anything
23 additional to add, but, you know, the ice doesn't
24 happen very often, and you don't get a lot of
25 experience within our area. Now, we do get

1 experience going off on mutual assistance for the
2 crews that go out there, but I think it's a very
3 different experience for our customers.

4 COMMISSIONER POLMANN: Has there been any
5 occasion where you actually have damage to
6 facilities or equipment related to cold weather and
7 ice?

8 MS. COLLINS: So yes, because of the amount --
9 when the rain freezes and gets on, for instance,
10 the pole or the structure, and then the amount, the
11 volume that's there, you do have the ability for
12 damage to those structures, yeah.

13 COMMISSIONER POLMANN: Okay. Does that
14 provide challenges that are distinctly different
15 than wind or -- or flooding that --

16 MS. COLLINS: Other than that the cause being
17 different. In terms of the restoration efforts,
18 you are still going to go about and utilize the
19 same restoration plan. Again, the difficulty will
20 be now that some of the -- the difficulty will be
21 accessing, will be road conditions that now have
22 ice on them versus, you know, just having -- you
23 will still have potential trees, because the trees
24 will be down because of ice or, you know, snow
25 that's built up on them, so you will have those

1 kind of things. But really the difference is the
2 icing of the -- of the roadways and access to them,
3 or the closures of bridges because of the icing.

4 COMMISSIONER POLMANN: Thank you.

5 MS. COLLINS: You are welcome.

6 COMMISSIONER BROWN: Commissioners, any other
7 questions?

8 Commissioner Fay.

9 COMMISSIONER FAY: Just one quick question,
10 Madam Chair.

11 So you stated that you have no impediments for
12 restoration, and you work well with the local
13 entities. I know the -- I think different areas of
14 the state may vary on how cooperative those
15 relationships might be.

16 Can you talk a little bit about what -- what
17 Gulf Power has done to ensure when a storm does
18 occur, that they are able to -- to get the
19 necessary resources or responses they need from the
20 local entities?

21 MS. COLLINS: I think it's having the
22 frequency and the regular discussions, and not just
23 around the storm season.

24 For instance, we had a tornado that impacted
25 part of our central area here, and it didn't cause,

1 you know, major significant outages; but because we
2 already have those relationships on a kind of
3 day-to-day situation, that we got assistance from
4 the City to help out with blockage for roads so
5 that our folks could do the repair.

6 So it really is just that regular routine
7 dialogue, and interactions around how we respond,
8 besides being in there. So it's a -- it's a
9 relationship that has been cultivated over a long
10 period of time, and then continuing to maintain
11 those relationships.

12 COMMISSIONER FAY: Yeah. And you also gave an
13 example of being able to help another utility by
14 having resources from, I guess, the State or some
15 other entity to get those trucks to where they
16 needed to be. Can you talk a little bit about how
17 that came about?

18 MS. COLLINS: Sure. As we were seeing the
19 need to respond quickly to the areas that were
20 largely hit, one of the impediments was getting
21 everybody down there. There was a lot of folks on
22 the roadway, and the number of trucks, so it was
23 discussed on calls that we had the ability to get a
24 police escort that would allow you to move down the
25 road and not be slowed down by the other general

1 traffic of folks that were trying to either get
2 back to the areas that they had left from, or
3 trying to get to the area to provide the support.

4 So it was through dialogue and conversations
5 through our different industry groups that made
6 that possible.

7 COMMISSIONER FAY: Great. Thank you.

8 MS. COLLINS: You're welcome.

9 COMMISSIONER BROWN: All right. Seeing no
10 other questions from Commissioners, thank you for
11 your participation here today.

12 Moving on to FPUC, Jorge Puentes or George?

13 MR. PUENTES: Good afternoon. I respond to
14 both. So if you like --

15 COMMISSIONER BROWN: Yes.

16 MR. PUENTES: -- to roll the R that's
17 perfectly all right.

18 COMMISSIONER BROWN: Yes. Great.

19 MR. PUENTES: Yes, again my name is Jorge
20 Puentes, or Jorge Puentes. And I appreciate the
21 opportunity you gave FPU to allow to share our
22 hurricane preparedness and restoration overview.

23 We -- we -- we have provided -- tried to
24 answer the questions that were requested by looking
25 at the process that we do with prevention, and then

1 looking at the restoration process.

2 And in terms of the prevention process, we
3 have followed the term -- the 10 storm initiatives,
4 storm hardening initiatives, but I would like to
5 give you an update of where we are at.

6 Since 2006 to 2017, we -- on the wood pole
7 inspection, we have an eight-year cycle. We have
8 completed 1.25 cycles. And we have inspected
9 32,921 poles. And out of those inspected, we have
10 replaced a total of 2,186.

11 In terms of the vegetation management, we have
12 a three-year tree trimming feeder cycle. We have
13 completed three of those up-to-date. And in terms
14 of the laterals, we have a six-year tree trimming
15 cycle. We have completed one-and-a-half of those.
16 That has made us being able to complete combined
17 feeder and lateral mileage of 1,338 -- 37 miles,
18 excuse me.

19 We have also during that time completed a
20 joint use pole attachment audit. That was
21 completed in 2016.

22 In terms of the transmission climbing
23 inspection --

24 COMMISSIONER BROWN: Could I stop you right
25 there?

1 MR. PUENTES: Sure.

2 COMMISSIONER BROWN: You said the joint use
3 audit, pole audit.

4 MR. PUENTES: Joint use pole attachment audit.

5 COMMISSIONER BROWN: So what did it reveal?

6 MR. PUENTES: In terms of, we were able to see
7 that there were some sections of the counts of some
8 of the poles that the utilities were -- that were
9 attached to us were not properly being accounted
10 for, so we were able to see that.

11 But one thing that it revealed is also that in
12 certain areas of our population, let's say for a
13 feeder, there are utilities that our communication
14 companies that are attached to us that own several
15 poles in that feeder. And during the storm,
16 fortunately, we didn't have the issue, but if that
17 would have been affected, they are not required to
18 do storm hardening, and we are --

19 COMMISSIONER BROWN: As we discussed, yeah.

20 MR. PUENTES: -- so that created an issue. So
21 we were able to discover many of these things.

22 COMMISSIONER BROWN: Great. Please continue.

23 MR. PUENTES: Sure.

24 In terms of the transmission climbing
25 inspections, we do that every six years to our 138

1 kV and 69 -- 69 kV systems. The last inspection
2 that was completed was in 2012. And in 2018, we
3 are going to complete the other climbing
4 inspection.

5 During that time, also we have installed about
6 85 concrete poles on the transmission system, the
7 69 kV side, which included a rebuilt of a one
8 point -- 1.2 mile Rayonier -- line to Rayonier.

9 And we have also completed many distribution
10 and substation projects. As you know, we have
11 recently made an interconnection with JA, providing
12 more reliability to our customers -- I mean, to FPL
13 instead of JA. I apologize. We have both
14 providing ties, so we are able to feed from either
15 location in case we would lose one.

16 In addition to that, we also were able to
17 build a power plant on -- inside the island -- on
18 the island that would allow to pick up most of the
19 critical customers and some of the other customers
20 and businesses that would need to be opening.

21 We have also implemented a GIS and OMS system.
22 We have issued a new lineman application so that
23 our linemen are able to take a look at what
24 circuits are affected in certain areas, and they
25 are able to clear those outages from that iPad, and

1 that has been very useful.

2 But in total, we have spent nearly
3 29 million -- invested \$29 million in -- in funds.
4 Out of those, about 18 million have been capital,
5 and 10-and-a-half million have been an O&M.

6 As we prepare for a storm, we -- we are a
7 culture that is always prepared, as most of my
8 other colleagues have been talking about. We also
9 have some outreach programs where we send brochures
10 prior to hurricanes. We post information at our
11 website. We send bill inserts, and we do public
12 announcement.

13 As part of preparing for the storm, we have --
14 get all our emergencies procedures ready, and we
15 establish our communication plans.

16 We also do an annual preparation storm with
17 all our regions, and where we discuss -- as you
18 know, we are not only an electric utility company,
19 but we also own and distribute gas and propane, but
20 we all participate in this -- in this exercise.

21 And while we also do that, we ensure that our
22 system and our facilities have been inspected. We
23 also ensure that we make good coordination with our
24 local EOCs, and also with the State EOC, as they
25 are asking some of the outage information on a

1 regular basis, as the outages are occurring. And
2 we participate actively with our SEE, Southern
3 Eastern Exchange and Southern Gas Association for
4 mutual assistance.

5 In terms -- one of the other things that we do
6 as the hurricane gets closer, we have also prepared
7 our employees to be ready in their personal lives,
8 because one thing that we have noticed is employees
9 also that live in the area are effected by these
10 hurricanes, and we want to train them so that they
11 also prepare their storm plans, and it's something
12 that we like to do.

13 We also redeploy call center resources,
14 depending on where the storm is heading. So
15 depending on the location, we might disperse our
16 call centers to different locations, and they are
17 able to help depending on where the storm is going
18 to be impacting the area.

19 Other preparations that we all do is review
20 assignments and make sure that inventory levels,
21 fuels, and all the necessary items that you would
22 need to be able to respond to a storm are taken
23 care.

24 And when it -- when -- when it comes to
25 restoration, in terms of the restoration, we apply

1 a systematic approach. We use our OMS and SCADA
2 systems to allow us to organize and prioritize the
3 information. We send crews to go out and survey
4 physical damage. We send tree crews in advance to
5 clear the area so that the electric trucks can
6 be -- are able to come over and help out in those
7 locations.

8 And in terms of restoring power, our approach
9 is to first get the generation going, like in this
10 case would be our Eight Flags generating station,
11 then make sure the transmission system, the
12 interconnect with FPL and JA are in good shape, and
13 then make sure the substations are good. If those
14 are restored and in proper functioning mode, then
15 we would move on to feeders, and then the laterals
16 and customers.

17 For -- when we talk about customers, the
18 priority for the customers that we emphasize is
19 hospitals first, police, fire department, EOC
20 centers, too, or shelters for the elderly. Then we
21 do water and sewer facilities. And then we try to
22 restore food areas and restaurants for customers.

23 As we look at the hardened versus non-hardened
24 facility performance, we have a good picture here.
25 We really did not have any damage to storm

1 hardening transmission poles or damage to storm
2 hardening distribution poles. So no damage to
3 that, which shows --

4 And in my presentation, page nine, I show a
5 picture of a good example of how storm hardening
6 has helped. This is a picture taken during Irma.
7 And you can see on the left-hand side, there is a
8 feeder that was recently storm hardened; and on the
9 right-hand side, you have the ocean, and we are
10 about 600 feet. And the wind was blowing, and you
11 can see that one of the poles on the other side of
12 the street is down, and the other one that -- the
13 feeder that was storm hardened had no damages.

14 In terms of Hermine and Matthew and Irma,
15 Hermine didn't affect us as much. We had about 22
16 repairs, and we replaced about -- we had zero
17 replacements to non-hardened facilities.

18 In Matthew, we had a bigger impact, and we did
19 about 189 repairs, and replacements were about 14
20 to non-hardened facilities.

21 Irma was a much bigger impact. We had 311
22 repairs, and we replaced 37 poles and other
23 infrastructure, but they were to non-hardened
24 facilities.

25 As we look at the underground versus the

1 overhead facility, in some of the pictures that I
2 show there, just like the other colleagues, I think
3 the main damage was done to -- by the trees, by the
4 trees. And we didn't have to do any repairs to the
5 underground, except that when there was so much
6 tree damage, that the customers were piling their
7 debris on top or around the transformers, and when
8 the crews that came around to clean the debris with
9 those big jaws came over, they picked up the
10 transformers too, and then we had to go in and
11 repair -- repair some of those high mounted
12 transformers.

13 As we looked at the impediments to
14 restoration, we can say that in one side, as you
15 know, the Amelia Island, there is only two bridges
16 that have access to the island, and after 40 miles
17 per hour, they close those; or they also, depending
18 on the size or the number of the hurricane -- this
19 is a category -- they close the island, and they
20 have mandatory evacuations. So those were the
21 impediments for us, because we couldn't be there
22 while everyone was is evacuated, so that happened
23 for Matthew and Irma.

24 Also another impediment is the magnitude and
25 track of the hurricane. Securing mutual aid

1 assistance is kind of difficult at times because
2 you don't know where that hurricane is going to
3 move, and the resources that you thought you were
4 going to get, you might not be getting, and it
5 happens also internally.

6 Clearing vegetation is another impediment.
7 And, again, the winds and rain and flooding.

8 In terms of the customer communications, this
9 is an area where I am happy to report that FPU has
10 been a winner of a Best Practice Bronze Award by
11 Shotwell's 2018 Outage Communications awards. And
12 we were able to win this because we are able to
13 restore most of our customers fairly quickly, and
14 we provide a single page where most customers could
15 go in, and we provide a lot of information about
16 the hurricane, maps of where the power is being
17 restored, and that has helped them a lot.

18 We also use Facebook, Twitter and the FPU.com
19 website also. And we also have a mobile FPU.com in
20 there.

21 Another thing that we like to do is, because
22 so many customers were affected, we have
23 coordinated home visits to the customers to see how
24 they are doing, and we have written letters from
25 the President to appreciate our customers' patience

1 with us.

2 In terms of suggested improvements, and based
3 on our lessons learned, we -- we -- our -- FPU's
4 feeling is that we would like to continue to invest
5 in all storm hardening activities. We think that
6 that's a very good -- those 10 points are good
7 initiatives. Continue to invest also in technology
8 and advances in hurricane predictions, such as the
9 PURC, Public Utility Research Center. Continue to
10 improve GIS systems, ONS, OMS, IBR implementation
11 and other technologies.

12 In the future we also are planning to
13 implement AMI. We currently don't have that, but
14 that is in the plan, and we are working, I think,
15 with the staff on some of this.

16 Another item that we thought it would be to
17 evaluate our management and feeder laterals
18 schedules. Right now we have a three and a six
19 schedule, but that could change depending on some
20 of the analysis that we are doing.

21 Another suggestion would be to closely work
22 with customers to avoid storing on top of our
23 transformers all the debris during storms. And
24 then continue to improve internal resource and
25 allocations, as well as securing mutual aid.

1 That concludes my presentation, but I know
2 that Commissioner Polmann, you had asked about what
3 would be one of the actions, or some of the lessons
4 that we have learned that would help to resolve
5 sticky issues with the current and local
6 government.

7 What I can offer, Commissioner Polmann, is
8 that we really try to get them involved as much as
9 we can. I know that the tree trimming issue is
10 something that we all struggle with because they
11 are dealing with customers themselves, because they
12 are dealing with customers themselves because they
13 manage that. And just getting them involved and
14 continuing communication is the best thing that we
15 have noticed that works. But it's still a touchy
16 issue. The tree trim issue, I agree, is very
17 difficult to deal with.

18 In terms of your question, Commissioner Clark,
19 about two things that you would like us to give
20 you. I agree with all our colleagues. I think the
21 joint use issue about non-storm-hardening poles
22 would be one. And then the other one would be,
23 even though we all have mentioned it, would be
24 communications. Continue to communicate with local
25 EOCs and even State EOCs as much as you can,

1 because communication always gets confusing, and it
2 never hurts to do more of that.

3 And then in terms of -- Commissioner Graham,
4 you had the question about the percentage of
5 utility -- of underground utility, and that was
6 19.3 percent is what we have of underground. And
7 with that, I conclude.

8 COMMISSIONER BROWN: Very thorough
9 presentation.

10 MR. PUENTES: Thank you.

11 COMMISSIONER BROWN: Thank you, Mr. Puentes.
12 Chairman Graham.

13 CHAIRMAN GRAHAM: Thank you.

14 Jorge, you mentioned earlier that you can't
15 get back on the island until the storm is over.
16 Now, do you have to wait until the winds stop, or
17 do you have to wait until after they open the
18 bridges for all the residents to come back?

19 MR. PUENTES: Yes, sir. We have to wait until
20 the wind stops. And even though we are the first
21 utility and personnel that goes in to help and
22 restore the island, it's pretty much predicated on
23 the wind, and they sometimes have to go and have
24 the DOT come in and do inspections, depending on
25 how hard the bridge got hit by winds. So -- but,

1 yes, we are totally dependent on that.

2 CHAIRMAN GRAHAM: Yeah, but, I mean, but as
3 soon as the winds stop, they will let you on. You
4 don't have to wait for them to open the bridges to
5 let all the residents on, correct?

6 MR. PUENTES: We have to -- when -- in the
7 last two evacuations for Matthew and Irma, we
8 always are there waiting for them to let us in, and
9 they let us in after the winds have down, and they
10 try to keep most of the customers away so that we
11 are able to do restoration. But some customers do
12 stay in the island, and they don't evacuate, so,
13 yes.

14 CHAIRMAN GRAHAM: Well, I just wanted to make
15 sure I understood, because I know -- and it's a
16 safety issue --

17 MR. PUENTES: Yeah.

18 CHAIRMAN GRAHAM: -- they are not going to let
19 anybody cross that bridge until the winds have
20 subsided because nobody wants, you know, the safety
21 hazard there. But you should be on there right
22 after that, because there is going to be a lot of
23 down power lines. That it's not just going to be
24 the fire department. They are going to need for
25 you to be there as well.

1 MR. PUENTES: Yes, they allow us to do that.

2 Yes, sir.

3 CHAIRMAN GRAHAM: Thank you.

4 COMMISSIONER BROWN: Thank you.

5 Commissioner Clark.

6 COMMISSIONER CLARK: Thank you, Madam Chair.

7 Thank you, Mr. Puentes, for your presentation.

8 Just a couple of quick questions.

9 I know you -- you guys operate two very unique
10 systems, one urban system and a rural system. When
11 we look at your data, are your -- your capital
12 costs, your hardening costs, are they spread evenly
13 among your two systems? Have you focused in one
14 area versus the other?

15 MR. PUENTES: No. We try to -- try to -- when
16 we do budgeting and we meet with the other
17 division, we try to address both areas. However,
18 we have done some investments on where the needs
19 are more critical, and that's what we try to look
20 at. But we try to spend money as evenly as
21 possible.

22 COMMISSIONER CLARK: And the same thing, kind
23 of my question regarding your vegetation, your
24 right-of-way trimming cycles. You have got a
25 six-year cycle on laterals, I assume, and --

1 MR. PUENTES: Yes, sir.

2 COMMISSIONER CLARK: Do you apply the same
3 principle to your rural customers as to the urban?
4 It seems like you probably got higher, faster
5 growth in the rural areas than you do the urban.
6 Do you -- is it worth evaluating shorter trim
7 cycles for each of the two divisions.

8 MR. PUENTES: Yes, we are looking -- we are
9 looking -- you are right, Commissioner Clark.

10 One is more rural, and there is more trees on
11 that area; therefore, we have more expenditures in
12 tree trimming crews over there addressing all the
13 vegetation management initiatives.

14 And as we look at that three-year and six-year
15 lateral -- three-year feeder, six-year lateral --
16 we have also began trying to do, when you are
17 trimming the feeders, the laterals are very close
18 by, so trying to do those. And that's where we are
19 trying to evaluate if it's -- if it's better to go
20 to a four- or five-year cycle, where you do them
21 all at once.

22 And we are -- and in the island, it's a little
23 bit easier, because it's compact, and we don't have
24 as much trees, so we have less crews over there.

25 COMMISSIONER CLARK: Thank you, sir.

1 MR. PUENTES: Thank you.

2 COMMISSIONER BROWN: Commissioners, any other
3 questions?

4 Seeing none, thank you, Mr. Puentes.

5 This seems like a nice time to take our recess
6 for lunch.

7 The time is 12:40. We will take an hour. We
8 will be back here at 1:45.

9 Thank you.

10 We are in recess.

11 (Lunch recess.)

12 (Transcript continues in sequence in Volume
13 2.)

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

STATE OF FLORIDA)
COUNTY OF LEON)

I, DEBRA KRICK, Court Reporter, do hereby
certify that the foregoing proceeding was heard at the
time and place herein stated.

IT IS FURTHER CERTIFIED that I
stenographically reported the said proceedings; that the
same has been transcribed under my direct supervision;
and that this transcript constitutes a true
transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative,
employee, attorney or counsel of any of the parties, nor
am I a relative or employee of any of the parties'
attorney or counsel connected with the action, nor am I
financially interested in the action.

DATED this 11th day of May, 2018.



DEBRA R. KRICK
NOTARY PUBLIC
COMMISSION #GG015952
EXPIRES JULY 27, 2020