

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of:

COMMISSION REVIEW OF  
NUMERIC CONSERVATION GOALS  
(FLORIDA POWER & LIGHT  
COMPANY).  
\_\_\_\_\_ /

DOCKET NO. 20190015-EG

COMMISSION REVIEW OF  
NUMERIC CONSERVATION GOALS  
(GULF POWER COMPANY).  
\_\_\_\_\_ /

DOCKET NO. 20190016-EG

COMMISSION REVIEW OF  
NUMERIC CONSERVATION GOALS  
(FLORIDA PUBLIC UTILITIES  
COMPANY).  
\_\_\_\_\_ /

DOCKET NO. 20190017-EG

COMMISSION REVIEW OF  
NUMERIC CONSERVATION GOALS  
(DUKE ENERGY FLORIDA, LLC).  
\_\_\_\_\_ /

DOCKET NO. 20190018-EG

COMMISSION REVIEW OF  
NUMERIC CONSERVATION GOALS  
(ORLANDO UTILITIES  
COMMISSION).  
\_\_\_\_\_ /

DOCKET NO. 20190019-EG

COMMISSION REVIEW OF  
NUMERIC CONSERVATION GOALS  
(JEA).  
\_\_\_\_\_ /

DOCKET NO. 20190020-EG

COMMISSION REVIEW OF  
NUMERIC CONSERVATION GOALS  
(TAMPA ELECTRIC COMPANY).  
\_\_\_\_\_ /

DOCKET NO. 20190021-EG

VOLUME 5  
PAGES 774 through 1023

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

PROCEEDINGS: HEARING  
COMMISSIONERS  
PARTICIPATING: CHAIRMAN ART GRAHAM  
COMMISSIONER JULIE I. BROWN  
COMMISSIONER DONALD J. POLMANN  
COMMISSIONER GARY F. CLARK  
COMMISSIONER ANDREW GILES FAY

DATE: Tuesday, August 13th, 2019

TIME: Commenced: 2:00 p.m.  
Concluded: 6:29 p.m.

PLACE: Betty Easley Conference Center  
Room 148  
4075 Esplanade Way  
Tallahassee, Florida

REPORTED BY: DEBRA R. KRICK  
Court Reporter

APPEARANCES: (As heretofore noted.)

PREMIER REPORTING  
114 W. 5TH AVENUE  
TALLAHASSEE, FLORIDA  
(850) 894-0828

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## I N D E X

## WITNESSES

NAME :	PAGE
DONALD P. WUCKER	
Examination continued by Mr. Leubkemann	787
Examination by Ms. Weisenfeld	794
Further Examination by Mr. Perko	796
BRADLEY E. KUSHNER	
Examination by Mr. Perko	800
Prefiled Direct Testimony	802
Examination by Ms. Corbari	810
MARK R. ROCHE	
Examination by Mr. Means	815
Prefiled Direct Testimony	817
Examination by Ms. Fall-Fry	896
Examination by Mr. Marshall	899
Examination by Ms. Dziechciarz	916
JIM GREVATT	
Examination by Mr. Marshall	927
Prefiled Direct Testimony	930
Further Examination by Mr. Marshall	981
FOREST BRADLEY-WRIGHT	
Examination by Mr. Marshall	983
Prefiled Direct Testimony	985

1		EXHIBITS		
2	NUMBER:		ID	ADMITTED
3	336	SACE POD 14, Utility Program EE budgets, Bates 1-11	783	786
4	337	JEA response to SACE 3rd set of ROGS, No. 74	784	786
5	338	JEA response to staff 1st ROG 114 excerpt of Nos. 5-7	784	786
6	339	JEA response to staff 12th set of ROGS, Nos. 88-94	785	793
7	340	JEA response to staff 3rd set of ROGS, Nos. 25-52	785	
8	341	JEA response to SACE 5th set of ROGS, Nos. 98-100 & Nos. 102-106	785	
9	342	JEA response to staff's 6th set of ROGS	786	
10	53-59	As identified on the comprehensive exhibit list		798
11	336-342	As identified on the comprehensive exhibit list		799
12	343	JEA response to SACE 1st set of ROGS Nos. 1-65, excerpt of No. 12	812	812
13	344	JEA response to SACE 1st set of ROGS Nos. 1-65, excerpt of No. 2	812	812
14	60-62	As identified in the comprehensive exhibit list		813
15	345	SACE/TECO composite	899	926
16	63	As identified in the comprehensive exhibit list		926
17	64-83	As identified in the comprehensive exhibit list		982
18	84-91	As identified in the comprehensive exhibit list		1022
19				
20				
21				
22				
23				
24				
25				

1 P R O C E E D I N G S

2 (Transcript follows in sequence from  
3 Volume 4.)

4 CHAIRMAN GRAHAM: All right: I got two  
5 o'clock on that clock back there, and I have three  
6 people at the diocese here, so I am ready to get  
7 started.

8 MR. COX: Chairman Graham, FPL asks to be  
9 heard for just a minute before we get started back,  
10 if that's okay.

11 CHAIRMAN GRAHAM: Okay.

12 MR. COX: So we were talking over lunch at  
13 FPL, and we have heard some common questions and  
14 themes from the Commissioners in terms of interest  
15 in NexGen initiatives for DSM in light of where we  
16 are with the goals and what the analyses are  
17 showing, and we would like an opportunity, if it  
18 was -- the Commission was inclined to grant it, to  
19 allow us to come back with a written proposal, you  
20 know, by the start of the hearing tomorrow morning  
21 basically outlining proposals that we would have  
22 for NexGen initiatives that would usher in sort of  
23 the next generation of demand-side management  
24 programs. And we would make our witnesses  
25 available. We would provide the information in

1 writing to all of the parties, again, by the start  
2 of the hearing tomorrow morning, or earlier if you  
3 would like us to, but we could safely do it by  
4 tomorrow morning, I think.

5 CHAIRMAN GRAHAM: I guess that question would  
6 go to my Commissioners that have been asking NexGen  
7 questions.

8 Commissioner Brown.

9 COMMISSIONER BROWN: That would be me who's  
10 asking the questions. It's an area of great  
11 interest. I would love to see what additional  
12 proposals -- proposal you have, and I would  
13 appreciate the parties' willingness to accept this  
14 as well so that we will all be given an opportunity  
15 to ask questions, review what is being proposed.  
16 But it is an area of great interest personally to  
17 me, so appreciate the offer.

18 MR. MARSHALL: SACE would, and LULAC, would  
19 certainly potentially -- I mean, I don't know  
20 what's being contemplated here, whether it's new  
21 testimony. So, I mean, without having seen this,  
22 we just want to reserve all of our rights to object  
23 depending on what this is.

24 CHAIRMAN GRAHAM: Trust me, you will have  
25 everything in world, because I have no idea what it

1 is.

2 MR. MARSHALL: Okay.

3 MR. BADDERS: Commissioner Graham --

4 CHAIRMAN GRAHAM: Yes.

5 MR. BADDERS: -- Chairman Graham, Russell  
6 Badders on behalf of Gulf Power.

7 We would also like to take the same  
8 opportunity. I think we can go back this afternoon  
9 and maybe put something together, put it in writing  
10 for the parties to have, and give them an  
11 opportunity to ask questions of our witness and,  
12 you know, of course take care of their due process  
13 rights. But we would like to be able to bring  
14 something to the Commission at least for your to  
15 consider.

16 CHAIRMAN GRAHAM: Mary Anne, what's your  
17 opinion on --

18 MS. HELTON: Mr. Chairman, you put me in a hot  
19 spot here, because you have got a commissioner  
20 sitting up there that obviously is very interested  
21 in this information.

22 I also am clueless with respect to what NexGen  
23 means as well with respect to this proceeding, this  
24 process. I think that Mr. Marshall is completely  
25 squared up with respect to reserving all rights to

1 take issue with anything that the IOUs might bring  
2 before you tomorrow. And maybe this is a  
3 conversation we need to be having in the morning  
4 when we -- when we see what it is that Gulf Power  
5 and Florida Power & Light plans to present.

6 My concern is that this is a long, one that  
7 starts really early, and we have a very detailed  
8 way that we go about it. There is a lot of  
9 planning that goes into it, and for the companies  
10 to come the second day of the hearing and offer  
11 this up and not have everyone have an opportunity  
12 to look at it, to think about it, to conduct  
13 discovery on it, I don't know if this is something  
14 that, on first look, someone can take it and  
15 intuitively know how to vet it before you.

16 So maybe -- maybe -- and I know time is of an  
17 issue, but maybe once Florida Power & Light and  
18 Gulf Power present it, if the parties can have an  
19 opportunity to look at it, to hold it in their  
20 hands and to see it for a period of time before we  
21 go forward and ask any questions about it, that  
22 might help some.

23 CHAIRMAN GRAHAM: I think we are pretty much  
24 of like mind. I don't fault the utilities because  
25 they are doing what they think is a good thing. I

1 don't fault Commissioner Brown for wanting the  
2 knowledge. My tendency is just to say no and not  
3 even open this door, but I think we should look at  
4 whatever you present tomorrow and make that  
5 determination then.

6 MR. COX: Thank you. We would appreciate  
7 that.

8 MR. BADDERS: As do we. Thank you.

9 MR. LAVIA: Chairman Graham, Jay Lavia on  
10 behalf of OUC.

11 I haven't talked to my client about this, but  
12 we would like to reserve the right to do it too, if  
13 there is something we can present to you and that  
14 would be helpful.

15 CHAIRMAN GRAHAM: Once again, and there may be  
16 a very good chance tomorrow we just say thank you,  
17 but let's talk about that another day.

18 MR. LAVIA: That's fine, but we want to have  
19 the opportunity.

20 CHAIRMAN GRAHAM: Okay.

21 MR. LAVIA: Thank you.

22 MR. PERKO: I guess I will just do a me-too,  
23 Mr. Chairman.

24 CHAIRMAN GRAHAM: Okay. SACE, you were  
25 questioning the witness.

1           MR. LEUBKEMANN: We were. But I would like to  
2 first report that we had a very productive  
3 conversation with our associates over at JEA.

4           CHAIRMAN GRAHAM: Another not bad guy, but you  
5 just got to ask him.

6           MR. LEUBKEMANN: Great guys.

7           We are going to stipulate to a few exhibits  
8 that we have --

9           CHAIRMAN GRAHAM: Let's do this. Let's do  
10 this. Let's go through and number them all, and  
11 then tell me the ones that were stipulated to so we  
12 don't have to do any of that stuff, but I would  
13 just like to number them for simplicity.

14          MR. LEUBKEMANN: Sure.

15          I have reordered the -- my pile based on the  
16 ones that are stipulated.

17          CHAIRMAN GRAHAM: Okay. We are with 336, and  
18 tell me what you want to label 336.

19          MR. LEUBKEMANN: 336 is going to be SACE POD  
20 14, utility program EE budgets, Bates 1 through 11,  
21 tab TPS program categories.

22                 (Whereupon, Exhibit No. 336 was marked for  
23 identification.)

24          CHAIRMAN GRAHAM: What's 337?

25          MR. LEUBKEMANN: 337 will be JEA's response to

1           SACE's third set of Interrogatories No. 74.

2                   (Whereupon, Exhibit No. 337 was marked for  
3 identification.)

4           CHAIRMAN GRAHAM: 338?

5           MR. LEUBKEMANN: JEA's response to staff first  
6 ROG 114 excerpt of Nos. 5 through 7.

7                   (Whereupon, Exhibit No. 338 was marked for  
8 identification.)

9           CHAIRMAN GRAHAM: Hold on. Hold on.

10          MR. LEUBKEMANN: I can repeat any of those.

11          CHAIRMAN GRAHAM: So 337 is JEA's response to  
12 staff's first ROG 1 through 14, is that correct?

13          MR. LEUBKEMANN: I believe that's --

14          CHAIRMAN GRAHAM: I am sorry, 338.

15          MR. LEUBKEMANN: Yes, Nos. 5 through 7.

16          CHAIRMAN GRAHAM: Yes.

17                 Okay. What's 339?

18          MR. LEUBKEMANN: Okay. And just to clarify,  
19 those last three are the ones we are stipulating  
20 to.

21          CHAIRMAN GRAHAM: Okay. We will come back to  
22 that.

23          MR. LEUBKEMANN: Okay.

24          CHAIRMAN GRAHAM: What's 339?

25

1           MR. LEUBKEMANN: 339 will be JEA's response to  
2           staff's 12th set of interrogatories, Nos. 88  
3           through 94, excerpt of 93.

4           (Whereupon, Exhibit No. 339 was marked for  
5           identification.)

6           CHAIRMAN GRAHAM: Okay.

7           MR. LEUBKEMANN: 340 will be excerpt number  
8           34, Attachment 2, Residential Admin Costs from  
9           JEA's response to staff's third set of  
10          interrogatories to JEA Nos. 25 through 52.

11          (Whereupon, Exhibit No. 340 was marked for  
12          identification.)

13          CHAIRMAN GRAHAM: That's 240.

14          341?

15          MR. LEUBKEMANN: 341 will be JEA response to  
16          SACE's fifth set of ROGs Nos. 98, 99, 100, 102,  
17          103, 104, 105, 106.

18          (Whereupon, Exhibit No. 341 was marked for  
19          identification.)

20          CHAIRMAN GRAHAM: And the last one, I take it,  
21          is 342?

22          MR. LEUBKEMANN: That is correct.

23          CHAIRMAN GRAHAM: Which is JEA's response to  
24          staff's sixth set of ROGs?

25          MR. LEUBKEMANN: Yes, Mr. Chairman.

1                   (Whereupon, Exhibit No. 342 was marked for  
2     identification.)

3                   CHAIRMAN GRAHAM:   And JEA is stipulating 336,  
4                   337 and 338, is that correct?

5                   MR. PERKO:   That's correct.

6                   CHAIRMAN GRAHAM:   Okay.

7                   (Whereupon, Exhibit Nos. 336-338 were received  
8     into evidence.)

9                   CHAIRMAN GRAHAM:   All right.   So I take it you  
10                   don't have anything else you need to add to either  
11                   one of those three?

12                   MR. LEUBKEMANN:   Not on those three.

13                   CHAIRMAN GRAHAM:   Okay.

14                   MR. LEUBKEMANN:   Thank you very much, Mr.  
15                   Chairman.

16                   CHAIRMAN GRAHAM:   Staff, did you get all  
17                   those?

18                   MS. WEISENFELD:   Yes, we did.   Thank you.

19                   CHAIRMAN GRAHAM:   Okay.   Proceed.

20                   MR. LEUBKEMANN:   Thank you.

21     Whereupon,

22   DONALD P. WUCKER

23     was recalled as a witness, having been previously duly  
24     sworn to speak the truth, the whole truth, and nothing  
25     but the truth, was examined and testified as follows:

1 EXAMINATION (continued)

2 BY MR. LEUBKEMANN:

3 Q Mr. Wucker, if I could direct your attention  
4 to staff ROG 34. I am sorry, that's Exhibit 340.

5 A 340. Okay, I think you can hear me now. And  
6 you said it was Exhibit 340?

7 Q Yes, that's right.

8 A Yes.

9 Q JEA received this document from Nexant as part  
10 of its study of energy efficiency potential for JEA?

11 A That's correct.

12 Q And this column marked Program Costs, I  
13 believe it's the far right column, represents the per  
14 unit administrative cost for each measure?

15 A That's correct.

16 Q Does JEA really contend that it would have  
17 spent 1,169 in administrative costs per solar pool  
18 heater as an administrative cost?

19 A Well, JEA has never administered solar pool  
20 heaters, so I really don't know what those program costs  
21 would be.

22 Q Does JEA really contend that it would have to  
23 spend \$1,478 in administrative costs for a 21 SEER air  
24 source heat pump from base electric resistance heating  
25 installed?

1           A       It would be the same answer. We have never  
2 administered that particular measure, so I don't know.

3           Q       **For the measure ceiling insulation R-12**  
4 **through R-38, there is a 166-dollar administrative cost**  
5 **per home.**

6           A       Where is that for the -- R-12 to R-38?

7           Q       **Yes.**

8           A       Right, I see that.

9           Q       **So JEA agrees that in addition to the costs of**  
10 **the materials, labor, incentives, it would cost JEA \$166**  
11 **per home to administer a program to install that R-38**  
12 **insulation in homes that currently have R-12 insulation?**

13          A       It very well may.

14          Q       **For the measure ceiling insulation R-2 through**  
15 **R-38, there are administrative costs ranging from \$385**  
16 **to \$640 per home.**

17          A       I see that.

18          Q       **In this case, JEA agrees that the program to**  
19 **administer R-38 insulation would cost either \$385, \$397**  
20 **or \$640 per homes that currently have R-2 insulation?**

21          A       Well, as was discussed earlier, these are  
22 values that Nexant derived. I don't -- I can't say that  
23 they would be that different, but they are equal to the  
24 energy saved. They have been distributed over, as I  
25 understand it, over the kilowatt hours saved.

1           **Q**     So would it be JEA's contention that one  
2     program to install R-38 insulation would not, in fact,  
3     cost four times as much to run as another to install the  
4     same insulation?

5           A     It may not.

6           **Q**     Thank you.

7           A     Can I add something to that response?

8           **Q**     Certainly.

9           A     So we do look at insulation, and sometimes we  
10    do have to qualify, especially in low income, and so  
11    time has to be spent to qualify which homes are most in  
12    need. So sometimes it does take more time to study  
13    that.

14                   And we also -- a lot of JEA's programs are  
15    outsourced through implementation contractors. So where  
16    some of the other utilities may implement these things  
17    on their own, we look to implementation contractors, not  
18    just to implement them, but to help us understand the  
19    market and the market barriers to administer these  
20    programs.

21           **Q**     Thank you for that clarification.

22           A     Thank you.

23           **Q**     If I could direct your attention to Exhibit  
24    **No. 341.**

25           A     Okay.

1           Q     And do you sponsor the answers to  
2     Interrogatories Nos. 98 through 105?

3           A     I believe that's correct. I really don't have  
4     my -- let's see here, 98 through 105? Yes, I have.  
5     Yes.

6           Q     In Interrogatory 98, you answer that JEA's  
7     load forecast makes no explicit assumptions as to the  
8     adoption of any energy efficiency measures above  
9     baseline code and standards?

10          A     Correct.

11          Q     And JEA's load forecast does assume that some  
12     people may adopt above code energy efficiency measures  
13     even in the absence of a utility-sponsored DSM program?

14          A     It's -- I believe it's inherent in the  
15     forecast, yes.

16          Q     So JEA does not contend that the load forecast  
17     it provided to Nexant assumed its customers would adopt  
18     zero additional energy efficiency measures above  
19     baseline codes and standards during the next 10 years?

20          A     Say that again. I am sorry.

21          Q     JEA does not contend that the load forecast it  
22     provided Nexant assumed its customers would adopt zero  
23     additional energy efficiency measures above baseline  
24     codes and standards during the next 10 years?

25          A     I believe that's correct.

1           **Q     And finally, JEA does contend that the load**  
2 **forecasts supplied to Nexant are accurate?**

3           A     We believe that they are as accurate as -- we  
4 strive to be as accurate as possible would our load  
5 forecast.  Yes.

6           **Q     If I could direct your attention to Exhibit**  
7 **342.**

8           A     I am there.

9           **Q     Okay.  And for response 58, you sponsored this**  
10 **interrogatory answer?**

11          A     Yes, I did.

12          **Q     This interrogatory asks about how JEA has**  
13 **evaluated the success of its programs despite not using**  
14 **any evaluation measurement and verification methods such**  
15 **as customer surveys and historical trends -- historic**  
16 **trends; is that right?**

17          A     I believe that's in regard to the payback  
18 period -- I am sorry, the -- let me reread this.  Give  
19 me one minute.

20                   I assume this is in regard to free-ridership.

21          **Q     I believe this is asking in general about the**  
22 **success of existing programs and how they have**  
23 **incorporated --**

24                   MR. PERKO:  I am sorry, could we restate the  
25 question?  I am not sure what question is pending

1 at this point.

2 MR. LEUBKEMANN: Sure, happy to do so.

3 BY MR. LEUBKEMANN:

4 Q This interrogatory is simply asking how JEA  
5 has evaluated the success of its existing programs  
6 despite not using any evaluation measurement and  
7 verification methods such as customer surveys and  
8 historic trends.

9 A Okay.

10 CHAIRMAN GRAHAM: Is that a statement or a  
11 question?

12 BY MR. LEUBKEMANN:

13 Q I'm asking if that is what the question is  
14 about, sorry.

15 A Yes, I believe it is. I mean, when I see the  
16 words spillover effects, I think free-ridership that, as  
17 I recall -- yes -- I mean, obviously, it says EMEV,  
18 so --

19 Q Okay. And you write is that ideally -- quote,  
20 ideally a thoughtful program design can manage the  
21 amount of free riders, however, it may also be  
22 restrictive and limit participation?

23 A Correct.

24 Q In your answer, you do not contest that JEA  
25 has not used EMEV research methods to evaluate its

1 **programs, including the efficacy of the two-year screen**  
2 **at estimating free-ridership?**

3 A Correct, we have not use.

4 **Q Okay. Thank you very much.**

5 A Can I add one thing to that response?

6 We have looked at other benchmarks and other  
7 studies, and it seems to me the best way to address it  
8 is proactively, like we mentioned in the program design,  
9 and the free-ridership seems to be the tried and true  
10 method. And from my experience, I met with customers  
11 that seem to understand the value of the quick payback,  
12 so --

13 **Q Thank you.**

14 **CHAIRMAN GRAHAM: Quick question for you.**

15 **339, was that one of the ones you agreed upon, or**  
16 **are you just not using that?**

17 MR. LEUBKEMANN: Yes, that's a good point.

18 339 is -- yes, we stipulating to 339 as well.

19 CHAIRMAN GRAHAM: Okay. I just want to make  
20 sure I had it correctly.

21 (Whereupon, Exhibit No. 339 were received into  
22 evidence.)

23 CHAIRMAN GRAHAM: The other thing is since --  
24 as far as I know, you haven't been before us  
25 before. Usually the way it works with witnesses,



1           Q     You should have a copy in the folder in front  
2 of you.

3           A     I am there.

4           Q     Got it. Okay, great.

5                     And just to confirm, is it true JEA used a  
6 two-year payback screening to account for free riders in  
7 this proceeding?

8           A     Yes, that is correct.

9           Q     Did JEA consider using any alternative method  
10 such as surveys or historical data to account for free  
11 riders?

12          A     No, we didn't.

13          Q     Okay. Did JEA considering using a shorter or  
14 longer payback period for its screening of free riders?

15          A     We looked at it in the sensitivities, but we  
16 used the two-year payback.

17          Q     And can you please explain why JEA believes  
18 the two-year payback screening is the best method to  
19 address free-ridership?

20          A     Well, it's been said many times, and I would  
21 agree with what's been said, is it's reasonable. A  
22 50 percent return is a very attractive return. I wish  
23 my retirement gave me that. And I think it's tried and  
24 true in Florida, so --

25          Q     Thank you so much.

1 MS. WEISENFELD: Staff has no more questions.

2 CHAIRMAN GRAHAM: Commissioners, any questions  
3 of the witness?

4 Redirect?

5 MR. PERKO: Thank you, Mr. Chairman, very  
6 briefly.

7 FURTHER EXAMINATION

8 BY MR. PERKO:

9 Q Just for the record, Mr. Wucker, you were  
10 asked a number of questions about Exhibit 340, excerpts  
11 from an attachment to Interrogatory No. 34 from staff.  
12 Do you recall those questions?

13 A Exhibit 340, you said?

14 Q 340.

15 A Give me one minute to get there.

16 Q It's Exhibit 340.

17 A Right. They are not sequential, so I am  
18 searching. I am sorry.

19 Yes, I am sorry. It was the second sheet. I  
20 was going from the back. Yes.

21 Q My friend from Earthjustice asked you a number  
22 of questions regarding the program costs for solar pool  
23 heater that's in the left-hands column at \$1,100 and  
24 69 -- \$1,169.51, do you recall that?

25 A Yes, I do.

1           Q     I just want to make sure the record is clear.  
2     Where did those numbers come from?

3           A     Those numbers came from Nexant based off their  
4     expertise.

5           Q     And do you know how they developed those  
6     numbers?

7           A     Yes. As Mr. Herndon has explained, they were  
8     distributed over energy. So they collected admin costs  
9     and used their best judgment and decided to distribute  
10    them evenly over measures based off of energy saved  
11    kilowatts.

12          Q     And you were asked some questions regarding  
13    the program costs for various ceiling insulation  
14    measures. Did those figures also come from Nexant?

15          A     Yes, they did.

16          Q     And was what is your understanding of how  
17    Nexant developed those costs?

18          A     Same method -- same methodology.

19          Q     Thank you.

20                   And finally, in response to staff, a question  
21    regarding why didn't you -- or did you consider use of  
22    customer survey data. Do you recall those questions?

23          A     Yes, I do.

24          Q     Why didn't you look at customer survey data?

25          A     Well, in the past, we have looked at other

1 means of free-ridership, and we've hired -- we've hired  
2 consultants to help us make decisions with program  
3 design, but -- and I think FPL stated it earlier. I  
4 think the survey data can be complex. It can be  
5 contentious, and it can be costly. So it didn't seem  
6 the best approach. It seemed to be -- a better way was  
7 to be proactive in the design of the programs, was to  
8 manage the free-ridership piece.

9 MR. PERKO: Thank you, Mr. Chairman. I have  
10 nothing further.

11 CHAIRMAN GRAHAM: Exhibits.

12 MR. PERKO: Yes. Mr. Chairman, I would move  
13 Exhibit Nos. 53 through 59 into the record at this  
14 time.

15 CHAIRMAN GRAHAM: If there is no objections,  
16 we will enter Exhibits 53 through 59 into the  
17 record.

18 (Whereupon, Exhibit Nos. 53-59 were received  
19 into evidence.)

20 CHAIRMAN GRAHAM: SACE?

21 MR. LEUBKEMANN: SACE would move to enter  
22 Exhibit 336 through 342 into the record.

23 CHAIRMAN GRAHAM: No objections?

24 MR. PERKO: No objection.

25 CHAIRMAN GRAHAM: We will enter 336 through

1 342 into the record.

2 (Whereupon, Exhibit Nos. 336-342 were received  
3 into evidence.)

4 CHAIRMAN GRAHAM: Staff.

5 MS. WEISENFELD: None, thank you.

6 CHAIRMAN GRAHAM: You guys are good?

7 MS. WEISENFELD: Yes, we are good.

8 CHAIRMAN GRAHAM: Okay. Next witness.

9 Thank you, sir.

10 THE WITNESS: Thank you.

11 CHAIRMAN GRAHAM: Just FYI, Commissioner Clark  
12 had a family emergency during lunch and he is gone,  
13 and we do not expect him back today, but hopefully  
14 we will see him tomorrow morning.

15 Did Mr. Kushner leave?

16 MR. PERKO: I am sorry, Your Honor -- Mr.  
17 Chairman. I believe we reached an agreement, at  
18 least with SACE regarding Mr. Kushner, but I would  
19 call him to the stand at this time, I guess.

20 CHAIRMAN GRAHAM: Okay. I always like it when  
21 you guys come together and sing Kumbaya.

22 Whereupon,

23 BRADLEY E. KUSHNER

24 was called as a witness, having been first duly sworn to  
25 speak the truth, the whole truth, and nothing but the

1 truth, was examined and testified as follows:

2 MR. PERKO: I apologize, Mr. Chairman.

3 EXAMINATION

4 BY MR. PERKO:

5 Q Mr. Kushner, were you sworn at the beginning  
6 of this hearing yesterday?

7 A Yes, I was.

8 Q Could you please state your name and business  
9 address?

10 A Yes, Bradley Kushner, 2465 Southern Hills  
11 Court, Oviedo, Florida, 32765.

12 Q And are you the same Bradley Kushner who just  
13 testified earlier this afternoon?

14 A I am.

15 Q And have you caused to be filed prefiled  
16 direct testimony consisting of six pages in Docket No.  
17 20190020?

18 A Yes.

19 Q Do you have any changes or corrections to that  
20 testimony?

21 A No.

22 Q If I were to ask you the same questions today,  
23 would your answers be the same?

24 A They would be.

25 MR. PERKO: At this time, Mr. Chairman, I

1           would ask that the prefiled direct testimony of  
2           Mr. Kushner be inserted into the record as though  
3           read.

4                   CHAIRMAN GRAHAM: We will insert Mr. Kushner's  
5           prefiled direct testimony into the record as though  
6           read.

7                   (Whereupon, prefiled testimony was inserted.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1                                   BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

2                                   DIRECT TESTIMONY OF BRADLEY E. KUSHNER

3                                   ON BEHALF OF

4                                   JEA

5                                   DOCKET NO. 20190020-EG

6                                   APRIL 12, 2019

7

8   **Q.    Please state your name and business address.**

9    A.    My name is Bradley E. Kushner. My business address is 2465 Southern Hills Ct.,  
10       Oviedo, Florida 32765.

11

12   **Q.    By whom are you employed and in what capacity?**

13    A.    I am employed by nFront Consulting LLC as an Executive Consultant.

14

15   **Q.    What are your responsibilities in that position?**

16    A.    My responsibilities include project management and project support for various projects  
17       for electric utility clients. These projects include integrated resource plans, power supply  
18       studies, power supply requests for proposals, demand-side management/conservation  
19       reports, and other regulatory filings.

20

21   **Q.    Please describe nFront Consulting LLC.**

22    A.    nFront Consulting is organized into two service practices – Energy and Transmission &  
23       Delivery. nFront Consulting’s Energy Practice provides advisory services to support and  
24       optimize the assets, programs, systems, and business operations of our electric industry  
25       clients nFront Consulting assists in the areas of planning, implementing, and managing

1 resources, portfolios, and individual business unit operations. nFront Consulting interacts  
2 on behalf of our clients with regulatory, political, and environmental agencies; the  
3 financial community; and other professional service providers on national, state, and  
4 local levels to complete large-scale transactions, projects, or programs.

5

6 nFront Consulting's Transmission and Delivery Services Practice provides independent  
7 transmission consulting, analyses and advisory services to support project financing,  
8 acquisitions, development, transmission risk, curtailment and congestion assessments,  
9 transmission planning, resource integration, and open access, expert witness and  
10 regulatory services.

11

12 **Q. Please state your educational background and professional experience.**

13 A. I received my Bachelors of Science in Mechanical Engineering from the University of  
14 Missouri-Columbia in 2000 and my Masters of Business Administration from Emporia  
15 State University in 2013. I have nearly 20 years of experience in the engineering and  
16 consulting industry. I have experience in the development of integrated resource plans,  
17 ten-year-site plans, DSM plans, and other capacity planning studies for clients throughout  
18 the United States. Utilities in Florida for which I have worked include JEA, Florida  
19 Municipal Power Agency, Kissimmee Utility Authority, OUC, Lakeland Electric,  
20 Gainesville Regional Utilities (GRU), Reedy Creek Improvement District, Tampa  
21 Electric Company, and the City of Tallahassee. I have performed production cost  
22 modeling and economic analysis, and otherwise participated in six Need for Power  
23 Applications that have been filed on behalf of Florida utilities and approved by the  
24 Florida Public Service Commission (FPSC). I have also testified before the FPSC in  
25 Need for Power and Conservation Goal proceedings.

1 **Q. What is the purpose of your testimony in this proceeding?**

2 A. The purpose of my testimony in this proceeding is to discuss the methodology used to  
3 develop the avoided capacity costs that were provided to Nexant for use in their analyses  
4 of DSM measures for JEA. I will also discuss JEA's fuel forecasts used in the production  
5 cost modeling that formed the basis for the avoided energy costs provided to Nexant.

6

7 **Q. Are you sponsoring any exhibits to your testimony?**

8 A. Yes. Exhibit No. \_\_ [BEK-1] is a copy of my resume. Exhibit No. \_\_\_ [BEK-2]  
9 summarizes the avoided unit costs. Exhibit No. \_\_ [BEK-3] summarizes JEA's fuel price  
10 forecast.

11

12 **Q. How was the timing of avoidable capacity additions determined?**

13 A. Based on JEA's current load forecast over the next 20 years and its existing and planned  
14 future generating resources, JEA is anticipated to require additional capacity to maintain  
15 a 15 percent reserve margin over the 2020 through 2022 period, and again beginning in  
16 2029. Given the timing and magnitude of the anticipated capacity requirements for the  
17 2020 through 2022 period, it has been assumed that JEA would purchase capacity to  
18 maintain its reserve margin requirements. For the anticipated capacity requirements  
19 beginning in 2029, it has been assumed that JEA would install a new simple cycle F-class  
20 combustion turbine at the existing Greenland Energy Center (GEC). Following  
21 installation of the new simple cycle unit in 2029, additional capacity is projected to be  
22 required in 2039 to maintain reserve margin requirements, at which time a second new  
23 simple cycle F-class combustion turbine is assumed to be installed at GEC. JEA has  
24 made no commitments to any of these short-term purchases or simple cycle unit  
25 additions, and for purposes of this docket, each of these is considered avoidable capacity.

1 **Q. How were capital costs for these additions calculated?**

2 A. Capital costs for the 2020 through 2022 purchases were treated as demand costs  
3 associated with a power purchase agreement (PPA), and were based on short-term market  
4 alternatives available to JEA.

5

6 Capital costs for the new simple cycle F-class combustion turbines were based on  
7 estimates used by JEA for resource planning activities. Capital costs were escalated to  
8 the year the new units are assumed to be in-service (*i.e.*, 2029 and 2039) using a 2.0  
9 percent annual escalation rate, and include costs for interest during construction to  
10 determine an estimated in-service year installed cost. Resulting installed costs were  
11 multiplied by a fixed charge rate to determine a levelized installed capital cost, which  
12 was divided by the output of the combustion turbine to develop a levelized installed  
13 capital cost per kW.

14

15 **Q. How were fixed operating and maintenance (O&M) costs for these additions  
16 calculated?**

17 A. Fixed O&M costs for the 2020 through 2022 purchases were included in the demand  
18 costs for the PPA discussed previously.

19

20 Fixed O&M costs for the new simple cycle F-class combustion turbines were based on  
21 estimates used by JEA for resource planning activities. The fixed O&M cost estimates,  
22 in \$/kW-yr., were escalated to nominal dollars at a 2.0 percent escalation rate.

23 In addition to the fixed O&M costs, a natural gas pipeline usage charge of \$0.28/MMBtu  
24 was included for the new simple cycle F-class combustion turbines to reflect costs for

1 utilizing the existing natural gas lateral at GEC. This cost was converted to a fixed cost  
2 per kW-yr based on an assumed 5 percent capacity factor.

3

4 **Q. Please discuss how the total avoided costs per kW were calculated.**

5 A. Total avoided costs per kW were calculated by adding the avoided capital costs (or  
6 demand charges in the case of the PPA discussed previously) to the avoided fixed O&M  
7 costs and the natural gas pipeline usage charge. The resulting annual avoided costs per  
8 kW were determined by dividing by the total kW installed in each year. This approach  
9 was used in order to capture the difference in installed costs for the simple cycle  
10 combustion turbine added in 2039 as compared to the simple cycle added in 2029 due to  
11 escalation of the capital costs to in-service year dollars. The avoided costs per kW are  
12 presented in Exhibit No. \_\_\_ [BEK-2].

13

14 **Q. Please discuss the base case fuel forecast.**

15 A. Exhibit No. \_\_\_ [BEK-3] provides a summary of JEA's fuel price projections for natural  
16 gas, coal (including a blend of coal/natural gas/petroleum coke for JEA's Northside solid  
17 fuel units), and diesel fuel. These projections were developed utilizing information  
18 obtained from sources routinely utilized in the utility industry, including the New York  
19 Mercantile Exchange (NYMEX) and the U.S. Energy Information Administration.

20

21 **Q. Did JEA consider high and low fuel price sensitivities?**

22 A. Yes. In addition to the base case fuel price forecasts, JEA considered high and low fuel  
23 price sensitivities. The high and low fuel price projections provide a band of plus/minus  
24 25 percent around the base case fuel price projections. This high and low band is

1 consistent with what JEA used in the previous FEECA goal-setting process. *See* Docket  
2 No. 130203-EM, Direct Testimony of Vento and Wucker, p. 10, l. 5-8 (Apr. 2, 2014).

3

4 **Q. How were energy costs for each of the cases previously identified in your testimony**  
5 **developed?**

6 A. Under my direction and supervision, JEA utilized ProSym, an industry accepted  
7 production cost model, to perform production cost modeling of its electric generating  
8 system, taking into account existing and planned future generating resources, the avoided  
9 units, its load forecast, and the base fuel price projections discussed previously in my  
10 testimony.

11

12 The resulting energy costs were taken from the ProSym output and include fuel as well as  
13 non-fuel variable O&M costs associated with dispatch of JEA's resources to meet  
14 forecast system demand requirements. The ProSym output was provided to Nexant for  
15 use in the economic analysis.

16

17 **Q. Were energy costs developed for each of the fuel price cases discussed previously in**  
18 **your testimony?**

19 A. Yes. The energy costs developed using the base case fuel price projections were  
20 increased by 25 percent for the high fuel price sensitivity and decreased by 25 percent for  
21 the low fuel price sensitivity.

22

23 **Q. Does this conclude your testimony?**

24 A. Yes it does.

25

26

1 BY MR. PERKO:

2 Q And Mr. Kushner, are you also sponsoring  
3 exhibits preliminarily labeled BEK-1 through 3 --

4 A Yes.

5 Q -- attached to your testimony?

6 A Yes. I am sorry.

7 Q Do you have any --

8 MR. PERKO: And for the record, Mr. Chairman,  
9 those are marked as Exhibits 60 through 61, I  
10 believe.

11 CHAIRMAN GRAHAM: Duly noted.

12 BY MR. PERKO:

13 Q Do you have any changes or corrections to  
14 those exhibits, Mr. Kushner?

15 A No.

16 Q Have you prepared a summary of your testimony?

17 A Yes, I have.

18 Q And would you please present that to the  
19 Commission at this time?

20 A My name is Bradley Kushner. I am an executive  
21 consultant with nFront Consulting LLC, and I am  
22 testifying on behalf of JEA.

23 My testimony addresses the avoided costs and  
24 fuel and energy -- fuel price and energy cost  
25 projections reflected in JEA's cost-effectiveness

1 evaluations performed by Nexant as part of this docket.  
2 The JEA anticipates requiring additional capacity over  
3 the 2020 through 2022 period and again beginning in 2029  
4 for the anticipated capacity requirements from 2020  
5 through 2022, it has been assumed that JEA will purchase  
6 capacity. For subsequent capacity requirements, it has  
7 been assumed that JEA would install new simple cycle  
8 F-Class combustion turbines at the existing Greenland  
9 Energy Center site.

10 JEA has made no commitment to any of the  
11 short-term purchases or simple cycle unit additions, but  
12 for purposes of the cost-effectiveness evaluations in  
13 this docket, these capacity resources are being  
14 considered JEA's avoided units. The capital costs and  
15 fixed operating and maintenance costs for the avoided  
16 units were provided to and used by Nexant in its  
17 cost-effectiveness evaluations.

18 The overall approach to develop energy costs  
19 used in this docket is appropriate as JEA has relied on  
20 industry accepted production cost model and reputable  
21 and recognized industry sources for fuel price  
22 projections.

23 JEA used a combination of New York Mercantile  
24 Exchange, or NYMEX, futures prices for natural gas as  
25 well as information included in the U.S. Energy

1 Information Administration's annual energy outlook, or  
2 AEO.

3 JEA's projected coal prices are based on NYMEX  
4 futures prices, historical transportation costs and AEO  
5 projections. JEA's petroleum coke price projections are  
6 based on historical ratios of petroleum coke prices to  
7 coal prices.

8 Under my supervision and direction, JEA's  
9 energy costs were using -- were developed using the pros  
10 and production cost model. JEA developed sensitivity  
11 cases that reflect energy costs that are 25 percent  
12 higher and 25 percent lower than those associated with  
13 the base case fuel price projections. And Nexant  
14 performed sensitivity analyses using these  
15 sensitivities.

16 Thank you.

17 **Q Does that complete your summary, Mr. Kushner?**

18 **A** Yes.

19 MR. PERKO: At this time, Mr. Chairman, I  
20 would tender the witness for cross-examination.

21 CHAIRMAN GRAHAM: Okay. OPC.

22 MS. FALL-FRY: No questions.

23 MS. WYNN: No questions.

24 EXAMINATION

25 BY MS. CORBARI:

1           Q     Good morning, Mr. Kushner. I just have  
2 hopefully a quick -- quick question.

3                     Although the Commission does not set rates for  
4 municipal utilities such as JEA and OUC, municipals are  
5 required to go to the Commission for an affirmative need  
6 determination for any expansion in steam electrical  
7 generation or solar generation of 75 megawatts or less;  
8 is that your understanding?

9           A     Yes.

10          Q     And you have testified in need determinations  
11 before the Commission?

12          A     I have.

13          Q     In a need determination proceeding, do you  
14 know if one factor the Commission considers is whether  
15 demand-side management would avoid the need for the  
16 additional generation?

17          A     I think that's one factor. I think it could  
18 mitigate or delay the need for the proposed unit, yes.

19          Q     Could zero DSM goals speed up the time period  
20 for a utility to add generation?

21          A     I don't know that zero DSM goals would  
22 specific to JEA and OUC. The timing of that need would  
23 be based on DSM accomplishments in part, and other  
24 considerations, but not directly associated with DSM  
25 goals.

1           **Q     Thank you.**

2           **A     You are welcome.**

3                   CHAIRMAN GRAHAM:    SACE?

4                   MR. LEUBKEMANN:   After conferring with my pal,  
5           Mr. Perko, we are going to forego our cross of  
6           Mr. Kushner and, instead, stipulate into the record  
7           two exhibits on the weighted average cost of  
8           capital and future gas price errors.

9                   CHAIRMAN GRAHAM:   You are going to have to  
10          give me the description.

11                  MR. LEUBKEMANN:   Yes.   The first is JEA  
12          response to SACE first set of ROGs Nos. 1 through  
13          65, excerpt of No. 12.

14                  CHAIRMAN GRAHAM:   We'll call that 343.

15                   (Whereupon, Exhibit No. 343 was marked for  
16          identification.)

17                  MR. LEUBKEMANN:   And for 344, we have JEA  
18          response to staff's first set of ROGs, excerpt No.  
19          2.

20                   (Whereupon, Exhibit No. 344 was marked for  
21          identification.)

22                  CHAIRMAN GRAHAM:   And JEA stipulates those  
23          two?

24                  MR. PERKO:   That's correct, Mr. Chairman.

25                   (Whereupon, Exhibit Nos. 343 & 344 were

1 received in evidence.)

2 CHAIRMAN GRAHAM: Okay. Did you have any  
3 other questions of this witness?

4 MR. LEUBKEMANN: No, I do not.

5 CHAIRMAN GRAHAM: Staff?

6 MS. WEISENFELD: Staff has no questions.

7 CHAIRMAN GRAHAM: Commissioners?

8 Redirect.

9 MR. PERKO: No redirect.

10 CHAIRMAN GRAHAM: Exhibits?

11 MR. PERKO: Yes, Mr. Chairman, I believe I  
12 misspoke earlier. We would move Mr. Kushner's  
13 Exhibits No. 60 through 62 into the record at this  
14 time.

15 CHAIRMAN GRAHAM: If there is no objections,  
16 we will move Exhibits 60, 61, 62 into the record.

17 (Whereupon, Exhibit Nos. 60-62 were received  
18 in evidence.)

19 CHAIRMAN GRAHAM: SACE, we will -- I think we  
20 have already entered yours, 343 and 344 into the  
21 record.

22 MR. LEUBKEMANN: Yes. Thank you.

23 CHAIRMAN GRAHAM: Did I hear something? Okay.

24 I think we are done with this witness.

25 Thank you, sir.

1 THE WITNESS: Thank you.

2 (Witness excused.)

3 CHAIRMAN GRAHAM: TECO.

4 MR. MEANS: Good afternoon, Commissioners. My  
5 name is Malcolm Means, and I am with the Ausley  
6 McMullen law firm here in Tallahassee, representing  
7 Tampa Electric, and we call Mark Roche.

8 CHAIRMAN GRAHAM: SACE, do you have the same  
9 scenario going on with the TECO witness?

10 MR. MARSHALL: There might be a couple of  
11 exhibits we could stipulate to, but we haven't had  
12 a chance to confer.

13 CHAIRMAN GRAHAM: Let's take a 10-minute break  
14 until a quarter till. I will let the two of you  
15 guys go over that stack.

16 MR. MARSHALL: Okay.

17 CHAIRMAN GRAHAM: So we will be back here at a  
18 quarter to 3:00.

19 (Brief recess.)

20 CHAIRMAN GRAHAM: Okay. TECO, your witness.

21 MR. MEANS: Mr. Chairman, just to follow up,  
22 we had a brief discussion during the break, and we  
23 are willing to stipulate that these documents are  
24 what they purport to be, and we would have no  
25 objection to their authenticity or admissibility.



1 addresses, please?

2 A Yes. It's 702 North Franklin Street, Tampa,  
3 Florida, 33602.

4 Q And did you prepare and cause to be filed in  
5 Docket No. 20190021-EG on April 12th, 2019, prepared  
6 direct testimony consisting of 77 pages?

7 A Yes, I did.

8 Q And did you also cause to be filed errata to  
9 that testimony on August 5th, 2019?

10 A Yes, I did.

11 Q Other than the changes in the errata, do you  
12 have any other changes to your testimony?

13 A No, I don't.

14 Q With those changes, if I were to ask you the  
15 questions contained in your filed direct testimony  
16 today, would your answers be the same?

17 A Yes, they would.

18 MR. MEANS: Mr. Chairman, we ask that the  
19 prepared direct testimony of Mr. Mark Roche with  
20 the described corrections be inserted into the  
21 record as though read.

22 CHAIRMAN GRAHAM: We will insert Mr. Roche's  
23 direct testimony into the record with the  
24 corrections as though read.

25 (Whereupon, prefiled testimony was inserted.)

Winter – Economic Potential (RIM Portfolio)	
<u>Original filed April 12, 2019</u>	<u>Modified due to Summation Error</u>
3,256 MW	3,754 MW

Winter – Economic Potential (TRC Portfolio)	
<u>Original filed April 12, 2019</u>	<u>Modified due to Summation Error</u>
2,488 MW	2,986 MW

Winter – Post Free-ridership Economic Potential (RIM Portfolio)	
<u>Original filed April 12, 2019</u>	<u>Modified due to Summation Error</u>
2,409 MW	2,907 MW

Winter – Post Free-ridership Economic Potential (TRC Portfolio)	
<u>Original filed April 12, 2019</u>	<u>Modified due to Summation Error</u>
2,326 MW	2,824 MW

Again, the above corrections have no effect on the company’s Achievable Potential or proposed Demand Side Management goals.

Attached herewith for filing in this docket are revised Bates stamp (“Bates”) pages from Tampa Electric’s testimony and exhibits in this proceeding which reflect the changes indicated to correct the effects of the incorrect summation. We would appreciate your circulating the following revised Bates pages to the recipients of the April 12 filing so that they may be substituted in place of the originals:

<b>Bates</b>		
<b>Page#</b>	<b>Line #</b>	<b>Change</b>
40	19	2,318 to 2,816
45	3	3,256 to 3,754
45	9	2,488 to 2,986
51	17	2,409 to 2,907
52	12	2,326 to 2,824
92	Table 1-2	673 to 1,171
92	Table 1-2	2,318 to 2,816
126	Table 5-2	673 to 1,171
126	Table 5-2	2,318 to 2,816

1     **INTRODUCTION:**

2

3     **Q.**    Please state your name, address, occupation and employer.

4

5     **A.**    My name is Mark R. Roche.    My business address is 702  
6            North Franklin Street, Tampa, Florida 33602.    I am  
7            employed by Tampa Electric Company ("Tampa Electric" or  
8            "the company") as Manager, Regulatory Rates in the  
9            Regulatory Affairs Department.

10

11    **Q.**    Please provide a brief outline of your educational  
12            background and business experience.

13

14    **A.**    I graduated from Thomas Edison State College in 1994 with  
15            a Bachelor of Science degree in Nuclear Engineering  
16            Technology and from Colorado State University in 2009  
17            with a Master's degree in Business Administration.    My  
18            work experience includes twelve years with the US Navy in  
19            nuclear operations as well as twenty-one years of  
20            electric and gas utility experience.    My utility work has  
21            included various positions in Marketing and Sales,  
22            Customer Service, Distributed Resources, Load Management,  
23            Power Quality, Distribution Control Center Operations,  
24            Meter Department, Meter Field Operations, Service  
25            Delivery, Revenue Assurance, Commercial and Industrial

1 Energy Management Services, and Electric and Gas Demand  
2 Side Management ("DSM") Planning and Forecasting. In my  
3 current position, I am responsible for Tampa Electric's  
4 Energy Conservation Cost Recovery ("ECCR") Clause and  
5 Storm Hardening, and Peoples Gas System's Natural Gas  
6 Conservation Cost Recovery ("NGCCR") Clause.

7  
8 **Q.** What is the purpose of your testimony in this proceeding?

9  
10 **A.** The purpose of my testimony is to present, for Commission  
11 review and approval, Tampa Electric's proposed numerical  
12 DSM goals for 2020-2029. Tampa Electric's proposed goals  
13 are based upon the analytical work performed by the  
14 company and Nexant. Nexant is a consulting and analysis  
15 services firm with an exclusive focus on energy in  
16 providing support to clients in the areas of demand  
17 management, demand response, grid management and  
18 renewables as well as offering a comprehensive suite of  
19 software designed to support these areas. Nexant has  
20 over 18 years of experience in the field of DSM  
21 evaluations and was chosen through a rigorous request for  
22 proposal vetting process. The goals are separated into  
23 summer demand, winter demand and annual energy components  
24 for both the residential and commercial/industrial  
25 sectors. In support of the proposed DSM goals, my

1 testimony will demonstrate that the process Tampa  
2 Electric utilized to establish its reasonably achievable,  
3 cost-effective goals complies with the requirements of  
4 Rule 25-17.0021, Florida Administrative Code ("F.A.C.").

5  
6 In addition, my testimony complies with the requirements  
7 asked of the Florida Energy Efficiency and Conservation  
8 Act ("FEECA") utilities by Commission Staff on June 20,  
9 2018 and the Order Establishing Procedure within this  
10 proceeding by addressing the following components within  
11 my testimony:

- 12 • Provide the process used by Tampa Electric to  
13 develop the DSM Technical, Economic and  
14 Achievable Potentials.
- 15 • Provide the complete measure list that was  
16 evaluated and identify measures that were  
17 eliminated or added as compared to the 2013  
18 technical potential study.
- 19 • Provide the number of measures that were  
20 screened out during free-ridership  
21 consideration and the list of measures that  
22 remained cost-effective at the achievable  
23 potential.
- 24 • Provide the impact from energy efficiency that  
25 is occurring in Tampa Electric's service area

- 1                   stemming from Energy Efficiency and Appliance  
2                   Standards.
- 3                   • Provide the economic and achievable potential  
4                   for residential and commercial/industrial  
5                   winter and summer demand and annual energy  
6                   savings for a Base Case that includes the  
7                   effects of free-ridership but does not include  
8                   costs associated with carbon dioxide emissions,  
9                   for both a Rate Impact Measure ("RIM") test-  
10                  based evaluation and a Total Resource Cost  
11                  ("TRC") test-based evaluation.
  - 12                 • Provide an estimate of the average residential  
13                 customer bill impact for each evaluation.
  - 14                 • Provide a detailed description of how the Base  
15                 Case was developed, including forecasts for  
16                 generation resources, customer winter and  
17                 summer demand and annual energy for load, and  
18                 fuel prices.
  - 19                 • Provide the economic potential for residential  
20                 and commercial/industrial winter and summer  
21                 demand and annual energy savings for the  
22                 following sensitivities, for both a RIM and TRC  
23                 based evaluation:
    - 24                         o Higher fuel prices;
    - 25                         o Lower fuel prices;

- 1                   o Shorter free-ridership exclusion periods  
2                   and;  
3                   o longer free-ridership exclusion periods.
- 4           • Provide a detailed description of how the  
5           sensitivities were developed and compare them  
6           to the Base Case, including forecasts for fuel  
7           prices.
  - 8           • Provide a discussion of how supply-side  
9           efficiencies are incorporated in the utility's  
10          planning process and how supply-side  
11          efficiencies impact demand-side management  
12          programs.
  - 13          • Provide a discussion of how the utility's  
14          proposed goals encourage the development of  
15          demand-side renewable energy systems.
  - 16          • Provide a discussion of the utility's current  
17          demand-side management programs that includes  
18          historical participation rates, cumulative  
19          kilowatt ("kW") and kilowatt hour ("kWh")  
20          savings, measures included in each program, and  
21          program impacts related to building code and  
22          appliance efficiency standards.
  - 23          • Provide an explanation of how free-ridership  
24          was addressed in the development of the goals  
25          and include any analysis performed.

- 1                   • Provide explanations of what were the primary  
2                   drivers that significantly influenced the  
3                   achievable potential's results.  
4                   • Provide an explanation for potential fuel cost  
5                   changes and include any analysis performed.  
6

7     **Q.** Have you prepared any exhibits in support of your  
8     testimony?  
9

10    **A.** Yes. I have prepared an exhibit entitled, "Exhibit of  
11    Mark R. Roche." It consists of 17 documents and has been  
12    identified as Exhibit No. MRR-1, which contains the  
13    following documents:

- 14                   • Document No. 1 contains Tampa Electric's proposed  
15                   DSM goals at the generator for 2020-2029.  
16                   • Document No. 2 provides the overall process used to  
17                   develop the company's proposed DSM goals for 2020-  
18                   2029.  
19                   • Document No. 3 provides the process used to develop  
20                   the Technical Potential and the Market Potential  
21                   Study of Demand Side Management in Tampa Electric  
22                   Company's Service Territory Report.  
23                   • Document No. 4 provides the comprehensive DSM  
24                   measure list utilized in this proceeding.  
25                   • Document No. 5 provides the DSM measures that were

1           either added or removed to the 2018 comprehensive  
2           measures list as compared to the 2013 technical  
3           potential study.

4           • Document No. 6 provides Tampa Electric's DSM  
5           Technical Potential for Energy Efficiency, Demand  
6           Response and Distributed Energy Resources.

7           • Document No. 7 provides the process used to develop  
8           the Economic Potential.

9           • Document No. 8 contains Tampa Electric's avoided  
10          unit cost data used for cost-effectiveness  
11          evaluations.

12          • Document No. 9 contains all the assumptions used for  
13          the performance of cost-effectiveness.

14          • Document No. 10 provides Tampa Electric's 2020-2029  
15          DSM Economic Potential for the RIM and TRC cost-  
16          effectiveness tests.

17          • Document No. 11 provides the DSM Economic Potential  
18          cost-effectiveness sensitivity analyses.

19          • Document No. 12 provides the process used to develop  
20          the Achievable Potential.

21          • Document No. 13 provides the 2020-2029 estimated  
22          annual DSM Achievable Potential for the RIM and TRC  
23          cost-effectiveness tests.

24          • Document No. 14 provides the list of DSM measures  
25          that make up the RIM and TRC DSM Achievable

1 Potentials.

2 • Document No. 15 provides a summary of the overall  
3 potentials.

4 • Document No. 16 provides the projected residential  
5 annual bill impacts for the RIM and TRC 2020-2029  
6 DSM portfolios.

7 • Document No. 17 provides Tampa Electric's current  
8 DSM programs and achievements.

9

10 **Q.** Is Nexant providing direct testimony?

11

12 **A.** Yes, Jim Herndon, Nexant's Vice President, Strategy and  
13 Planning, will be filing direct testimony that will  
14 support the goals Tampa Electric is proposing for the  
15 2020-2029 DSM goals period.

16

17 **TAMPA ELECTRIC'S PROPOSED DSM GOALS:**

18

19 **Q.** What are Tampa Electric's cumulative DSM goals that are  
20 appropriate and reasonably achievable for the period  
21 2020-2029?

22

23 **A.** The appropriate and reasonable cumulative DSM goals at  
24 the generator for Tampa Electric for the period 2020-2029  
25 are as follows:

1	Residential	
2	Summer Demand:	54.0 MW
3	Winter Demand:	25.5 MW
4	Annual Energy:	103.6 GWh
5	Commercial/Industrial	
6	Summer Demand:	25.8 MW
7	Winter Demand:	17.8 MW
8	Annual Energy:	61.4 GWh
9	Combined	
10	Summer Demand:	79.7 MW
11	Winter Demand:	43.3 MW
12	Annual Energy:	165.0 GWh

- 13
- 14 **Q.** What cost-effectiveness methodology did Tampa Electric  
15 utilize to derive these proposed DSM goals?  
16
- 17 **A.** The cost-effectiveness methodology that Tampa Electric  
18 utilized for these proposed goals is the RIM test in  
19 conjunction with the Participant Cost Test ("PCT"). The  
20 RIM test, when used in tandem with the PCT, provides a  
21 cost-effective, fair, reasonable and equitable  
22 determination of DSM expenditures for both the DSM  
23 program participants and non-participants. The RIM test  
24 puts the least amount of upward pressure on rates while  
25 allowing for significant accomplishments of DSM measure

1 deployment. Furthermore, the RIM test does not promote  
2 cross-subsidization among participants and non-  
3 participants. Finally, history indicates that this  
4 Commission's longstanding decisions in the past to  
5 approve a utility's DSM goals based on the RIM test have  
6 not hindered the DSM performance of the Florida utilities  
7 relative to other utilities in the industry. Based on  
8 these results and the fairness of the methodology, Tampa  
9 Electric believes its DSM goals for the 2020-2029 period  
10 should be established on the RIM test basis.

11  
12 **Q.** What is the annual portion of these proposed goals for  
13 each segment on an annual basis for the upcoming period  
14 of 2020-2029?

15  
16 **A.** The annual portion for these proposed goals for each  
17 segment (Residential, Commercial/Industrial and Combined)  
18 for the upcoming period of 2020-2029 are included in my  
19 Exhibit No. MRR-1, Document No. 1 which details the  
20 incremental annual and cumulative amounts that comprise  
21 these goals.

22  
23 **Q.** How do Tampa Electric's proposed DSM goals for the  
24 upcoming period of 2020-2029 compare to the company's  
25 proposed DSM goals for the 2015-2024 period?

1 **A.** Tampa Electric's proposed cumulative DSM goals for the  
 2 upcoming period of 2020-2029 as compared to the company's  
 3 proposed DSM goals for the 2015-2024 period show a slight  
 4 decrease in overall demand reduction and an increase in  
 5 the annual energy ("AE"). Here is the comparison of the  
 6 proposed cumulative combined DSM goals for the upcoming  
 7 period of 2020-2029 as compared to the company's proposed  
 8 DSM goals for the 2015-2024 period proposed goals at the  
 9 generator:

	<u>2020-2029</u>	<u>2015-2024</u>
12 Summer Demand:	79.7 MW	56.3 MW
13 Winter Demand:	43.3 MW	78.3 MW
14 Annual Energy:	165.0 GWh	144.3 GWh

15  
 16 **Q.** What are the major drivers that established Tampa  
 17 Electric's overall proposed 2020-2029 DSM goals for  
 18 demand to be at a slightly lower level than what the  
 19 company proposed during the last DSM goals setting  
 20 process?

21  
 22 **A.** There are several factors that influenced the slight  
 23 overall reduction in the company's current proposed DSM  
 24 goals for demand from those proposed five years ago.  
 25 These factors include:

- 1           • In addition to the continued decline of average  
2           electricity usage per customer, the overall annual  
3           customer growth for the company's service area is  
4           projected to slightly decrease, thereby deferring  
5           the in-service date of the next generating unit in  
6           the company's expansion plan used for DSM  
7           evaluations.
- 8           • The base year avoided and fixed O&M costs for Tampa  
9           Electric's next avoided unit has decreased.
- 10          • The avoided generating unit fuel cost has decreased  
11          with a lower fuel escalation rate.
- 12          • Florida building codes have become more stringent  
13          from previous levels, thus placing more downward  
14          pressure on customer usage.
- 15          • Various Federal energy efficiency and appliance  
16          standards have been enacted affecting several  
17          baseline measures used for the evaluation of  
18          potential DSM measures.

19

20 **Q.** What is Tampa Electric's average electricity usage per  
21 month for a typical residential customer and how does  
22 this compare to the usage of five years ago?

23

24 **A.** In 2018, a typical Tampa Electric residential customer  
25 used a weather adjusted kWh amount of 1,107 kWh on a

1 monthly basis. Five years ago, the typical Tampa  
2 Electric residential customer used a weather adjusted kWh  
3 amount of 1,173 kWh on a monthly basis.  
4

5 **Q.** What is the proposed avoided unit and associated costs  
6 that Tampa Electric utilized in the preparation of these  
7 proposed DSM goals?  
8

9 **A.** The proposed avoided unit is a 7FA.05 Combustion Turbine  
10 that has a winter capacity rating of 245 MW and a summer  
11 capacity rating of 229 MW. The proposed unit would be  
12 placed into service in January of 2023. The cost of the  
13 unit has a base year avoided generating cost of \$526.30  
14 per kW and a fixed O&M cost of \$5.83 per kW per year.  
15

16 **Q.** How do these avoided unit costs compare to the avoided  
17 unit that was used five years ago?  
18

19 **A.** The avoided unit cost five years ago had a base year  
20 avoided generating cost of \$650.64 per kW and a fixed O&M  
21 cost of \$11.95 per kW per year.  
22

23 **Q.** How did the avoided generating unit fuel cost and fuel  
24 escalation rate used in the new goal setting compare to  
25 the avoided generating unit that was used five years ago?

1     **A.**    The current avoided generating fuel cost is 3.75 cents  
2           per kilowatt-hour ("kWh") with a fuel escalation rate of  
3           4.54 percent.    The avoided generating fuel cost five  
4           years ago was 4.70 cents per kWh and the fuel escalation  
5           rate was 5.21 percent.

6  
7     **Q.**    For the 2020-2029 DSM goals setting period, what is the  
8           company's projected energy and demand impacts due to  
9           energy efficiency and appliance standards improvements?

10  
11    **A.**    The company's estimate for the energy and demand impacts  
12           due to more stringent energy efficiency and appliance  
13           standards over the 2020-2029 DSM goals period is an  
14           overall reduction of customer energy usage of 5.79 GWh, a  
15           reduction in overall summer demand of 158 MW and a  
16           reduction in overall winter demand of 163 MW.

17  
18    **Q.**    Were there any drivers that put upward pressure on Tampa  
19           Electric's proposed 2020-2029 DSM demand goals to be set  
20           at a higher level than what the company proposed during  
21           the last DSM goals setting process?

22  
23    **A.**    Yes, while the combination of all drivers caused the  
24           overall proposed demand goals to be lower, there were  
25           several drivers that caused the overall decrease to be a

1 lessor amount than it would have been absent of those  
2 factors. Those factors include:

- 3
- 4 • K-Factor increase;
- 5 • Decreased customer equipment escalation rate;
- 6 • Decreased utility discount rate;
- 7 • Increased base year avoided transmission cost; and
- 8 • Increased base year avoided distribution cost.
- 9

10 **Q.** Would you explain why the proposed 2020-2029 DSM goals  
11 for summer demand and annual energy went up, while the  
12 winter demand goal went down as compared to 2015-2024 DSM  
13 goals setting period?

14

15 **A.** Yes, the main driver causing the summer demand to go up  
16 is the increased weighting of the value of the next  
17 avoided unit for the summer peaking period. This increase  
18 in summer weighting causes technologies that impact  
19 summer demand to be more cost-effective while at the same  
20 time decreasing the cost-effectiveness of technologies  
21 that impact winter demand. The increase in the proposed  
22 2020-2029 annual energy savings goals is attributed to  
23 more residential technologies having a summer demand  
24 impact achieving cost-effectiveness coupled with more  
25 summer months and cooling hours thus increasing the

1 overall combined annual energy goal slightly as compared  
2 to the 2015-2024 DSM goals proceeding.

3  
4 **Q.** Regardless of the results of the RIM cost-effectiveness  
5 analysis, do you believe that DSM goals should always be  
6 set higher than previously set goals?

7  
8 **A.** No, I do not. Setting goals too high just for the sake  
9 of having higher goals can lead to costly, unfair and  
10 imprudent results for Tampa Electric's customers. DSM  
11 goals should be set with a clear focus on the costs the  
12 utility would have to incur to serve the load that the  
13 conservation efforts are reasonably projected to avoid.  
14 In addition, the conservation measures selected should  
15 minimize rate impacts and avoid cross-subsidization  
16 between customers. The Commission has been able to  
17 accomplish these objectives in the past through the  
18 primary use of the RIM test (to minimize rate impacts and  
19 avoid cross-subsidization), the two-year payback screen  
20 to minimize free ridership and a process that focuses on  
21 the utility's most recently projected resource needs.

22  
23 **Q.** How do Tampa Electric's DSM goals accomplishments compare  
24 to other utilities in the nation?

25

1   **A.** Tampa Electric's accomplishments are significantly  
 2   greater than most other utilities in the United States.  
 3   Tampa Electric began its DSM efforts in the late 1970s  
 4   prior to the 1980 legislative enactment FEECA. Since  
 5   then, the company has aggressively sought Commission  
 6   approval for numerous DSM programs designed to promote  
 7   energy efficient technologies and to change customer  
 8   behavioral patterns such that energy savings occur with  
 9   minimal effect on customer comfort. Additionally, the  
 10   company has modified existing DSM programs over time to  
 11   promote evolving technologies and to maintain program  
 12   cost-effectiveness.

13  
 14   From the inception of Tampa Electric's Commission  
 15   approved programs through the end of 2018, the company  
 16   has achieved the following savings:

18	Summer Demand:	729.7 MW
19	Winter Demand:	1,236.0 MW
20	Annual Energy:	1,560.5 GWh

21  
 22   These peak load achievements have eliminated the need for  
 23   nearly seven 180 MW power plants.

24  
 25   The magnitude of these continuing efforts by Tampa

1 Electric, as well as other utilities in Florida, are  
2 clearly demonstrated by Florida's ranking in the United  
3 States Energy Information Administration's recent  
4 analyses. With respect to "Total Energy Consumed per  
5 Capita, 2016", Florida ranks 46<sup>th</sup> (of 51 States). With  
6 respect to "Total Energy Expenditures per Capita, 2016",  
7 Florida ranks 50<sup>th</sup>. Finally, with respect to "Average  
8 Retail Price of Electricity to the Residential Sector,  
9 December 2018", Florida ranks 26<sup>th</sup>. This last ranking is  
10 particularly noteworthy with Florida's average  
11 Residential Retail price of 11.86 cents per kWh which is  
12 10.8 percent below the national average and substantially  
13 lower than other States such as Massachusetts with a  
14 residential retail price of 21.99 cents per kWh, New York  
15 at 17.34 cents per kWh and California at 19.44 cents per  
16 kWh. This residential retail price deserves merit with  
17 the fact that Tampa Electric has achieved its level of  
18 DSM reduction impacts within stringent regulatory rules  
19 and statutory requirements by offering a portfolio of DSM  
20 programs that reduce rates for all customers, both DSM  
21 participants and non-participants alike. It is also  
22 worth noting that Tampa Electric's current Residential  
23 Retail Price of 10.36 cents per kWh is significantly  
24 lower than the Florida average.

25

1 **OVERALL PROCESS TO DEVELOP DSM GOALS:**

2  
3 **Q.** Would you describe the overall process that Tampa  
4 Electric utilized to develop the proposed DSM goals in  
5 this proceeding?

6  
7 **A.** Yes, the overall process first starts with the  
8 development of a technical potential study which is the  
9 theoretical maximum amount of energy and capacity that  
10 could be displaced by energy efficiency, demand response  
11 and distributed energy resources regardless of cost,  
12 acceptability to customers and other barriers that may  
13 prevent the installation or adoption of an energy  
14 efficiency measure. The technical potential is only  
15 constrained by factors such as technical feasibility and  
16 the applicability of measures.

17  
18 Once the technical potential is developed, the company  
19 determines the economic potential. The economic  
20 potential is determined by evaluating each of the  
21 measures cost-effectiveness under the RIM and TRC cost  
22 effectiveness tests. The economic potential is the  
23 amount of energy and capacity that could be reduced by  
24 those energy efficiency, demand response and distributed  
25 energy resource measures that pass cost-effectiveness.

1 For the RIM economic potential, lost revenue is the only  
2 cost component that is introduced. For the TRC economic  
3 potential, the full incremental cost of the measure is  
4 the only cost component introduced.

5  
6 Once the economic potential is achieved, the company  
7 removes programs that have a negative PCT, runs the  
8 sensitivity analyses for low and high fuel, and then  
9 performs the consideration of free-ridership at this  
10 point. After these sensitivity analyses are performed,  
11 the company introduces program administration costs,  
12 evaluates adoption rates and participation rates based  
13 upon incentives, and then develops the achievable  
14 potential which become the company's proposed DSM goals.  
15 This overall process is included in my Exhibit No. MRR-1,  
16 Document No. 2.

17  
18 **Q.** Did Tampa Electric develop its own Technical Potential  
19 Study?

20  
21 **A.** No, Tampa Electric, in collaboration with the other FEECA  
22 utilities (Florida Power and Light, Duke Energy Florida,  
23 Gulf Power Corporation, Orlando Utilities Commission,  
24 Jacksonville Electric Authority and Florida Public  
25 Utilities) utilized a vendor to develop the technical

1 potential study.

2

3 **Q.** Did the vendor develop a technical potential study for  
4 all the FEECA utilities to use or a technical potential  
5 study specific for each utility including Tampa Electric?

6

7 **A.** The vendor developed a technical potential study that was  
8 specific for each utility, including Tampa Electric.

9

10 **Q.** Why did Tampa Electric have a new technical potential  
11 study developed?

12

13 **A.** Tampa Electric, in collaboration with the other FEECA  
14 utilities, made the decision to have a new technical  
15 potential study developed because the prior technical  
16 potential study that was used in the previous numeric  
17 goals proceeding was a refreshed technical potential  
18 study that was developed from the Itron technical  
19 potential study performed ten years ago in 2009.

20

21 **Q.** Did Tampa Electric develop its own economic potential?

22

23 **A.** Yes.

24

25 **Q.** Did Tampa Electric perform its own fuel sensitivity

1 analyses and free-ridership considerations?

2

3 **A.** Yes.

4

5 **Q.** Did Tampa Electric perform its own achievable potential?

6

7 **A.** Yes.

8

9 **PROCESS TO DEVELOP THE TECHNICAL POTENTIAL:**

10

11 **Q.** Please discuss the process that Tampa Electric utilized  
12 to develop the technical potential that would be used to  
13 develop the company's proposed DSM goals?

14

15 **A.** Tampa Electric started the process of developing the  
16 proposed goals by collaborating with the other FEECA  
17 utilities in making the decision to have a new technical  
18 potential study developed. I have included an overview of  
19 the process to develop the technical potential in my  
20 Exhibit No. MRR-1, Document No. 3. I have also included  
21 the Market Potential Study Report from Nexant, within my  
22 Exhibit No. MRR-1, Document No. 3, that was developed  
23 specifically for Tampa Electric which includes the  
24 process that was utilized to develop Tampa Electric's  
25 technical potential.

1 To support the development of the new technical potential  
2 study, the FEECA utilities initiated the process,  
3 starting in early 2016, to discuss the timing and  
4 deliverables needed. Starting on June 13, 2017, the  
5 FEECA utilities participated in ongoing weekly conference  
6 calls to support the development of the technical  
7 potential study. In July 2017, the FEECA utilities  
8 initiated a request for proposal to seek vendors that  
9 were capable of performing a technical potential study.  
10 From August 2017 through September 2017, the FEECA  
11 utilities screened and evaluated the responses to the  
12 request for proposals. The proposals were screened based  
13 upon several criteria which included prior experience,  
14 quality of experience, ability to achieve deliverables  
15 and deadlines, methodology, data sources and uses,  
16 engineering methods, alternative approaches, discovery  
17 thoroughness, other supporting documentation, price and  
18 price controls. In addition to screening the request for  
19 proposals on what was submitted, every vendor that  
20 submitted a request for proposal supplied utility names  
21 and points of contact to which at least two of these  
22 sourced utilities were called and interviewed to discuss  
23 the working relationship, project management  
24 effectiveness, study quality, witness performance,  
25 overall outcome, other DSM related engagements and

1 overall impression. After the screening was completed,  
2 the FEECA utilities invited the top two vendors to a  
3 final selection presentation in addition to a question  
4 and answer meeting that was held on October 2, 2017. At  
5 the conclusion of this meeting, the FEECA utilities met  
6 and selected the vendor Nexant to perform the technical  
7 potential study.

8  
9 **Q.** After the FEECA utilities selected Nexant to perform the  
10 technical potential study, how did Nexant gather the  
11 necessary data to be able to conduct a technical  
12 potential study specific to Tampa Electric?

13  
14 **A.** Shortly after the FEECA utility meeting on October 2,  
15 2017, Nexant provided the company with a sheet that  
16 outlined the comprehensive information needed that was  
17 specific to Tampa Electric. This data sheet included  
18 Tampa Electric's peak load and energy sales forecasts for  
19 2018-2028, details used for developing the company's 10-  
20 year load forecast, customer premise forecasts for 2018-  
21 2028, customer characteristics and billing data, any load  
22 research data for 2015 and 2016, prior utility potential  
23 studies, historical program and measure information,  
24 preliminary technical potential measure lists, and hourly  
25 utility system load data for 2012 through 2016.

1   **Q.**   Did Tampa Electric provide all the data that was  
2           requested by Nexant for the performance of the technical  
3           potential study?  
4

5   **A.**   No, there were some items that Tampa Electric did not  
6           have.  These items included having all of Tampa Electric  
7           business customers segmented by their NAICS or SIC code,  
8           availability of Advanced Metering Infrastructure ("AMI")  
9           and the associated 15-minute interval data and customer  
10          end use load shapes, recent end-use survey and baseline  
11          study data, studies of thermostat control and conjoined  
12          studies regarding customer preferences for program or  
13          rate design.  
14

15   **Q.**   Is the technical potential study that was performed by  
16           Nexant specific for Tampa Electric, less accurate due to  
17           these data items that were missing?  
18

19   **A.**   No, one of the main benefits of doing a technical  
20           potential study in a collaborative fashion with the other  
21           neighboring FEECA utilities and Nexant is to be able to  
22           use proxy data to fill in these sources of data when the  
23           data requested does not exist.  Even if these data pieces  
24           could not have been fulfilled by proxy, I am confident  
25           that the technical potential developed by Nexant specific

1 for Tampa Electric would have been accurate.

2

3 **Q.** How did the FEECA utilities evaluate which measures would  
4 be included in the process of developing the technical  
5 potential study?

6

7 **A.** Nexant and all the FEECA utilities provided input into  
8 which measures would be included in the process of  
9 developing the technical potential study. Each of the  
10 provided measures was reviewed for its technical  
11 feasibility and applicability and had to meet the  
12 following two additional criteria:

13 1) The measure must be commercially available in  
14 the Florida marketplace.

15 2) The measure cannot be considered a behavioral  
16 savings.

17

18 **Q.** Did the FEECA utilities seek any other input for which  
19 measures would be included in the process of developing  
20 the technical potential study?

21

22 **A.** Yes, the FEECA utilities asked for and received a list of  
23 proposed measures from the Southern Alliance for Clean  
24 Energy ("SACE").

25

1   **Q.**   Did the FEECA utilities add any of the measures that SACE  
2           provided in their measures list that the FEECA utilities  
3           used as the final measures list, and if no, why?  
4

5   **A.**   No, when the FEECA utilities reviewed the list of  
6           proposed measures from SACE, the majority of those  
7           proposed measures were already included in the utility  
8           developed measures list. The remaining measures were  
9           chosen not to be used because they were either a  
10          behavioral measure or would not be considered a measure.  
11          An example of this is a duct seal with a blower door.  
12          Duct sealing is a measure and it is included in the  
13          measure list, but the blower door is not a measure, it  
14          would be considered to be a piece of test equipment.  
15

16   **Q.**   Did Tampa Electric meet with SACE after the measure list  
17          was developed?  
18

19   **A.**   Yes, the company chose to meet with SACE in a series of  
20          conference calls between December 19, 2018, and January  
21          25, 2019.  
22

23   **Q.**   What was the purpose of the conference calls with SACE?  
24

25   **A.**   The main purpose was to allow SACE an opportunity to

1 critique and provide feedback on the draft technical  
2 potential studies that the company was receiving from  
3 Nexant.

4  
5 **Q.** What feedback did SACE provide?

6  
7 **A.** First, I thought their feedback was very constructive to  
8 Tampa Electric. SACE provided the following  
9 recommendations:

- 10 • Adjust the line loss factor within the company's  
11 cost effectiveness model to account for line losses  
12 during only the peak hour.
- 13 • Adjust the life of measures for building envelope  
14 type measures to greater than a 20-year life.
- 15 • Adjust the baseline for certain measures to quantify  
16 the savings from what is actually installed in the  
17 field versus a minimum building code or federal  
18 appliance standard.
- 19 • Adjust the applicability of wall insulation.
- 20 • Adjust the free-ridership screen.

21  
22 **Q.** Did Tampa Electric implement any of these recommendations  
23 from SACE?

24  
25 **A.** Yes, the company changed the appropriate residential and

1 commercial building envelope measure lives to cap them at  
2 the company's DSM study period of 25 years. The  
3 following building envelope items: windows, doors,  
4 ceiling insulation, wall insulation and the home or  
5 building structure all have industry rated lives of well  
6 over 25 years. The company also agreed to examine the  
7 line loss factor at the peak hour at some time in the  
8 future, currently the company utilizes a weighted average  
9 to develop the transmission and distribution line loss  
10 factors which has consistently been used for all of the  
11 company's prior DSM goal setting proceedings.  
12

13 **Q.** Why did the company not adopt the other three  
14 recommendations by SACE?  
15

16 **A.** The company does not agree with using an adjusted  
17 baseline for certain measures to quantify the energy  
18 savings from what is actually installed in the field  
19 versus a minimum building code or federal appliance  
20 standard. The additional measurement and verification  
21 costs for a potential participant would make the DSM  
22 program very difficult to pass cost effectiveness due to  
23 having a heavy burden in overall utility costs such as  
24 labor, equipment and other internal costs as compared to  
25 the incentive that could be provided to the customer.

1 The company does not agree with the assessment of the  
2 applicability factor for homes in Florida for wall  
3 insulation since most single-family homes will be of  
4 block construction. Finally, the company does not view a  
5 need for a change in the way free-ridership is taken into  
6 consideration for the company's proposed DSM goals and  
7 programs.

8  
9 **Q.** Were there any measures, beyond behavioral or ones that  
10 would be considered test equipment, chosen not to be used  
11 as a DSM measure?

12  
13 **A.** Yes, being consistent with prior DSM goal setting  
14 periods, the company did not include any supply side  
15 efficiency measures as potential measures for this DSM  
16 goals setting proceeding.

17  
18 **Q.** Please identify how many DSM measures were evaluated that  
19 support this 2020-2029 DSM goals setting proceeding?

20  
21 **A.** Tampa Electric's comprehensive DSM measure list developed  
22 was comprised of the following:

23 Residential Energy Efficiency Measures: 91

24 Commercial Energy Efficiency Measures: 127

25 Industrial Energy Efficiency Measures: 30

1	Demand Response Measures:	21
2	<u>Distributed Energy Resource Measures:</u>	<u>9</u>
3	Combined Total DSM Measures:	278
4		

5 **Q.** How does this measure list compare to the prior DSM goal  
6 setting proceeding that occurred in 2014?

7

8 **A.** In the prior DSM goal setting proceeding that occurred in  
9 2014, Tampa Electric at that time had 274 total DSM  
10 measures that were evaluated.

11

12 **Q.** How did Tampa Electric ensure that the DSM measure list  
13 was complete and accurate?

14

15 **A.** Tampa Electric in collaboration with the other FEECA  
16 utilities and Nexant conducted weekly phones calls  
17 beginning in October of 2017 through the beginning of  
18 2019 to ensure the DSM measure list and the associated  
19 demand and energy savings impacts from each measure were  
20 accurate.

21

22 **Q.** Beyond the measure list categories listed above, did the  
23 measures have further segmentation?

24

25 **A.** Yes, each of the energy efficiency, demand response and

1 distribute energy resources categories for residential,  
2 commercial and industrial sectors were further segmented.

3  
4 Residential energy efficiency and demand response was  
5 segmented into:

- 6 • Single family homes
- 7 • Multi-family homes
- 8 • Manufactured homes

9 Residential distributed energy resources was segmented  
10 into:

- 11 • Single family homes
- 12 • Multi-family homes

13 Commercial energy efficiency was segmented into:

- 14 • Assembly
- 15 • College and University
- 16 • Grocery
- 17 • Healthcare
- 18 • Hospitals
- 19 • Institutional
- 20 • Lodging/Hospitality
- 21 • Miscellaneous
- 22 • Restaurants
- 23 • Retail
- 24 • School K-12
- 25 • Warehouse

1 Commercial demand response was segmented into customers  
2 using the following energy usages:

- 3 • 0 - 15,000 kWh
- 4 • 15,0001 - 25,000 kWh
- 5 • 25,001 - 50,000 kWh
- 6 •  $\geq$  50,001 kWh

7 Commercial distributed energy resources was segmented  
8 into the following:

9 Battery storage:

- 10 • 0 - 15 MWh
- 11 • >15 MWh - 25 MWh
- 12 • >25 - 50 MWh
- 13 • >50 MWh

14 Photovoltaics:

- 15 • Assembly
- 16 • College and University
- 17 • Grocery
- 18 • Healthcare
- 19 • Hospitals
- 20 • Institutional
- 21 • Lodging/Hospitality
- 22 • Miscellaneous
- 23 • Restaurants
- 24 • Retail
- 25 • School K-12

- 1                   • Warehouse

2                   Combined Heat and Power:

- 3                   • 5,500 kW Steam Turbine-Biomass
- 4                   • 3,500 kW Steam Turbine-Biomass
- 5                   • 3,500 kW Gas Turbine
- 6                   • 3,000 kW Gas Turbine
- 7                   • 2,500 kW Gas Turbine
- 8                   • 4,500 kW Reciprocating Engine
- 9                   • 1,500 kW Steam Turbine-Biomass
- 10                  • 3,000 kW Reciprocating Engine
- 11                  • 1,125 kW Fuel Cell
- 12                  • 800 kW Fuel Cell-Biogas
- 13                  • 1,250 kW Reciprocating Engine
- 14                  • 1,250 kW Reciprocating Engine-Biogas
- 15                  • 500 kW Fuel Cell
- 16                  • 350 kW Reciprocating Engine
- 17                  • 175 kW Fuel Cell
- 18                  • 200 kW Micro Turbine
- 19                  • 150 kW Reciprocating Engine
- 20                  • 100 kW Micro Turbine
- 21                  • 100 kW Micro Turbine- Biogas
- 22                  • 50 kW Micro Turbine

23                  Industrial energy efficiency was segmented into:

- 24                  • Agriculture and Assembly
- 25                  • Chemicals and Plastics

- 1           • Construction
- 2           • Electrical and Electronic Equipment
- 3           • Lumber/Furniture/Pulp/Paper
- 4           • Metal Products and Machinery
- 5           • Miscellaneous Manufacturing
- 6           • Primary Resource Industries
- 7           • Stone/Clay/Glass/Concrete
- 8           • Textiles and Leather
- 9           • Transportation Equipment
- 10          • Water and Wastewater

11          Large Commercial and Industrial demand response was  
12          segmented into customers using the following demand  
13          usages:

- 14           • 0 - 50 kW
- 15           • 51 - 300 kW
- 16           • 301 - 500 kW
- 17           •  $\geq$  501 kW

18  
19          **Q.** How do these residential, commercial and industrial  
20          segments affect the measure list?

21  
22          **A.** The segmentation means that when we look at an individual  
23          measure from the measure list, it will be examined from a  
24          multiple of ways for cost-effectiveness. For example, a  
25          residential smart thermostat is one measure and will be

1 analyzed six ways. It will be analyzed if it was  
2 installed in a new or existing single-family home, new or  
3 existing multi-family residence, and a new or existing  
4 manufactured home. These additional analyses are called  
5 permutations. The residential, commercial and industrial  
6 segmentation provided above required 4,317 individual  
7 permutations of the measure list to be performed for  
8 cost-effectiveness.

9  
10 **Q.** Were there any commercial or industrial segments that  
11 were excluded from the technical potential?

12  
13 **A.** No, the technical potential was based upon the load  
14 forecast of Tampa Electric, so all customers and market  
15 segments were included in the technical potential  
16 analysis.

17  
18 **Q.** Does the measure list contain demand-side renewable  
19 energy systems?

20  
21 **A.** Yes, the Distributed Energy Resource measures contains  
22 residential and commercial photovoltaic systems.

23  
24 **Q.** Do you have a list of all the DSM measures you provide  
25 the count for above?

1     **A.**    Yes, the comprehensive list of all the DSM measures the  
2            company utilized in the development of the company's  
3            proposed 2020-2029 DSM goals is included in my Exhibit  
4            No. MRR-1, Document No. 4.

5  
6     **Q.**    Do you have a list of all the DSM measures that were  
7            eliminated or added as compared to the 2013 technical  
8            potential study?

9  
10    **A.**    Yes, the comprehensive list of all the DSM measures the  
11            company utilized in the development of the company's  
12            proposed 2015-2024 DSM goals and a list providing those  
13            measures that were added or removed in the newly  
14            developed comprehensive measure list is included in my  
15            Exhibit No. MRR-1, Document No. 5.

16  
17    **Q.**    Did the collaborative process among the FEECA utilities  
18            bring value to the overall DSM goals setting process?

19  
20    **A.**    Yes, the process provided many benefits including  
21            economic benefits from sharing in the total costs,  
22            provided an open platform to thoroughly vet differences  
23            which has provided consistency, established accurate  
24            baselines to begin the new period of setting DSM goals.

25

1 **TAMPA ELECTRIC'S TECHNICAL POTENTIAL:**

2  
3 **Q.** What is Tampa Electric's technical potential?

4  
5 **A.** The company's technical potential is made up of estimates  
6 for energy efficiency, demand response and distributed  
7 energy resources. The technical potential estimates from  
8 these categories are not additive due to the interactive  
9 effect of certain measures on end uses. With this  
10 backdrop, Tampa Electric's technical potential for energy  
11 efficiency is:

12 Summer Demand: 1,138 MW  
13 Winter Demand: 583 MW  
14 Annual Energy: 4,483 GWh

15  
16 Tampa Electric's technical potential for demand response  
17 is:

18 Summer Demand: 2,399 MW  
19 Winter Demand: 2,816 MW  
20 Annual Energy: 0 GWh

21  
22 Tampa Electric's technical potential for distributed  
23 energy resources is:

24 Summer Demand: 2,215 MW  
25 Winter Demand: 619 MW

1 Annual Energy: 12,266 GWh

2

3 The full detail of these values is included in the  
4 company's Market Potential Study Report from Nexant in my  
5 Exhibit MRR-1, Document No. 3. I have also included a  
6 comparison of Tampa Electric's 2014 Technical Potential  
7 in my Exhibit MRR-1, Document No. 6.

8

9 **PROCESS USED TO DEVELOP THE ECONOMIC POTENTIAL:**

10

11 **Q.** Please describe the process Tampa Electric utilized to  
12 develop the company's economic potential?

13

14 **A.** The process to develop the economic potential began in  
15 the beginning of 2017 by meeting with the company's Load  
16 Research and Forecasting and Resource Planning  
17 Departments to make them aware of the data that will be  
18 needed to be able to support the development of the  
19 technical potential but also the information that will  
20 support the analysis for the economic potential. The  
21 company's Load Research and Forecasting Department was  
22 asked to prepare a load forecast specifically for the DSM  
23 goals setting 2020-2029 period. The company's Resource  
24 Planning Department was asked to utilize the DSM goals  
25 setting 2020-2029 load forecast and perform an updated

1 integrated resource planning ("IRP") process to determine  
2 the timing and costs of the next avoided unit and fuel  
3 costs.

4  
5 The process then determined the remaining cost-  
6 effectiveness inputs by taking the current 2019 values  
7 and escalating them into the year 2020.

8  
9 The process then took the comprehensive list of all DSM  
10 measures contained in the technical potential that were  
11 spread across the various categories and building types  
12 and developed the economic potential by utilizing the  
13 Commission's approved cost-effectiveness tests, namely,  
14 the RIM and TRC tests. When calculating the RIM test,  
15 only lost revenues were considered on the cost side of  
16 the equation. For the TRC test, only the customer's full  
17 incremental equipment cost was considered on the cost  
18 side of the equation. For both the RIM and TRC tests,  
19 the benefits were comprised of avoided supply side costs  
20 that included the generator, transmission and  
21 distribution, and fuel costs. This process to develop  
22 the economic potential is included in my Exhibit No. MRR-  
23 1, Document No. 7.

24  
25 **Q.** Is the load forecast that was generated to support the

1 2020-2029 DSM goals setting period the same as Tampa  
2 Electric's typical annual forecast used to develop the  
3 company's Ten-Year Site Plan?

4  
5 **A.** No, the load forecast that is developed specifically for  
6 the DSM goals setting 2020-2029 period uses the same  
7 methodology as the company's typical annual forecast used  
8 to develop the company's Ten-Year Site Plan with the  
9 exception that it assumes that all DSM activities stop as  
10 of December 31, 2019.

11  
12 **Q.** Is the IRP process used with this modified load forecast  
13 to support the 2020-2029 DSM goals setting period the  
14 same as Tampa Electric's typical annual process used to  
15 develop the company's Ten-Year Site Plan?

16  
17 **A.** Yes, it is identical.

18  
19 **Q.** Is the IRP process used to support the 2020-2029 DSM  
20 goals setting period the same process that Tampa Electric  
21 used in prior DSM goals setting periods?

22  
23 **A.** Yes, the IRP process that Tampa Electric used has been  
24 utilized and approved in all previous DSM goals setting  
25 proceedings and is clearly delineated in the company's

1 annual Ten-Year Site Plan filing.

2  
3 **Q.** Do you have a list that details the information of Tampa  
4 Electric's avoided unit, including fuel costs, that was  
5 determined in the IRP process that was performed?

6  
7 **A.** Yes, in my Exhibit No. MRR-1, Document No. 8 details the  
8 information of Tampa Electric's avoided unit and fuel  
9 costs that were determined in the IRP process that was  
10 performed.

11  
12 **Q.** Do you have a list that identifies all input assumptions  
13 that were used in the RIM and TRC cost-effectiveness  
14 tests to develop the economic potential?

15  
16 **A.** Yes, in my Exhibit No. MRR-1, Document No. 9 identifies  
17 all the input assumptions that were used in the cost-  
18 effectiveness RIM and TRC tests to develop the economic  
19 potential.

20  
21 **TAMPA ELECTRIC'S ECONOMIC POTENTIAL:**

22  
23 **Q.** What is Tampa Electric's economic potential?

24  
25 **A.** Under the RIM cost-effectiveness test evaluation, the

1 economic potential resulted in the following savings:

2 Summer Demand: 4,928 MW  
3 Winter Demand: 3,754 MW  
4 Annual Energy: 12,669 GWh

5  
6 Under the TRC cost-effectiveness test evaluation, this  
7 economic potential resulted in the following savings:

8 Summer Demand: 2,656 MW  
9 Winter Demand: 2,986 MW  
10 Annual Energy: 1,785 GWh

11  
12 The details of these values are included in my Exhibit  
13 MRR-1, Document No. 10.

14  
15 **TAMPA ELECTRIC'S ECONOMIC POTENTIAL SENSITIVITIES:**

16  
17 **Q.** Please describe what economic potential sensitivities  
18 Tampa Electric conducted to be compliant with the  
19 Commission's Order Establishing Procedures in this  
20 proceeding?

21  
22 **A.** Tampa Electric's economic potential sensitivity analyses  
23 were conducted based upon the RIM and TRC economic  
24 potentials with regard to the following factors:

25 1) Lower fuel costs;

- 1                   2) Higher fuel costs;
- 2                   3) Shorter free-ridership consideration;
- 3                   4) Longer free-ridership consideration; and
- 4                   5) Consideration of the cost of carbon.

5

6   **Q.**   How did the company perform the sensitivity for lower and  
7           higher fuel costs?

8

9   **A.**   The sensitivity for lower and higher fuel costs was  
10           performed by varying the fuel cost in a similar manner as  
11           Tampa Electric's sensitivity conducted in the company's  
12           annual fuel docket when the company conducted fuel  
13           hedging.

14

15   **Q.**   How did the company perform the sensitivity for shorter  
16           and longer free-ridership consideration?

17

18   **A.**   The sensitivity for shorter and longer free-ridership  
19           consideration was performed by changing the requirement  
20           from a two-year simple payback to a one-year simple  
21           payback (shorter) and a three-year simple payback  
22           (longer).

23

24   **Q.**   Did the company perform the sensitivity for the  
25           consideration of the cost of carbon?

1 **A.** No, Tampa Electric did not include the cost of carbon  
2 dioxide ("CO2" or "Carbon") in the process of  
3 establishing the economic potential.

4  
5 **Q.** Why did Tampa Electric not consider the cost of carbon?  
6

7 **A.** Tampa Electric has two reasons for not considering the  
8 cost of carbon. The first is that Tampa Electric does  
9 not include the cost of carbon in the IRP process that  
10 was used to establish the costs and fuel costs of the  
11 next avoided unit for this 2020-2029 DSM goals setting  
12 proceeding and the company does not include the cost of  
13 carbon in the IRP process that is used to develop the  
14 annual Ten-Year Site Plan. The second is the cost of  
15 carbon in the state of Florida is not imposed by any  
16 State or Federal regulations on the emissions of carbon  
17 nor have any laws for the emission of greenhouse gases  
18 like carbon currently been enacted at the Federal or  
19 State levels.

20  
21 **Q.** Has the company ever considered the cost of carbon in a  
22 DSM goals setting proceeding?  
23

24 **A.** Yes, it has been used only one time. It was used in the  
25 2005-2014 DSM goals setting proceeding where Tampa

1 Electric followed the Commission Staff's request to  
2 perform carbon sensitivities on Tampa Electric's economic  
3 potential.

4  
5 **Q.** Please describe the results of the sensitivity analyses  
6 that were performed when applied to Tampa Electric's  
7 2020-2029 RIM and TRC DSM economic potentials?

8  
9 **A.** Tampa Electric's sensitivity analyses results on the  
10 2020-2029 RIM and TRC DSM economic potentials were modest  
11 at best. From a RIM perspective, the greater variation  
12 occurred with summer demand and annual energy relative to  
13 fuel costs and annual energy due to payback duration.  
14 From a TRC perspective, the greater variation occurred  
15 with annual energy relative to fuel costs and payback  
16 duration. The processes to perform the sensitivity  
17 analyses are included in my Exhibit MRR-1, Document No.  
18 11.

19  
20 **Q.** Do you have a summary showing the results of the  
21 sensitivity analyses?

22  
23 **A.** Yes, my Exhibit No. MRR-1, Document No. 15 provides a  
24 summary showing the results of the sensitivity analyses.

25

1 Q. Should the results of these sensitivity analyses be used  
2 in any manner to influence or establish Tampa Electric's  
3 DSM goals for the 2020-2029 period?  
4

5 A. No, Tampa Electric believes the sensitivity analyses  
6 simply provides a relative indication as to how cost-  
7 effectiveness evaluations may be affected by changes in  
8 assumptions. There is no basis to conclude that  
9 assumption changes modeled by the company for this  
10 sensitivity exercise will in some manner become more  
11 plausible than the actual assumptions utilized.  
12

13 **TAMPA ELECTRIC'S CONSIDERATION OF FREE-RIDERS:**  
14

15 Q. Please provide the process that Tampa Electric utilized  
16 to consider free-riders used to develop the proposed DSM  
17 goals in this proceeding?  
18

19 A. Tampa Electric accomplished the free-ridership  
20 consideration requirement through the application of a  
21 longstanding Commission recognized practice, initially  
22 approved in the 1994 DSM goals proceeding. There, the  
23 Commission approved the use of a participant payback of  
24 two years or less without a utility incentive. The free-  
25 ridership consideration is performed by removing those

1 measures from the RIM and TRC achievable potential  
2 consideration that have a simple payback equal to or less  
3 than two years. The execution of this consideration for  
4 free-ridership required not only the use of the RIM and  
5 TRC cost-effectiveness tests, but also the PCT in  
6 conjunction with each.

7  
8 **Q.** What does the term "free-ridership" mean to Tampa  
9 Electric?

10  
11 **A.** The term "free-ridership" describes a situation where a  
12 customer willingly accepts a rebate or other type of  
13 incentive to purchase goods or services that the customer  
14 would have purchased anyway, without the rebate or other  
15 incentive, because of the cost-effectiveness of the goods  
16 or services purchased.

17  
18 **Q.** Does Tampa Electric support the two-year or less simple  
19 payback screen as an appropriate way to consider for  
20 free-riders?

21  
22 **A.** Yes, the two-year or less period of time is sufficient  
23 motivation for a customer's natural, self-serving  
24 adoption of the DSM measure. Simplistically, Tampa  
25 Electric, and ultimately its customers, should not pay

1 specific customers to do what they would do on their own  
2 without an incentive. Because of this and Rule 25-  
3 17.0021, F.A.C., which requires the minimization of free  
4 riders in the setting of DSM goals, the two-year simple  
5 payback criterion is the appropriate means to apply to  
6 minimize free ridership as required by Rule.

7  
8 **Q.** How many measures remained qualified and the associated  
9 summer demand, winter demand and annual energy savings of  
10 these measures after consideration of free-ridership  
11 under the RIM and PCT evaluation?

12  
13 **A.** After consideration of free-ridership, 1,100 individual  
14 measure permutations remained qualified under the RIM and  
15 PCT evaluation and resulted in the following savings:

16	Summer Demand:	2,557 MW
17	Winter Demand:	2,907 MW
18	Annual Energy:	747 GWh

19  
20 **Q.** How many measures were removed due to having a simple  
21 payback of two-years or less after consideration of free-  
22 ridership under the RIM and PCT evaluation?

23  
24 **A.** After consideration of free-ridership, the two-year  
25 payback removed 779 individual measure permutations under

1 the RIM and PCT evaluation.

2

3 **Q.** How many measures remained qualified and the associated  
4 summer demand, winter demand and annual energy savings of  
5 these measures after consideration of free-ridership  
6 under the TRC and PCT evaluation?

7

8 **A.** After consideration of free-ridership, 944 individual  
9 measure permutations remained qualified under the TRC and  
10 PCT evaluation and resulted in the following savings:

11 Summer Demand: 2,465 MW

12 Winter Demand: 2,824 MW

13 Annual Energy: 686 GWh

14

15 **Q.** How many measures were removed due to having a simple  
16 payback of two-years after consideration of free-  
17 ridership under the TRC and PCT evaluation?

18

19 **A.** After consideration of free-ridership, the two-year  
20 payback removed 1,005 individual measure permutations  
21 under the TRC and PCT evaluation.

22

23 **Q.** Did Tampa Electric comply with Staff's request and the  
24 Order Establishing Procedure by performing a sensitivity  
25 analyses utilizing the consideration of free-ridership?

1 **A.** Yes, as described earlier Tampa Electric complied with  
 2 Staff's request and the Order Establishing Procedure by  
 3 performing a sensitivity analyses utilizing the  
 4 consideration of free-ridership of a one-year and three-  
 5 year period for the simple payback.

6  
 7 **Q.** How many individual measure permutations were removed due  
 8 to having a simple payback of one-year and three-year  
 9 period for the free-ridership sensitivity as compared to  
 10 the two-year free-ridership consideration under the RIM  
 11 and PCT, and the TRC and PCT evaluation?

12  
 13 **A.** The amount of measure permutations that were removed  
 14 under the RIM and PCT, and the TRC and PCT evaluation  
 15 after consideration of free-ridership and the free-  
 16 ridership sensitivity analyses are below:

17  
 18 Measure permutations removed under RIM and PCT:

19 One-year Free-Ridership Sensitivity: 427

20 Two-year Free-Ridership Consideration: 779

21 Three-year Free-Ridership Sensitivity: 1,065

22  
 23 Measure permutations removed under TRC and PCT:

24 One-year Free-Ridership Sensitivity: 523

25 Two-year Free-Ridership Consideration: 1,005

1           Three-year Free-Ridership Sensitivity:       1,301

2  
3   **Q.**   Do you have a summary showing the free-ridership  
4       consideration in addition to the results of the free-  
5       ridership sensitivities?

6  
7   **A.**   Yes, my Exhibit No. MRR-1, Document No. 15 provides a  
8       summary showing the results of the free-ridership  
9       consideration and sensitivity analyses.

10  
11   **PROCESS TO DEVELOP THE ACHIEVABLE POTENTIAL:**

12  
13   **Q.**   Would you describe the overall process that Tampa  
14       Electric utilized to develop the achievable potential in  
15       this proceeding?

16  
17   **A.**   Yes, the process to develop the achievable potential  
18       study takes all the measures that successfully passed  
19       cost-effectiveness and the free-ridership consideration  
20       at the economic potential and to now perform both RIM and  
21       TRC cost-effectiveness by first including program  
22       administration costs without any incentives or rebates.  
23       The measures that pass this level of RIM and TRC cost-  
24       effectiveness are then analyzed to see if an incentive or  
25       a rebate can be provided. In this process, for the RIM

1 test the rebate is set at either the maximum level to  
2 drive the RIM cost-effectiveness score to be 1.01 or to  
3 the level that places the measure simple payback of two  
4 years. For the TRC cost-effectiveness test, the rebate  
5 is set at the level that places the measures simple  
6 payback of two years. Once the incentive levels have  
7 been determined that will maximize participation, the  
8 company used Bass Models, Adoption Curves and its  
9 experience with current programs and incentives to  
10 estimate and project the activity over the 2020-2029 DSM  
11 goals setting period within each of the cost-effective  
12 measures. The individual measures annual energy (in kWh)  
13 and summer and winter demand (in kW) are determined for  
14 their contributions in each of the 2020-2029 DSM goals  
15 period years. All the residential and  
16 commercial/industrial contributions are summed by year  
17 for these sectors and totaled to become the annual and  
18 cumulative DSM achievable potential. This process to  
19 develop the achievable potential is included in my  
20 Exhibit MRR-1, Document No 12.

21  
22 **Q.** How did Tampa Electric develop the administrative costs  
23 utilized in the development of the achievable potential?

24  
25 **A.** Tampa Electric has significant experience running

1 effective DSM programs and utilized the administrative  
 2 cost estimated based on its experience with the same or  
 3 similar measures contained in the company's existing DSM  
 4 programs.

5  
 6 **TAMPA ELECTRIC'S ACHIEVABLE POTENTIAL:**

7  
 8 **Q.** What is Tampa Electric's total achievable potential?  
 9

10 **A.** Under the RIM cost-effectiveness test evaluation, the  
 11 achievable potential resulted in 78 individual  
 12 evaluations remaining with the following savings:

13	Summer Demand:	74.4 MW
14	Winter Demand:	40.4 MW
15	Annual Energy:	156.5 GWh

16  
 17 Under the TRC cost-effectiveness test evaluation, this  
 18 achievable potential resulted in 68 individual  
 19 evaluations remaining with the following savings:

20	Summer Demand:	154.7 MW
21	Winter Demand:	75.6 MW
22	Annual Energy:	392.9 GWh

23  
 24 These values are stated at the meter level and are also  
 25 included in my Exhibit MRR-1, Document No. 13.

1     **Q.**    Do these DSM achievable potentials include demand  
2            response and distributed energy resources?

3

4     **A.**    Yes, in addition to energy efficiency, these DSM  
5            achievable potentials include demand response and  
6            consideration of distributed energy resources. No  
7            measures within distributed energy resources remained  
8            cost-effective.

9

10    **Q.**    Will you provide a list of the RIM-based cost-effective  
11            measures and TRC-based cost-effective measures that made  
12            the contributions to the achievable potential?

13

14    **A.**    Yes, the list of measures that supported the RIM-based  
15            and TRC-based achievable potential are included in my  
16            Exhibit No. MRR-1, Document No. 14.

17

18    **Q.**    Is the achievable potential the same as what the company  
19            is proposing as the DSM goals for the 2020-2029 goals  
20            setting period in this proceeding?

21

22    **A.**    The RIM-based achievable potential is the amount of cost-  
23            effective annual energy (in kWh) and summer and winter  
24            demand (in kW) given the current economic conditions that  
25            Tampa Electric is seeing for its next avoided unit at the

meter. To obtain the DSM goals for the 2020-2029 goals setting period, these annual energy and summer and winter demand savings will be adjusted so that amount of savings is provided at the generator level, which are the proposed company's 2020-2029 DSM goals.

**Q.** What is Tampa Electric's total achievable potential after being adjusted to savings at the generator?

**A.** Under the RIM cost-effectiveness test evaluation, the achievable potential at the generator resulted in the following savings:

Summer Demand:	79.7 MW
Winter Demand:	43.3 MW
Annual Energy:	165.0 GWh

Under the TRC cost-effectiveness test evaluation, the achievable potential at the generator resulted in the following savings:

Summer Demand:	165.9 MW
Winter Demand:	81.1 MW
Annual Energy:	414.6 GWh

These values are also included in my Exhibit MRR-1, Document No. 13.

1 **Q.** Would you provide the DSM achievable potentials at the  
2 generator for energy efficiency and demand response  
3 separately?  
4

5 **A.** Yes, for energy efficiency under the RIM cost-  
6 effectiveness test evaluation, the achievable potential  
7 at the generator resulted in the following savings:

8 Summer Demand: 51.7 MW  
9 Winter Demand: 26.3 MW  
10 Annual Energy: 165.0 GWh  
11

12 For demand response under the RIM cost-effectiveness test  
13 evaluation, the achievable potential at the generator  
14 resulted in the following savings:

15 Summer Demand: 28.0 MW  
16 Winter Demand: 17.1 MW  
17 Annual Energy: 0.0 GWh  
18

19 For energy efficiency under the TRC cost-effectiveness  
20 test evaluation, the achievable potential at the  
21 generator resulted in the following savings:

22 Summer Demand: 122.1 MW  
23 Winter Demand: 54.1 MW  
24 Annual Energy: 414.6 GWh  
25

1 For demand response under the TRC cost-effectiveness test  
2 evaluation, the achievable potential at the generator  
3 resulted in the following savings:

4 Summer Demand:	43.8 MW
5 Winter Demand:	26.9 MW
6 Annual Energy:	0.0 GWh

7  
8 **Q.** From the RIM-based achievable potential, will the  
9 measures that remained cost-effective become the new DSM  
10 programs Tampa Electric will submit within the DSM Plan  
11 once the goals are approved?

12  
13 **A.** Not necessarily, the data obtained from the process to  
14 develop the achievable potential will be used, but the  
15 process to develop DSM goals is to determine the amount  
16 of cost-effective annual energy (in kWh) and summer and  
17 winter demand (in kW) given the current economic  
18 conditions that Tampa Electric is seeing for its next  
19 avoided unit at this time. It is a combination of  
20 theoretical, mathematical and realistic inputs for each  
21 individual measure as they stand alone. Designing a DSM  
22 program that would be used to support obtaining the  
23 Commission's annual and cumulative DSM goals may use a  
24 single measure or any combination of measures to develop  
25 a cost-effective program. Tampa Electric is not limited

1 to using any measures that could be utilized in a cost-  
 2 effective DSM Program. For example, the company is  
 3 planning to retain its current weatherization and energy  
 4 education programs that include energy-efficiency kits  
 5 which are made up of both cost-effective and not cost-  
 6 effective measures which focus on gaining participation  
 7 of low-income customers in the company's DSM programs  
 8 portfolio.

9  
 10 **Q.** What residential summer and winter Megawatt (MW) and  
 11 annual Gigawatt-hour (GWh) goals should be established  
 12 for the period 2020-2029 at the generator?

13  
 14 **A.** Tampa Electric's reasonably achievable generator level  
 15 combined RIM-based Residential DSM goals for the 2020-  
 16 2029 period are:

17	Summer Demand:	54.0 MW
18	Winter Demand:	25.5 MW
19	Annual Energy:	103.6 GWh

20  
 21 **Q.** What commercial/industrial summer and winter Megawatt  
 22 (MW) and annual Gigawatt hour (GWh) goals should be  
 23 established for the period 2020-2029 at the generator?

24  
 25 **A.** Tampa Electric's reasonably achievable generator level

1 combined RIM-based Commercial/Industrial DSM goals for  
2 the 2020-2029 period are:

3 Summer Demand: 25.8 MW

4 Winter Demand: 17.8 MW

5 Annual Energy: 61.4 GWh

6  
7 **Q.** Do you have a summary of each of the potentials from the  
8 technical potential through the economic, including  
9 sensitivities and ending with the achievable potential?

10  
11 **A.** Yes, my Exhibit No. MRR-1, Document No. 15 provides a  
12 summary of each of the potentials developed that include  
13 the impacts of the sensitivities.

14  
15 **ADHERENCE TO F.A.C. RULES AND STATUTORY REQUIREMENTS:**

16  
17 **Q.** Has Tampa Electric provided an adequate assessment of the  
18 achievable potential of all available demand-side  
19 conservation and efficiency measures, including demand  
20 response and distributed energy resources?

21  
22 **A.** Yes, Tampa Electric has conducted an adequate assessment  
23 of the full technical, economic and achievable potentials  
24 of all available demand-side conservation and efficiency  
25 measures including demand response and distributed energy

1 resources. The company employed a reasonable approach to  
2 identifying administrative costs and incentives for the  
3 measures and evaluated the measures against the  
4 appropriate supply-side avoided cost data.

5  
6 **Q.** Does the evaluation process utilized by Tampa Electric to  
7 establish its proposed DSM goals for the 2020-2029 period  
8 address the requirements of Rule 25-17.0021, F.A.C.?

9  
10 **A.** Yes, the Rule requires a utility to:

- 11 1) Project its proposed DSM goals in both the  
12 residential and commercial/industrial sectors.
- 13 2) Give consideration to measures applicable for new  
14 and existing construction.
- 15 3) Ensure that major end-use categories specified in  
16 the Rule be assessed.
- 17 4) Consider such things as overlapping measures,  
18 appliance efficiency standards, interactions with  
19 building codes, free-riders, rebound effects and the  
20 utility's latest monitoring and evaluation data.

21  
22 The comprehensive DSM measure list developed by the FEECA  
23 utilities and Nexant for Electric Energy and Peak Demand  
24 savings for Tampa Electric, and the company's overall  
25 evaluation process for its technical potential to its

1 proposed DSM goals for the 2020-2029 period fully meet  
2 the requirements of Rule 25-17.0021, F.A.C.

3  
4 **Q.** Has Tampa Electric provided an adequate assessment of the  
5 full technical potential of all available demand-side  
6 conservation and efficiency measures, demand response and  
7 demand-side renewable energy systems?

8  
9 **A.** Yes, Tampa Electric, in conjunction with the other FEECA  
10 utilities, developed a comprehensive DSM measure list.  
11 Subsequently, the company conducted an adequate  
12 assessment of the full technical potential of all  
13 available demand-side conservation and efficiency  
14 measures, demand response and distributed energy  
15 resources which included renewable energy systems. A  
16 total of 301 measures, including energy efficiency,  
17 demand response and distributed energy resources measures  
18 were identified and evaluated by the company. These 301  
19 measures and the additional residential and commercial  
20 segmentation required over 70,000 cost-effectiveness  
21 evaluations.

22  
23 **Q.** How has Tampa Electric incorporated supply-side  
24 efficiencies into its planning process?

25

1    **A.**   Supply-side efficiencies include improvements in  
2           generation, transmission and distribution.   Therefore,  
3           Tampa Electric's motivation to deliver electric service  
4           to its customers in the most economical and efficient  
5           manner possible makes executing supply-side efficiencies  
6           a naturally occurring result.   A review of Tampa  
7           Electric's plans for supply-side endeavors is an inherent  
8           element of the company's annual Ten-Year Site Plan which  
9           is routinely reviewed by this Commission.   Furthermore,  
10          both supply-side efficiency and conservation resources  
11          are analyzed in every need determination for new sources  
12          of generation.   When Tampa Electric selects its avoided  
13          supply-side costs for utilization in DSM cost-  
14          effectiveness evaluations, it is selecting resources that  
15          have previously been reviewed and determined to be  
16          efficient.   Of further note is the fact that while  
17          efficiency improvements in supply-side resources are  
18          important, these improvements have a tendency to reduce  
19          potential savings available through DSM activity.

20  
21    **Q.**   Does Tampa Electric's proposed DSM goals adequately  
22          reflect the costs and benefits to customers who will  
23          participate in programs developed to promote DSM  
24          measures?

25

1     **A.**    Yes, through Tampa Electric's, the other FEECA utilities  
2            and Nexant's work to develop the technical potential  
3            study with updated baselines and incremental equipment  
4            costs, the company's proposed RIM-based DSM goals  
5            adequately reflect the costs and benefits to customers  
6            who will participate in programs developed to promote DSM  
7            measures.

8

9     **Q.**    Does Tampa Electric's proposed DSM goals adequately  
10            reflect the costs and benefits to the general body of  
11            ratepayers as a whole, including utility incentives and  
12            participant contributions?

13

14     **A.**    Yes, the surest way to adequately reflect the costs and  
15            benefits to the general body of ratepayers as a whole  
16            without subsidization within or across rate classes is to  
17            employ the continued use of the RIM cost-effective test  
18            for DSM goals setting and program approval. Since the  
19            inception of DSM in Florida, this Commission has a  
20            longstanding practice of utilizing the RIM test to  
21            provide fair, equitable and reasonable treatment for all  
22            ratepayers while minimizing overall rate impacts of DSM  
23            expenditures. Tampa Electric strongly encourages the  
24            Commission to continue this practice so as to establish  
25            meaningful DSM goals while minimizing overall rate

1 impacts.

2  
3 **PROJECTED 2020-2029 RESIDENTIAL BILL IMPACTS:**

4  
5 **Q.** For Tampa Electric, what are the 2020-2029 annual bill  
6 impacts on residential customers using 1,200 kWh/month  
7 for the projected RIM-based achievable portfolio and the  
8 projected TRC-based achievable portfolio?

9  
10 **A.** To make the determination of the 1,200 kWh/month annual  
11 residential bill impact for the 2020-2029 period relative  
12 to the RIM-based and TRC-based achievable portfolios,  
13 Tampa Electric's approach was to provide the total impact  
14 of each of these portfolios and also include the current  
15 ongoing costs of maintaining existing DSM on the  
16 company's system. These current ongoing costs  
17 principally included load management costs associated  
18 with maintaining the existing level of load management on  
19 the system, the costs to perform energy audits as  
20 required by Rule 25-17.003, F.A.C., projected research  
21 and development, supporting advertising for DSM programs,  
22 energy education and supporting administration  
23 activities. The results of these analyses for the 2020-  
24 2029 period are contained in my Exhibit No. MRR-1,  
25 Document No. 16 which provides the estimated ten-year

1 total cost for a 1,200 kWh/month bill would be \$356.78  
2 for the RIM-based achievable portfolios and \$516.13 for  
3 the TRC-based achievable portfolio.

4  
5 It is important to realize the dollar amounts for the RIM  
6 and TRC achievable portfolios are estimates for only one  
7 customer's electric bill. A more realistic view is  
8 gained by looking at the impact across the company's  
9 entire system and thus its entire customer base. The  
10 estimated ECCR clause cost to deliver the RIM-based  
11 achievable portfolio for the 2020-2029 period is  
12 projected to be \$396.4 million. The estimated ECCR  
13 clause cost to deliver the TRC-based achievable portfolio  
14 for the 2020-2029 period is projected to be \$573.5  
15 million. Therefore, the TRC-based achievable portfolio  
16 is a \$177.1 million greater burden for customers.  
17 Furthermore, the RIM-based achievable portfolio, by  
18 definition of the RIM test, is cost-effective for both  
19 participating and non-participating customers; therefore,  
20 there are no losers. However, the TRC-based achievable  
21 portfolio is cost-effective for program participants but  
22 not for non-participants. Under the TRC-based achievable  
23 portfolio, non-participants will actually be subsidizing  
24 the program participants for their DSM efforts.  
25 Therefore, the RIM-based achievable portfolio is the more

1 cost-effective, less expensive, more reasonable and  
2 equitable approach to take in order to provide another  
3 resource to assist the company in meeting future system  
4 needs.

5  
6 **OTHER INFORMATION REQUESTED BY THE COMMISSION'S ORDER**  
7 **ESTABLISHING PROCEDURE:**

8  
9 **Q.** Does your testimony include the company's current DSM  
10 programs, that includes the historical participation  
11 rates, cumulative kW and kWh savings, measures included  
12 in each program and program impacts related to building  
13 code and appliance efficiency standards?

14  
15 **A.** Yes, in addition to the historical savings and impacts  
16 from appliance efficiency standards as previously  
17 discussed earlier, I am including descriptions of Tampa  
18 Electric's current portfolio of Commission approved DSM  
19 programs and the most recent annual and cumulative DSM  
20 achievements from the company's DSM programs in my  
21 Exhibit MRR-1, Document No. 17.

22  
23 **Q.** What goals, if any, should be established for increasing  
24 the development of demand-side renewable energy systems,  
25 pursuant to Section 366.82(2), F.S.?

1     **A.**     Currently, there are a few key reasons why there is not a  
2             need for having a goal or incentives for the development  
3             of demand-side renewable energy systems.     The company  
4             gained a lot of information when it offered incentives  
5             under the renewable energy systems initiative pilot  
6             program that was offered during the 2010 through 2015 DSM  
7             goals period and the company is continuing to see the  
8             price of solar renewable energy systems decrease.     The  
9             residential renewable energy systems still are not cost-  
10            effective in all three cost-effectiveness tests (TRC, RIM  
11            and PCT).     The commercial renewable energy systems passed  
12            under the RIM cost-effectiveness test but significantly  
13            failed the other two cost-effectiveness tests (TRC and  
14            PCT).     The residential and commercial renewable energy  
15            systems were both screened out without any program  
16            administration or incentive costs so they will not pass  
17            cost-effectiveness as a DSM program over the foreseeable  
18            horizon.     Another main reason for not having a goal or  
19            incentives for renewable energy systems is the current  
20            market, even with these systems being not cost-effective,  
21            many residential and commercial customers are making the  
22            choice to install these systems on their own or leasing  
23            these systems.     Since the renewable energy systems  
24            initiative pilot closed, the company has seen the  
25            following new customer interconnections of renewable

1 energy systems at the end of each of these years:

2 2016: 286

3 2017: 740

4 2018: 1,259

5

6 **Q.** If the renewable energy systems passed cost-  
7 effectiveness, would Tampa Electric offer a DSM program  
8 that had goals and incentives for these systems?

9

10 **A.** Yes, if the renewable energy systems passed cost-  
11 effectiveness and the other screening that is performed,  
12 Tampa Electric would design a DSM program to offer and  
13 incentivize the installation of renewable energy systems.

14

15 **Q.** Does Tampa Electric support renewable energy system  
16 installations?

17

18 **A.** Yes, the company supports both customer and utility  
19 installed renewable energy system installations. When  
20 customers install a renewable energy system, the  
21 interconnection process they go through is very customer  
22 friendly and we have many solar experts that will assist  
23 the customer with any questions. From a utility  
24 perspective, in 2017, Tampa Electric committed to add 600  
25 MW of solar renewable energy systems and is committed to

1 making its generation fleet cleaner and greener.

2  
3 **Q.** Does Tampa Electric see any need for a different type of  
4 program to increase the development of demand-side  
5 renewable energy systems?

6  
7 **A.** Tampa Electric believes there is a need for more energy  
8 education surrounding all of the potential options that a  
9 customer can choose if they want their energy needs to  
10 come from a renewable energy system. With the increase  
11 in home systems ownership, leasing opportunities,  
12 participation in a renewable block program, participation  
13 in a community shared solar program, or some of the other  
14 mechanisms that we see around the United States today.  
15 More education around these options is still needed.

16  
17 **CONCLUSIONS:**

18  
19 **Q.** What overall DSM goals are reasonably achievable for  
20 Tampa Electric for the 2020-2029 period?

21  
22 **A.** Based on the thorough and rigorous analysis performed by  
23 Nexant and Tampa Electric for this current DSM goals  
24 setting process, the company's reasonably achievable  
25 generator level combined RIM-based DSM goals for the

1           2020-2029 period are:  
2                   Summer Demand:           79.7 MW  
3                   Winter Demand:           43.3 MW  
4                   Annual Energy:           165.0 GWh

5  
6           These amounts are detailed on an annual basis for both  
7           the residential and commercial/industrial sectors in my  
8           Exhibit No. MRR-1, Document No. 1.

9  
10          By accomplishing these DSM goals, Tampa Electric will  
11          increase overall energy efficiency in its service area  
12          and lower electric rates for all customers. The company  
13          is quite aware that keeping electric rates as low as  
14          possible while advancing broad scale efforts of overall  
15          conservation is important to its customers and therefore  
16          the company.

17  
18          **Q.** Does the methodology used by Tampa Electric to set DSM  
19          goals for the 2020-2029 period comply with statutory and  
20          F.A.C. requirements?

21  
22          **A.** Yes. Tampa Electric began its evaluation with having a  
23          technical potential study developed that utilized a  
24          comprehensive and up to date list of potential DSM  
25          measures for residential and commercial and industrial

1 sectors. These measures were applied over multiple  
2 construction and building types and considered several  
3 aspects of measure interaction as well as free-ridership  
4 consideration. Tampa Electric adhered to statutory  
5 requirements by developing estimated economic and  
6 achievable potentials while properly reflecting cost and  
7 benefits to all customers. Additionally, Tampa Electric  
8 utilized a sound, proven approach that has been used and  
9 approved in principle by this Commission in past DSM  
10 goals setting proceedings.

11  
12 **Q.** Does Tampa Electric's proposed DSM goals provide a cost-  
13 effective means for all ratepayers to help meet the need  
14 for additional generation through 2029?

15  
16 **A.** Yes, through the continued use of the RIM cost-  
17 effectiveness test, Tampa Electric has assured its  
18 ratepayers that the most cost-effective resources will be  
19 used to meet future capacity needs.

20  
21 **Q.** Should Tampa Electric's proposed 2020-2029 DSM goals be  
22 approved?

23  
24 **A.** Yes. Tampa Electric's proposed 2020-2029 DSM goals meet  
25 rule and statutory requirements, are cost-effective for

1 participants and non-participants, help to minimize the  
2 rate impact for future capacity needs, addresses the  
3 desires and needs of its customers, and are reasonably  
4 achievable.

5  
6 **Q.** Are the Company's proposed goals based on an adequate  
7 assessment of the full technical potential of all  
8 available demand-side and supply-side conservation and  
9 efficiency measures, including demand-side renewable  
10 energy systems, pursuant to Section 366.82(3), F.S.?

11  
12 **A.** Yes.

13  
14 **Q.** Does the Company's proposed goals adequately reflect the  
15 costs and benefits to customers participating in the  
16 measure, pursuant to Section 366.82(3)(a), F.S.?

17  
18 **A.** Yes.

19  
20 **Q.** The Company's proposed goals adequately reflect the costs  
21 and benefits to the general body of ratepayers as a  
22 whole, including utility incentives and participant  
23 contributions, pursuant to Section 366.82(3)(b), F.S.?

24  
25 **A.** Yes.

1   **Q.**   Does the Company's proposed goals adequately reflect the  
2           need for incentives to promote both customer-owned and  
3           utility-owned energy efficiency and demand-side renewable  
4           energy systems, pursuant to Section 366.82(3)(c), F.S.?

5

6   **A.**   Yes.

7

8   **Q.**   Does the Company's proposed goals adequately reflect the  
9           costs imposed by state and federal regulations on the  
10          emission of greenhouse gases, pursuant to Section  
11          366.82(3)(d), F.S.?

12

13   **A.**   Yes.

14

15   **Q.**   What cost-effectiveness test or tests should the  
16          Commission use to set goals, pursuant to Section 366.82,  
17          F.S.?

18

19   **A.**   The RIM-based cost-effectiveness test.

20

21   **Q.**   Does the Company's proposed goals appropriately reflect  
22          consideration of free riders?

23

24   **A.**   Yes.

25

1    **Q.**    What residential summer and winter Megawatt (MW) and  
2           annual Gigawatt-hour (GWh) goals should be established  
3           for the period 2020-2029?  
4

5    **A.**    Tampa Electric's reasonably achievable generator level  
6           combined RIM-based Residential DSM goals for the 2020-  
7           2029 period are:

8                   Summer Demand:           53.9 MW  
9                   Winter Demand:           25.5 MW  
10                  Annual Energy:           103.6 GWh  
11

12   **Q.**    What commercial/industrial summer and winter Megawatt  
13           (MW) and annual Gigawatt hour (GWh) goals should be  
14           established for the period 2020-2029?  
15

16   **A.**    Tampa Electric's reasonably achievable generator level  
17           combined RIM-based Commercial/Industrial DSM goals for  
18           the 2020-2029 period are:

19                   Summer Demand:           25.8 MW  
20                   Winter Demand:           17.8 MW  
21                  Annual Energy:           61.4 GWh  
22

23   **Q.**    Does this conclude your testimony?  
24

25   **A.**    Yes.

1 BY MR. MEANS:

2 Q Mr. Roche, did you also prepare and cause to  
3 be filed with your direct testimony an exhibit marked  
4 MRR-1 consisting of 17 documents?

5 A Yes, I did.

6 MR. MEANS: And, Mr. Chairman, this exhibit is  
7 identified as Exhibit 63 on staff's comprehensive  
8 exhibit list.

9 CHAIRMAN GRAHAM: Duly noted.

10 BY MR. MEANS:

11 Q And Mr. Roche, did you cause to be filed an  
12 errata to Exhibit MRR-1 on August 5th, 2019?

13 A Yes, I did.

14 Q Other than those changes, do you have any  
15 other changes to your exhibit?

16 A No, I don't.

17 Q Mr. Roche, did you prepare a summary of your  
18 direct testimony?

19 A Yes, I did.

20 Q Will you please read that summary?

21 A Yes.

22 Good afternoon, Commissioners. My direct  
23 testimony describes the comprehensive, thorough and  
24 rigorous analysis used by Tampa Electric and Nexant to  
25 develop the full technical potential. I also support

1 the company's proposed DSM goals for the 2020 through  
2 2029 period.

3 Our proposed goals before you are based upon  
4 Tampa Electric's most recent resource planning process.  
5 The goals are aggressive and, at the same time, are  
6 reasonably achievable and cost-effective for all  
7 customers.

8 The method employed by the company to  
9 establish these goals fully adheres Rule 25-17 of the  
10 Florida Administrative Code. It is consistent with  
11 approved practices established in previous goals  
12 hearings, and it specifically follows the Commission's  
13 order establishing procedure for this proceeding.

14 To develop the proposed goals, Tampa Electric  
15 followed the systematic and thorough process and  
16 documented each step to ensure transparency. Tampa  
17 Electric took two years to carry out this process to  
18 ensure the completeness of the technical potential and  
19 accuracy of the achievable potential.

20 The process required the cost-effective  
21 analysis of 278 individual measures across various  
22 customer segments in which no customer segment was left  
23 out. To analyze these measures accurately, the company  
24 performed over 70,000 cost-effective evaluations.

25 Tampa Electric's proposed goals were developed

1 utilizing the Rate Impact Measure test in conjunction  
2 with the Participant Cost test. This method assures  
3 compliance with the Florida Statutes, and then it  
4 recognizes the costs and benefits to participating  
5 customers and the costs and benefits to the general body  
6 of ratepayers as a whole, ensuring fairness for both  
7 participating and nonparticipating customers.

8 Tampa Electric believes the continued use of  
9 the Rate Impact Measure test in conjunction with the  
10 Participant Cost test remains the most appropriate  
11 cost-effective approach to establish DSM goals. The use  
12 of this combination ensures the DSM programs eventually  
13 approved will be beneficial to all customers, will place  
14 the least amount of upward pressure on rates, and will  
15 avoid creating cross-subsidies across or among the  
16 company's customers.

17 This goal development process and the rigorous  
18 analysis I just described have delivered significant  
19 success for Tampa Electric and its customers, and for  
20 the other Florida utilities and their customers as well.

21 Tampa Electric's proposed DSM goals were  
22 carefully developed in a manner fully compliant with  
23 FEECA and your implementing rules. The goals achieve  
24 the proper balance of aggressiveness in the pursuit of  
25 demand and energy savings, but at the same time being

1 cost-effective and free of cross-subsidization for all  
2 customers.

3 Based on these facts, and the other matters  
4 discussed in great detail in my testimony, Tampa  
5 Electric asks the Commission to approve the DSM goals  
6 that we have proposed for the company.

7 Thank you.

8 MR. MEANS: We tender the witness for cross.

9 CHAIRMAN GRAHAM: Thank you.

10 Mr. Roche, welcome.

11 THE WITNESS: Thank you, Chairman Graham.

12 CHAIRMAN GRAHAM: OPC.

13 EXAMINATION

14 BY MS. FALL-FRY:

15 Q Good afternoon.

16 A Good afternoon.

17 Q According to your testimony, you only used RIM  
18 in conjunction with the PCT to set your DSM goals,  
19 correct?

20 A Yes, to establish the proposed goals of the  
21 generator level at Tampa Electric, we used the Rate  
22 Impact Measure test and the Participant Cost test. And  
23 we also used the Total Resource Cost test in conjunction  
24 with the Participant Cost test just to kind of get a  
25 look at what we call achievable potential for TRC.

1           **Q**     **Right. But when you set your actual goals,**  
2     **you didn't use -- you used the goals that were**  
3     **consistent -- you set your achievable potential based on**  
4     **the RIM test, though?**

5           **A**     **Yes, the goals we recommend for approval to**  
6     **the Commission is based upon the Rate Impact Measure**  
7     **test and the Participant Cost test.**

8           **Q**     **Okay, thank you.**

9                   **And TECO has low income residential DSM**  
10    **programs, right?**

11          **A**     **That is correct. We have two.**

12          **Q**     **And your low income program includes programs**  
13    **that have not passed the Rate Impact Measure test?**

14          **A**     **As a whole, those programs typically do not**  
15    **pass cost-effectiveness because we pay for everything**  
16    **for those customers. You know, we recognize that**  
17    **customers, at times, may not have the financial**  
18    **wherewithal to actually, you know, I would say, you**  
19    **know, spend the dollars to actually participate in kind**  
20    **of an incentive or a rebate type program. And since**  
21    **those customers actually do chip into the energy**  
22    **conservation cost recovery clause, we think it's**  
23    **important that they have an opportunity to participate**  
24    **in programs as well, but --**

25          **Q**     **Thank you.**

1           **And some of those programs included less than**  
2   **a two-year payback, right?**

3           A     Yes. Both programs actually include measures.  
4   There is five measures in the energy efficiency kit for  
5   energy education awareness and outreach program. And  
6   then there is 11 measures in our weatherization program.

7           Two of those measures in the 11 are  
8   cost-effective and actually are run as separate DSM  
9   programs. The other nine measures, you know, we  
10  typically, when we design the program, those are going  
11  to give us, you know, kind of a lot of energy savings.  
12  So when those are coupled together, it becomes a pretty  
13  effective program for those customers.

14          **Q     Okay. And you are planning to retain those**  
15  **programs?**

16          A     Yes. We will probably get rid of at least one  
17  measure that I -- I heard the, you know, proverbial  
18  water heater wrap, you know, all water heaters after  
19  1996 are required to have insulation. So it's probably  
20  time that that is actually -- that portion is retired.

21          **Q     And the megawatts associated with those**  
22  **programs that you retain, you agree that they should be**  
23  **included in your 2020 to 2029 DSM goals?**

24          A     Yes. I agree and recommend that those  
25  contributions, that those achievements actually go

1 toward contributions to the DSM goals that we are  
2 finally approved by the Commission, yes.

3 **Q Okay, thank you.**

4 MS. FALL-FRY: No further questions.

5 CHAIRMAN GRAHAM: Okay. Ms. Wynn?

6 MS. WYNN: No.

7 CHAIRMAN GRAHAM: Kelley?

8 MS. CORBARI: No questions.

9 CHAIRMAN GRAHAM: SACE.

10 MR. MARSHALL: Thank you. We have a lot of  
11 exhibits that I believe have --

12 CHAIRMAN GRAHAM: Actually, what I propose,  
13 the next one we have is 345. Let's call this the  
14 SACE/TECO composite, and we are with 345.

15 MR. MARSHALL: Okay.

16 (Whereupon, Exhibit No. 345 was marked for  
17 identification.)

18 CHAIRMAN GRAHAM: And if you need to ask any  
19 questions about it, just tell us which ones.

20 MR. MARSHALL: All right, I will. And there  
21 are a few questions we have from the composite.

22 CHAIRMAN GRAHAM: Sure.

23 EXAMINATION

24 BY MR. MARSHALL:

25 **Q And the first one will be regarding the first**

1 page of the composite, 345, where it's description  
2 excerpt from TECO 2018 DSM program accomplishments  
3 report.

4 A Yes, I have it.

5 Q And if I could direct your attention to the  
6 last page of that report.

7 A I have it.

8 Q And this reports the Tampa Electric Company's  
9 accomplishments for its neighborhood weatherization  
10 program for 2018?

11 A Yes.

12 Q And that is a low income program?

13 A It is.

14 Q And in 2018, Tampa Electric actually  
15 accomplished almost 10 gigawatt hours of energy  
16 reductions at the generator?

17 A That is correct.

18 Q And had over 7,000 participants?

19 A Yes.

20 Q Did you -- were you here when Mr. Koch from  
21 Florida Power & Light discussed their 34 gigawatt hour  
22 goal for low income programs over the next 10 years?

23 A I was in the room, but I am not here to speak  
24 about Florida Power & Light.

25 Q Well, is it fair to say that in 2018, Tampa

1 **Electric accomplished more than 3.4 gigawatt hours of**  
2 **savings for their low income weatherization program?**

3 A I can tell you, on our report we achieved the  
4 9.792 gigawatt hours.

5 Q **And that's more than 3.4?**

6 A Mathematically, yes.

7 Q **And Tampa Electric Company is a smaller**  
8 **utility than Florida Power & Light?**

9 A Yes, it is a smaller utility. Less customers,  
10 yes.

11 Q **If I could direct your attention next, we are**  
12 **going to go to the one that says TECO response to**  
13 **staff's first set of interrogatories No. 26. I think**  
14 **it's the very last one of the composite.**

15 A Oh, I thought you were going in order, my  
16 friend.

17 Q **I think this one might be out of order, but**  
18 **hopefully the rest will be close to order.**

19 A Excerpt from Exhibit No. 241?

20 Q **Yes.**

21 A Okay.

22 Q **Wait -- yeah, this is excerpt No. 26 from**  
23 **TECO's first set of interrogatories.**

24 A Interrogatory 38?

25 CHAIRMAN GRAHAM: No. The very last one in

1           your composite.

2           MR. MARSHALL: It should be Interrogatory No.  
3           26.

4           CHAIRMAN GRAHAM: It says excerpt No. 26.

5           THE WITNESS: Got it, from staff's first set?

6           CHAIRMAN GRAHAM: Yes.

7 BY MR. MARSHALL:

8           Q     I am looking at the table attached. It  
9           provides the lost revenue for the, both the TRC and the  
10          RIM achievable potential?

11          A     That is correct.

12          Q     And looking down to 2029, the lost revenue  
13          value for the TRC achievable potential is lower than the  
14          RIM achievable potential?

15          A     Yes.

16          Q     And similarly, the basis point impact is also  
17          lower under the TRC achievable potential?

18          A     That is correct. That's just a function of  
19          math at that point.

20          Q     All right. Going back to sort of the front of  
21          the composite to the one that is described as TECO's  
22          response to SACE POD 3, Bates-stamped 198.

23          A     Yes, I have it.

24          Q     And this would -- this spreadsheet would  
25          include the residential energy efficiency achievable

1 **potential for TECO?**

2 A This is the spreadsheet right before the  
3 measures actually get combined. When measures come from  
4 the technical potential, they are broken up by customer  
5 segments. You know, like our residential is going to be  
6 broken up into a single family home, multi-family,  
7 manufactured home.

8 So you have all these customer segments going  
9 from the technical potential to the economic potential,  
10 and then you keep running them down, but eventually you  
11 need to be able to combine them into one to run an  
12 achievable potential on that one program because you are  
13 not going to have, like, a ceiling insulation program  
14 just for single family. You would want a program that  
15 is designed to basically cover all of those customer  
16 segments.

17 **Q And in this spreadsheet, you have utility**  
18 **nonrecurring costs for each of those measures?**

19 A Yes.

20 **Q And that would represent the administrative**  
21 **costs?**

22 A Yeah. Those are our administrative costs, and  
23 we base those upon our light programs.

24 Currently, we have 36 conservation programs in  
25 our portfolio, 14 residential, 22 commercial. So we

1 have good experience with how much one of these programs  
2 should cost us, yes.

3 **Q And so, just to be clear, TECO did not use the**  
4 **Nexant administrative costs for the measures?**

5 A No. We developed our own economic and  
6 achievable potential.

7 **Q And so TECO only assigned \$30 of**  
8 **administrative costs to the variable speed pool pump,**  
9 **for example?**

10 A That is correct.

11 **Q And for duct repair, only \$18?**

12 A Yes.

13 **Q And for ceiling insulation, utility**  
14 **nonrecurring costs were \$50?**

15 A That is correct.

16 **Q And the same administrative costs were**  
17 **assigned to ceiling insulation for both R-2 to R-38 and**  
18 **R-12 to R-38?**

19 A Right. There would be no difference in having  
20 an attic inspection before the actual work is done.  
21 Then the customer actually completes the work, notifies  
22 the utility. Then we have a requirement to go out and  
23 actually post verify at least one of every 10  
24 installations to ensure it's in compliance with the  
25 program standards.

1           **Q     Switching subjects, if I could direct your**  
2 **attention to your testimony. Do you have a copy of your**  
3 **testimony with you?**

4           **A     I do.**

5           **Q     To page 20.**

6           **A     Okay, I am there.**

7           **Q     And on this page, you cite a few different**  
8 **analyses from the Energy Information Administration**  
9 **ranking Florida in relation to other states.**

10          **A     That is correct. When I developed this, you**  
11 **know, Florida has a great history of doing demand-side**  
12 **management for almost four decades. So when you look at**  
13 **the cumulative amount of DSM that has been accomplished**  
14 **as well, at the same time, to keep customer rates lower**  
15 **than the national average, I think that's pretty**  
16 **commendable.**

17          **Q     And so for example, you look at the average**  
18 **retail price of electricity to the residential sector**  
19 **and find that Florida ranked 26?**

20          **A     Yes.**

21          **Q     If I could direct your attention to the next**  
22 **part of the composite exhibit, 2017 average residential**  
23 **monthly bill for EIA data.**

24          **A     I have it.**

25          **Q     And according to this, the average monthly**

1 **residential electricity bill is \$126.44?**

2 A Let me catch up to you.

3 **Q Sure.**

4 A Yeah, that's for the state of Florida. Tampa  
5 Electric's average bill is around \$104.

6 **Q And subject to check, Florida on here, that  
7 would be the eighth highest of in the nation for  
8 electricity bills?**

9 A Yeah, but we have a very, like, high heating  
10 load climate, so there is much more cooling hours in  
11 Florida. So comparing the total bill to what a customer  
12 uses -- I mean, I heard the discussion earlier with  
13 Washington, DC, their climate heating and cooling hours  
14 are much, much different than the state of Florida.

15 **Q But you don't dispute the numbers on this  
16 sheet?**

17 A No, I don't have any -- I mean, I like the  
18 Energy Information Administration, so --

19 **Q If I could direct your attention to the next  
20 part of the composite exhibit, TECO's response to SACE's  
21 POD 3 BS 186?**

22 A I have it.

23 **Q And we can take the next two as well at the  
24 same time I think, BS 188 and BS 195.**

25 A I have them.

1           **Q     What are these documents?**

2           A     Yeah.  These are documents, when you get down  
3     to the achievable potential, when you are getting into  
4     the -- you know, you have calculated your maximum  
5     incentive that you can pay those customers, both on a  
6     RIM basis and on a TRC basis, we need to actually  
7     project their participation.  So we will use Bass models  
8     and adoption curves to formulate how are customers going  
9     to adopt the technology so we can actually, you know,  
10    project an accurate customer participation rate.

11                 We will look at, like, our historical  
12    participation in our programs just to validate whether  
13    or not we are actually seeing that same participation  
14    along the curve.

15           **Q     And so what do you find when you compare it to  
16    your own internal surveys?**

17           A     Yeah, customers don't really participate like  
18    adoption curves, because those are kind of like  
19    theoreticals, where they assume, hey, you know,  
20    everybody is kind of in the same boat.  It's kind of  
21    like mashed potatoes, it's very lumpy at times.

22           **Q     Turning your attention to TECO's load  
23    forecasting.  TECO's load forecast does not assume that  
24    there would be no additional adoption by consumers of  
25    energy efficiency measures above the baseline codes and**

1 **standards over the next 10 years?**

2 A Can you repeat that question?

3 Q Sure.

4 **TECO's load forecast does not assume that**  
5 **there would be no additional adoption by its customers**  
6 **of energy efficiency measures above the baseline codes**  
7 **and standards?**

8 A Yeah, maybe it's better if I just answer it  
9 the way I understand our load forecast is done.

10 Our annual load forecast includes natural  
11 occurring demand-side management, which could be, you  
12 know, customers adopting technologies that are higher  
13 efficiency. Could be such as doing maintenance on an  
14 existing piece of equipment to make it last longer than  
15 the manufacturer's rated life. Could be, you know, as  
16 simple as, you know, some behavioral change that a  
17 customer is doing out of an energy audit that our load  
18 forecasting folks will actually see. You know, it could  
19 be, you know, removing the second refrigerator out of  
20 the, you know, the garage.

21 And we don't really know what's kind of  
22 happening in that sector, so that natural occurring is  
23 projected, as well as we know the impact from building  
24 code and appliance standards.

25 Q **And so TECO, in its load forecasting, assumes**

1     **that the energy consumption trends will continue in a**  
2     **similar manner to the past?**

3           A     I think we are going to -- well, we forecasted  
4     a little bit slower customer growth, so it won't really  
5     rise as rapidly as we have kind of seen in the past.  
6     It's kind of still increasing, just at a diminishing  
7     rate.

8           Q     **What I guess I am trying to get at, though, is**  
9     **that in its load forecasting, it assumes that customers**  
10    **will continue to adopt measures above baseline codes and**  
11    **standards into the future as they have done in the past?**

12          A     Yes, that's correct. Yeah.

13          Q     **And so it is not TECO's contention that the**  
14    **load forecast utilized by Nexant in this proceeding**  
15    **assumed that TECO's customers would adopt zero**  
16    **additional energy efficiency measures above baseline**  
17    **codes and standards over the next 10 years?**

18          A     I think that's only part of it.

19          Q     **And then TECO does contend that the load**  
20    **forecasts it gave Nexant were accurate?**

21          A     Yes. Knowing the -- how, I guess, important  
22    the load forecast is to our load research and  
23    forecasting team, I would definitely say it was  
24    accurate.

25          Q     **TECO also believes that if a measure has a**

1     **payback of less than two years, the customer should**  
2     **purchase and install that measure without any additional**  
3     **economic incentive?**

4           A     Yes. Tampa Electric has actually used the  
5     two-year payback screen when we initially filed for it  
6     in 1991, when we rolled out our custom and -- our custom  
7     commercial/industrial incentive program, and it has  
8     actually been used since that time exclusively as the  
9     method to consider free-ridership.

10           **Q     And TECO has not performed or commissioned any**  
11     **studies or reports to form that belief?**

12           A     That is correct. We have not done a study for  
13     it. You know, one of the things when we run programs,  
14     we want to be good stewards of our customers' money. If  
15     we are going to conduct that complex study, you know, as  
16     I mentioned in my discovery responses, that we would  
17     outsource that just because I think that if Tampa  
18     Electric performed that study, and if it was any  
19     different than maybe a different person viewed it. So  
20     imagine if it went to a four-year simple payback, I  
21     think the discussion now would be much more kind of  
22     emphatic.

23           **Q     And then so TECO has not conducted a customer**  
24     **survey to assess the percent and number of free rider**  
25     **customers participating in its DSM programs?**

1 A No.

2 Q If I could direct your attention to your  
3 testimony, document No. 13, page one. This will be  
4 page -- marked as page 180 at the bottom.

5 A Yes, I have it.

6 Q So at the generator, the RIM based achievable  
7 potential was 165 -- I am sorry, I think I have made  
8 a --

9 A That is the combined goal for the -- proposed  
10 for the company, 165 gigawatt hours at the generator.

11 Q Yes. And for TRC, as reflected on the next  
12 page, that was 414.6 gigawatt hours?

13 A That is correct.

14 Q If I could direct your attention to document  
15 No. 17, page five of five.

16 A Yes.

17 Q In 2018, TECO achieved 50.8 gigawatt hours of  
18 combined energy savings?

19 A That is correct.

20 There are some numbers to understand kind of  
21 behind there. If you look at the numbers, like in 2018,  
22 some of our participation was actually from some very  
23 large customers participating in an interruptible  
24 program, which those have significant energy savings.  
25 So when you look at, like the, you know, the 30.2 in

1 2017, or the 33.7 gigawatt hours in 2018, those are due  
2 to very large customers, like one-off's participating in  
3 the program, which is greatly influencing that number to  
4 be driven upward.

5 **Q But even looking at the residential, the**  
6 **percent -- the total achieved, for example, for 2018 is**  
7 **280 percent higher than the Commission approved goal?**

8 A Yes. But to understand how the company  
9 actually accomplishes the residential goals, if you --  
10 you know, summer peak megawatts is, I would say,  
11 relatively easy. But that winter peak goal, if you look  
12 at that, you know, we exceeded it.

13 Yeah, it's 123 percent, but typically the  
14 company has to work very, very hard to actually  
15 accomplish that residential winter goal. So typically  
16 that -- when you try to really hit that winter goal,  
17 that's going to bring on a whole bunch more annual  
18 energy along with it.

19 **Q And TECO has hit those goals?**

20 A Say again.

21 **Q And TECO has hit those goals?**

22 A Yes. It's actually very important to us to  
23 actually accomplish the goals as put forth by the  
24 Commission.

25 **Q If TECO kept doing 50.8 gigawatt hours of**

1 energy -- combined energy savings per year, that would  
2 actually be greater than its TRC achievable potential of  
3 414.6 gigawatt hours over the next 10 years?

4 A Yeah, that is true. But I think there is some  
5 things to understand with -- between RIM and TRC.

6 You know, RIM favors programs that have high  
7 demand savings. Where we look at lost revenue, that  
8 kind of hurts you in that formula, even though there is  
9 other, you know, good things in that denominator as far  
10 as RIM, as far as the program costs, the incentives,  
11 those are actually baked in.

12 But I think when you look at RIM, that favors  
13 the demand side of the equation, so that you can  
14 actually defer the power plant. Where, when you look at  
15 TRC, you know -- and even in that goal, like the TRC  
16 amount is probably three times the amount as the 165, or  
17 it's close if you look at the amount of demand that's  
18 put forth by TRC.

19 And that's because TRC actually favors, like I  
20 will say, inexpensive type of technologies, because  
21 really what -- I say submarines, or causes  
22 cost-effectiveness to fail for TRC is the incremental  
23 costs. Okay, so what happens is you are kind of there,  
24 and you are investing all this money with TRC, but you  
25 are not really deferring the power plant, okay.

1           So when you look at kind of a revenue  
2 requirement, you know, your revenue requirement went up  
3 for the actual generating source, but the problem with  
4 TRC is because it favors those inexpensive -- those  
5 programs and measures, you get a boatload of energy  
6 savings.

7           So what happens is your revenue requirement  
8 goes up, so when you bring it over to develop your rate,  
9 now I have a much lower kilowatt hour kind of sales  
10 portion, so that actually drives the rate up, right. So  
11 when you look at Total Resource Cost, you know, that's  
12 why we say it subsidizes because, you know, if I have  
13 one customer participating, their electric bill goes  
14 down. Well, somebody is going to have to make that up,  
15 and that's going to be those nonparticipants.

16           **Q     And I think you are anticipating my next**  
17 **question here, so I think that was a helpful**  
18 **explanation.**

19           **So if you look at, for example, document No.**  
20 **16 of your testimony.**

21           A     Yes, I am there.

22           **Q     And this includes -- on this table, you have**  
23 **the total annual DSM portfolio costs for both RIM and**  
24 **TRC?**

25           A     That is correct. 396 million for the RIM

1 portfolio over the 10 years, and then an additional  
2 177 million on top of that to afford the TRC portfolio.

3 Q And so that RIM portfolio of 396 million, if  
4 you divided that by the 165 gigawatt hours of the RIM  
5 achievable potential, that would be about \$2.4 million  
6 per gigawatt hour of savings?

7 A Yeah, I will accept your math.

8 Q And similarly, doing it for TRC, with the  
9 total portfolio cost of 573,475,000 almost 476,000,  
10 dividing that by the 414.6 gigawatt hours, that would be  
11 about a little less than 1.4 million per gigawatt hour  
12 of energy savings?

13 A Like I said, I will accept your math. I think  
14 the issue is when you actually look at both of those  
15 combined. So one, if I use a TRC portfolio, I am  
16 putting a lot of pressure to actually increase rates and  
17 cause cross-subsidization, where RIM, I don't have that  
18 issue.

19 Also in TRC, right now I have a higher  
20 portfolio cost. So now my energy conservation cost  
21 recovery clause goes up. So really I have my rates  
22 going up and clause rate going up, and it's kind of  
23 exacerbating the problem.

24 Q Thank you.

25 MR. MARSHALL: No further questions.

1 CHAIRMAN GRAHAM: Staff.

2 EXAMINATION

3 BY MS. DZIECHCIARZ:

4 Q Good afternoon, Mr. Roche. This is Rachael  
5 Dziechciarz with Commission staff.

6 A Good afternoon, Rachael.

7 Q So I just have a few questions about TECO's  
8 use of the two-year payback screening.

9 Is it correct that -- well, we have already  
10 established that TECO used the two-year payback  
11 screening, correct?

12 A Yes, ma'am.

13 Q Did TECO consider using any alternative  
14 method, such as surveys or historic data, to account for  
15 free riders in this proceeding?

16 A Not at this time, no.

17 Q And did TECO consider using a shorter or  
18 longer payback period for screening its free riders in  
19 this proceeding?

20 A In the process to get to the achievable  
21 potential for the proposed goals, we would continue the  
22 recommendation to continue with the two-year payback.  
23 We did, just as all of the other FEECA utilities, you  
24 know, do the sensitivities at the economic potential for  
25 the one- and three-year basically simple payback screen.

1           **Q     Okay. Thank you.**

2                   **And why does TECO believe that the two-year**  
3 **payback screening is the best method to address free**  
4 **riders?**

5           A     Yeah, I think some of the other witnesses I  
6 thought said it really well. That it's a reasonable  
7 approach. It's effective. It doesn't cost a bunch of  
8 money. You know, a free rider is a customer that  
9 actually receives a rebate. So it actually received the  
10 rebate, but they were going to actually purchase the  
11 equipment on their own.

12                   So the purpose of the free-ridership  
13 consideration is to try to prevent that from happening.  
14 It's not a perfect science to actually do that, but you  
15 want to limit to as much as practical. So in other  
16 words, you know, I don't want to go out there and spend,  
17 you know, \$4 in conservation clause money to save a  
18 dollar over here. It just doesn't make cost-effective  
19 sense to actually do that.

20           **Q     Okay. Thank you.**

21                   MS. DZIECHCIARZ: Staff has no more questions.

22                   CHAIRMAN GRAHAM: Okay, Commissioners.

23                   Commissioner Brown.

24                   COMMISSIONER BROWN: Thank you.

25                   Mr. Roche, excellent testimony. Really

1 thorough prefiled testimony. Had a lot of  
2 information in it. Thank you for that, and for  
3 your testimony here today.

4 THE WITNESS: Thank you.

5 COMMISSIONER BROWN: Question about the  
6 participation rate, and I was trying to see where  
7 it was in your -- if it was there.

8 Has customer participation over all in the DSM  
9 programs offered by TECO increased since the last  
10 goal setting proceeding?

11 THE WITNESS: Yeah. I think, for the most  
12 part, our participation has really continued on,  
13 you know, from the prior DSM goals proceeding. I  
14 think there is other programs, you know, like we  
15 recently rolled out a on-line energy audit which --  
16 I mean, I think it was fabulous. It was, like, in  
17 the last six months, we've had 30,000 authenticated  
18 audits. So that's customers going in and actually  
19 entering, you know, a user ID and a password to  
20 actually go in and actually utilize the tool. So  
21 really, I would say it's probably been steady.

22 I think with our proposed goals, I don't  
23 really see a, like, a big drop projected for our  
24 participation going in the next five years either.

25 COMMISSIONER BROWN: One of your programs is

1 an R&D component, is that correct? A conservation  
2 R&D?

3 THE WITNESS: Yes. We are pretty active in  
4 the R&D component. You know, as you kind of asked  
5 the question about Grid Edge, or kind of like home  
6 energy management, we are looking at most likely  
7 filing in this DSM plan that will be subsequent to  
8 the, you know, the approval of the goals is an R&D  
9 project, or really a pilot program at that time, to  
10 look at solar canopy tied with batteries and to tie  
11 it with electric vehicle charging both for, like,  
12 large industrial type trucks as well as for  
13 vehicles.

14 We recently, about two months ago, we rolled  
15 out a home management system pilot that, you know,  
16 we use employees as kind of, I will say, the  
17 captive guinea pigs for that, just to test it out  
18 to see what they would do. But that would provide  
19 really realtime information to residential  
20 customers on, hey, is my refrigerator, you know, is  
21 my refrigerator running too often? But they would  
22 connect current transformers and the breaker on the  
23 appliances they select, and then they would get  
24 access to that information, or to put flags in  
25 there to provide warnings, et cetera.

1           About two years ago, we did a R&D project with  
2           the University of South Florida to look at  
3           commercial battery storage. And they did a  
4           wonderful report for that. When we got to the next  
5           phase of the project, it was really the cost of the  
6           commercial batteries that we were looking at  
7           purchasing and installing at two customer sites.  
8           Each battery was about a quarter of a million  
9           dollars, and that would exhaust our R&D budget  
10          quite rapidly. So we basically shelved that until  
11          we can say, hey, how, you know, does battery cost  
12          and that technology come down, so eventually one  
13          day we can kind of resurrect that R&D program.

14                 COMMISSIONER BROWN: That's great. All of  
15                 that sounds super exciting, and I appreciate the  
16                 work that you are doing, not use just for TECO and  
17                 all of its customers, but really for the whole  
18                 state.

19                 THE WITNESS: Yes, ma'am.

20                 CHAIRMAN GRAHAM: With regard to education on  
21                 conservation, Tampa Electric does a lot of  
22                 different things in the community. What type of  
23                 DSM programs do you do on the education front?

24                 THE WITNESS: Yeah, education is -- probably  
25                 the primarily front is our energy audits. So our

1 energy analysts are, they are all certified, some  
2 with some national level of energy management. So  
3 it's kind of our core, right? And they will go out  
4 and educate customers on, you know, quick paybacks,  
5 behavioral changes, even up to, like, things are  
6 much more, you know, costly than a two-year payback  
7 technology. Then it kind of gets down to our  
8 energy education program, where we will, you know,  
9 participate in trade shows. And then we also --

10 COMMISSIONER BROWN: And schools, you are  
11 throughout the schools.

12 THE WITNESS: Yeah. I was actually very  
13 excited, Commissioner Brown, that Hillsborough  
14 County school.

15 So one of the programs we modified during this  
16 last five years was we added a electric vehicle  
17 education to driving education in Hillsborough  
18 County. And we were actually very excited that  
19 finally the, you know, Hillsborough County actually  
20 approved the -- finally to get the electric  
21 vehicles.

22 So in June of this year, we actually installed  
23 the other two chargers at the other two remaining  
24 high schools. Polk and Pasco County do not have  
25 drivers ed. So we are still kind of holding on to

1           those two chargers. Hopefully they will resurrect  
2           their program. But we see that, the drivers  
3           education really kind of starting off here  
4           relatively quickly.

5           COMMISSIONER BROWN: It sounds like you all  
6           are doing a lot from your testimony.

7           With regard to distributed energy resources on  
8           the demand side, it appears that you are still  
9           continuing to offer PV incentives.

10          THE WITNESS: We don't have a -- I would say  
11          we don't have a PV program like we had during the  
12          five-year pilot. We did -- we did learn a lot  
13          during that five-year pilot, but we continued, you  
14          know, even the energy audits or energy education to  
15          educate customers on solar or renewable  
16          technologies.

17          We do have a renewable block program that  
18          we -- you know, it's a self-funded program that  
19          will actually fund energy education strictly on  
20          solar. It will do advertising on solar.

21          And then the main portion of that program  
22          funds PV arrays to be installed, whether they are  
23          at schools. We did -- the most recent array is  
24          with the Florida, I am going to call it the Fish  
25          and Wildlife kind of center down in Apollo Beach.

1 But we've done them at Legoland, MoSI. But really  
2 just to give our customers an opportunity to see,  
3 you know, the benefits of solar.

4 And it's really kind of, I would say, like,  
5 we've seen great and awesome participation without  
6 any incentives. So since 2017, so in the  
7 two-and-a-half years up until May 31st, we've had  
8 about 2,800 PV arrays installed on residential  
9 homes.

10 So if you look at that, that's about four PV  
11 arrays a day, which I think our next metering  
12 policy and the friendliness of our staff to kind of  
13 walk a customer through, you know, all of the steps  
14 that they need to do to actually install that  
15 array, to get the net meter, to get the disconnect  
16 switch that, you know, we fund for that, I think  
17 it's pretty incredible.

18 COMMISSIONER BROWN: Lastly, with regard to  
19 our statute mandate that requires utilities to  
20 encourage demand-side renewable energy, any other  
21 alternative programs that you have contemplated  
22 other than what you have mentioned?

23 THE WITNESS: Yeah, the unfortunate part is  
24 that, you know, both ways that we looked at PV. So  
25 we looked at PV by itself. We looked at PV coupled

1 with battery storage --

2 COMMISSIONER BROWN: That's what I am getting  
3 at.

4 THE WITNESS: Both of them actually failed.  
5 You know, RIM for a PV, there is nothing you can do  
6 at this time to actually get it to pass. For TRC,  
7 the current costs we are seeing is about \$3. Five  
8 years ago, the cost of PV was about \$3.50.

9 So that price is still coming down, but kind  
10 of the hard part is is that, you know, it's not  
11 really a huge demand saving technology, so it has a  
12 lot of lost revenue in there. But for TRC, the  
13 costs would have to get down to about 98 cents.

14 And then even to be attractive to a  
15 participant for the Participant Cost test, the  
16 costs would have to get down do \$1.60 per watt to  
17 make it feasible for a customer.

18 COMMISSIONER BROWN: Thank you. Great  
19 testimony.

20 THE WITNESS: All right. Thank you.

21 CHAIRMAN GRAHAM: Commissioner Fay.

22 COMMISSIONER FAY: Thank you, Mr. Chairman.

23 I will echo Commissioner Brown. I thought the  
24 testimony was very informative and very helpful as  
25 you work through this. This question might be a

1 little out of your lane, so feel free to let me  
2 know.

3 But the controlling statute for these  
4 conservation goals talks about a utility's ability  
5 to work with the Commission. The term is used  
6 actually as a reward, but essentially that there is  
7 a incentive to the utility to pursue and exceed  
8 these goals. Is that something you guys have  
9 looked at as a company just looking at what you  
10 have done?

11 THE WITNESS: Yeah. Commissioner --  
12 Commissioner Fay, we've always taken the position,  
13 you know, the company that -- you know, if you  
14 establish goals based upon RIM and the Participant  
15 Cost test, then you are really going for the least  
16 cost option for those aggressive DSM goals.

17 So just in that manner, there really should be  
18 no reason for us to come in and ask for kind of a  
19 bonus adder when, really, both participants and  
20 nonparticipants win. Even in RIM, you know, we are  
21 being made whole because the program is actually  
22 cost-effective.

23 COMMISSIONER FAY: Okay. Thank you.

24 CHAIRMAN GRAHAM: Commissioner Polmann.

25 COMMISSIONER POLMANN: Thank you, Mr.

1 Chairman.

2 At this point, all of my questions have been  
3 asked by my fellow Commissioners. Thank you for  
4 your testimony, sir.

5 CHAIRMAN GRAHAM: Redirect.

6 MR. MEANS: No redirect.

7 CHAIRMAN GRAHAM: Fantastic.

8 Exhibits.

9 MR. MEANS: We would ask that Exhibit No. 63  
10 on the comprehensive exhibit list be entered.

11 CHAIRMAN GRAHAM: If no objections, we will  
12 enter Exhibit 63.

13 (Whereupon, Exhibit No. 63 was received into  
14 evidence.)

15 CHAIRMAN GRAHAM: SACE, you have the composite  
16 exhibit 345?

17 MR. MARSHALL: Yes. We would ask that 345 be  
18 moved into the record.

19 CHAIRMAN GRAHAM: We will move 345 into the  
20 record as well.

21 (Whereupon, Exhibit No. 345 was received into  
22 evidence.)

23 CHAIRMAN GRAHAM: I believe that's all the  
24 exhibits for this witness. Would you like to  
25 excuse him?

1 MR. MEANS: Thank you, Mr. Roche.

2 THE WITNESS: Thank you.

3 CHAIRMAN GRAHAM: Okay. SACE, your first  
4 witness.

5 MR. MARSHALL: SACE calls Jim Grevatt to the  
6 stand.

7 Whereupon,

8 JIM GREVATT

9 was called as a witness, having been first duly sworn to  
10 speak the truth, the whole truth, and nothing but the  
11 truth, was examined and testified as follows:

12 EXAMINATION

13 BY MR. MARSHALL:

14 Q Good afternoon, Mr. Grevatt.

15 A Good afternoon.

16 Q Were you previously sworn yesterday?

17 A Yes.

18 Q And could you please state your name and  
19 business address for the record?

20 A My name is Jim Grevatt. Business address is  
21 10298 Route 116 in Hinesburg, Vermont.

22 Q And on whose behalf are you testifying today?

23 A I am here on behalf of the Southern Alliance  
24 for Clean Energy.

25 Q And on June 10th, 2019, did you prepare and

1     **cause to be filed direct testimony and exhibits in this**  
2     **case?**

3           A     Yes.

4           Q     **Do you have that testimony and those exhibits**  
5     **with you today?**

6           A     Yes.

7           Q     **If I asked you the same questions today, would**  
8     **your answers be the same?**

9           A     Yes, they would.

10          Q     **Do you have any changes to your prefiled**  
11     **testimony or exhibits?**

12          A     I do have a couple of changes.

13                 There was a typographical error that rippled  
14     through in a couple of spots that I would like to  
15     correct.  And these changes were addressed in staff's --  
16     response to staff's third interrogatory.

17                 But for the record, on page 23 of my  
18     testimony, in table two, which is labeled impact of  
19     two-year payback screen on TRC economic potential, if we  
20     look at the row for TECO, the first value is 747 it  
21     should be 686.  Changing that value following the row  
22     across to the one-year payback screen, that should be  
23     86 percent instead of 71 percent.  And the next value  
24     should be 160 percent instead of 139 percent.

25                 And then also on Table 3, labeled achievable

1 potential as percent of economic potential with a  
2 two-year payback screen for TECO row, the same 747  
3 should be 686. And then in the last row -- in the last  
4 column in the TECO row, it says 41 percent. It should  
5 be 44 percent.

6 And the corresponding changes in the text in  
7 my testimony page 22, line 19, replace 71 percent with  
8 86 percent. Page 22, line 24, replace 139 percent with  
9 160 percent. And page 39, line 17, replace 41 percent  
10 with 44 percent.

11 Also one more minor typographical error,  
12 footnote 42 references a Duke Energy Carolinas North  
13 Carolina docket. That should be a South Carolina  
14 docket.

15 **Q Thank you.**

16 MR. MARSHALL: Mr. Chairman, at this point, I  
17 would like to have Mr. Grevatt's prefiled direct  
18 testimony entered into the record as though read.

19 CHAIRMAN GRAHAM: We will enter Mr. Grevatt's  
20 prefiled direct testimony into the record as though  
21 read with those corrections.

22 (Whereupon, prefiled testimony was inserted.)  
23  
24  
25

**BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

In re: Commission Review of Numeric ) DOCKET NO. 20190015-EG  
 Conservation Goals )  
 Florida Power & Light Company )  
 \_\_\_\_\_ )

In re: Commission Review of Numeric ) DOCKET NO. 20190016-EG  
 Conservation Goals )  
 Gulf Power Company )  
 \_\_\_\_\_ )

In re: Commission Review of Numeric ) DOCKET NO. 20190018-EG  
 Conservation Goals )  
 Duke Energy Florida, LLC )  
 \_\_\_\_\_ )

In re: Commission Review of Numeric ) DOCKET NO. 20190019-EG  
 Conservation Goals )  
 Orlando Utilities Commission )  
 \_\_\_\_\_ )

In re: Commission Review of Numeric ) DOCKET NO. 20190020-EG  
 Conservation Goals )  
 JEA )  
 \_\_\_\_\_ )

In re: Commission Review of Numeric ) DOCKET NO. 20190021-EG  
 Conservation Goals )  
 Tampa Electric Company )  
 \_\_\_\_\_ )

**TESTIMONY OF JIM GREVATT  
 ON BEHALF OF  
 SOUTHERN ALLIANCE FOR CLEAN ENERGY**

**June 10, 2019**



1 **Q. Please summarize your professional and educational experience.**

2 A. I have worked in the energy efficiency industry since 1991 in a wide variety of roles.

3 Prior to joining EFG, I served as the Director of Residential Energy Services at  
4 Efficiency Vermont and the District of Columbia Sustainable Energy Utility. I also  
5 served as the Manager of Energy Services at Vermont Gas Systems, managing both  
6 residential and commercial energy efficiency programs. I have extensive hands-on  
7 experience conducting hundreds of energy audits for Vermont's Low-Income  
8 Weatherization Assistance Program and Vermont Gas Systems' demand side  
9 management (DSM) programs.

10 In my current role as Managing Consultant at EFG, I have advised regulators, utilities  
11 and other energy efficiency program administrators, environmental organizations, and  
12 low-income and affordable housing advocates in numerous states, including Missouri,  
13 Mississippi, Maryland, North Carolina, Pennsylvania, Delaware, Virginia, New  
14 Jersey, Illinois, California, Vermont, Maine, Colorado, New Mexico, Nevada, Iowa,  
15 and New Hampshire, as well as British Columbia. I use my in-depth knowledge of  
16 energy efficiency program operations and management, and my experience in  
17 strategic planning, to help ensure that programs achieve their desired market impacts.  
18 I received a B.F.A. from the University of Illinois. My resume, attached as Exhibit  
19 JMG-1, provides additional detail regarding my professional and educational  
20 experience.

21

22 **Q: Have you previously testified before the Florida Public Service Commission?**

23 A: No, I have not.

24

25

1 **Q: Have you previously testified before other similar state regulatory bodies?**

2 A: Yes, I have provided expert witness testimony before utility commissions in North  
3 Carolina, Colorado, Nevada, Kentucky, Iowa, and British Columbia, and have  
4 authored public comments on behalf of clients in multiple proceedings in  
5 Pennsylvania. I have also appeared numerous times before the Maryland Public  
6 Service Commission.

7

8

## II. TESTIMONY SUMMARY

9

10 **Q: What is the purpose of your testimony?**

11 A: My testimony assesses the reasonableness of the energy efficiency savings goals  
12 proposed in this proceeding by the Florida utilities. My testimony focuses most  
13 heavily on the goals proposed by Florida Power & Light Company (FPL). However,  
14 because I address policy issues related to goal setting, as well as generic concerns  
15 regarding the methodology used to develop the efficiency potential study upon which  
16 all the utilities' goals are based, my testimony also addresses the goals of Duke  
17 Energy Florida, LLC, Gulf Power Company, Tampa Electric Company, JEA, and  
18 Orlando Utilities Commission.

19

20 **Q: Please summarize the conclusion you have reached with regard to the utilities'**  
21 **proposed savings goals.**

22 A: The utilities' proposed savings goals are unreasonably low. Specifically, the utilities'  
23 proposals would leave enormous amounts of cost-effectively achievable energy  
24 savings potential untapped. That may require them to invest in more expensive  
25 supply options, saddling their customers with higher electricity bills as a result.

1

2 **Q: What is your basis for that conclusion?**

3 A: There are two primary reasons I conclude that the utilities' proposed goals are  
4 unreasonably low:

5 **1. Misguided reliance on the Ratepayer Impact Measure (RIM) test.**

6 The utilities argue that the RIM test is the appropriate cost-effectiveness test for  
7 determining what efficiency measures to promote. However, the RIM test is not  
8 actually a test of cost-effectiveness. Rather, it is a test of a measure's or program's  
9 potential to cut into utility profits (i.e., lost revenue), which would only effect rates if  
10 it caused utilities to seek regulatory approval to increase rates to remain just as  
11 profitable as without the efficiency programs. Therefore, it is really just a test of  
12 whether rates, and thus bills, could go up for non-participants if a utility goes below  
13 the lower bound on their allowed return on equity and increases rates through a rate  
14 case, because participants will see bills go down even if rates increase. And, even as  
15 such a test, it is not particularly useful. That is why no other state in the country  
16 relies on the RIM test as the sole or even primary determinant of whether an  
17 efficiency measure or program merits utility investment. It is also why the RIM test  
18 is not applied to supply-side investments; if it were, many supply-side investments,  
19 such as new power plants and capacity upgrades to substations, would be routinely  
20 rejected.

21

22 That is not to say that potential rate impacts should not be a consideration in  
23 determining the level and pace of cost-effective efficiency investments. They just  
24 should not be the only factor considered. Instead, as discussed in the National  
25 Standard Practice Manual for Assessing Cost-Effectiveness of Energy Efficiency

1 Resources, regulators should consider trade-offs between bill savings, participation  
2 levels, and rate impacts. For example, basing FPL’s efficiency savings goals on the  
3 amount of savings the Company estimates to be cost-effectively achievable under the  
4 Total Resource Cost (TRC) test, instead of no efficiency measures (only demand  
5 response measures passed the RIM test), would increase rates by only five  
6 thousandths of a penny per kWh (\$0.00005/kWh), but would reduce the cumulative  
7 net present value of revenue requirements (CPVRR) by over \$100 million. Simply  
8 dismissing the opportunity to provide such benefits to customers on the basis of an  
9 almost imperceptible rate increase does not seem reasonable.

10

11 **2. Reliance on a fundamentally flawed efficiency potential study.**

12 The efficiency potential study significantly understates the level of energy efficiency  
13 savings that can be achieved cost-effectively under the TRC test. First, and probably  
14 most importantly, it screens out all measures that have less than a two-year payback  
15 on the grounds that is necessary to exclude free riders. That alone cuts the estimate of  
16 achievable potential roughly in half. However, the potential study had already  
17 excluded all naturally occurring savings – the savings that would be associated with  
18 free riders – before it applied the two-year payback screen. Doing this means that  
19 presumed free riders were effectively removed from the estimate of savings potential  
20 twice, thus the two-year screen inappropriately removed only non-free rider savings  
21 potential.

22

23 The potential study also artificially and arbitrarily assumed that financial incentives  
24 for efficiency measures could not be greater than the level at which the “payback”  
25 would be bought down to two years. Again, the rationale was to limit free ridership

1 based on the assumption that customers facing paybacks of two years or less would  
2 all invest in such measures. However, there is no empirical or analytical basis for that  
3 assumption. In fact, as discussed further in Section IV of my testimony, the utilities'  
4 own analyses suggest that limiting financial incentives to a two-year payback would  
5 dramatically reduce the number of customers who would participate in programs –  
6 directly contradicting the stated basis underlying the assumption.

7

8 Other conservatisms built into the potential study include the omission of early  
9 retirement measures; some unreasonably high assumptions regarding non-incentive  
10 costs; and various other measure-specific concerns. I discuss all of these concerns in  
11 greater detail in the following sections of my testimony.

12

13 **Q: Given these concerns, what would you recommend the utilities' savings goals be?**

14 A: I recommend that the utilities' savings goals be based on the amount of savings that  
15 would be cost-effectively achievable under a properly applied TRC test – i.e. one that  
16 corrected for all of the problems with the potential study that I have discussed.

17 Unfortunately, those problems are so numerous and complex that the utilities' studies  
18 cannot be readily modified to produce appropriate goals. Thus, I recommend that the  
19 PSC examine the magnitude of the problems with the potential study, in conjunction  
20 with an examination of the actual achievements of leading southern utilities such as  
21 Duke Energy Carolinas – which achieved savings equal to 1.67% of annual sales to  
22 customers eligible to participate in its programs in 2018 – and Entergy Arkansas –  
23 which achieved savings equal to 1.44% of sales to eligible customers in 2018.

24

25

1                   **III.     PROBLEMS WITH PRIMARY RELIANCE ON THE RIM TEST**

2

3     **1.     The RIM test is not a cost-effectiveness test.**

4     **Q:     Please describe the RIM test.**

5     A:     The RIM test compares (1) utility system benefits (avoided energy costs, avoided  
6            T&Dtrm costs, avoided capacity costs, etc.) to (2) the sum of (A) utility system costs  
7            (efficiency program costs) plus (B) lost revenues. It is only a test of whether rates  
8            will go up if the utility seeks and receives rate adjustments necessary to maintain the  
9            level of profits it would have earned absent the efficiency programs. It is not a test of  
10           cost-effectiveness.

11

12    **Q:     Why is it not a test of cost-effectiveness?**

13    A:     Because it doesn't just assess changes in costs. A cost is an expense or sacrifice  
14            incurred to produce an object, service, or outcome. Efficiency program spending is a  
15            cost. However, lost revenues, which are central to the RIM test and typically  
16            dominate the so-called "cost" portion of the RIM benefit-cost test equation, are not  
17            actually a cost.

18

19    **Q:     Why are lost revenues not a cost?**

20    A:     Lost revenues can occur when efficiency programs cause total electricity sales to  
21            decline, requiring the recovery of both a utility's fixed costs (e.g. the CEO's salary,  
22            the cost of trucks and repair crews, etc.) and its past, sunk costs (e.g. a power plant  
23            built in the past for which costs – along with a rate of return to provide profits for a  
24            utility's shareholders – are still being recovered) to be spread over a smaller volume  
25            of sales. No new costs are incurred. The utility still needs to recover the same

1 amount of money that has been approved by regulators for its fixed costs. But  
2 because the same amount of money needs to be recovered over a smaller volume of  
3 sales, rates may need to be increased.

4

5 **Q: Isn't it important to understand the rate impacts of efficiency programs?**

6 A: Yes. But rate impact assessment is different from cost-effectiveness assessment.  
7 When faced with a choice between an electric bill for 1000 kWh at \$0.10/kWh (\$100  
8 total) or a bill for 800 kWh at \$0.11/kWh (\$88 total), customers will be better off to  
9 choose the latter because it will cost them less even though the rate is higher.

10

11 The real issue with rate impacts caused by efficiency programs is that not every  
12 customer will see their bill go down; while efficiency program portfolios can be  
13 designed to be broad and diverse enough so that all customers have the opportunity to  
14 participate, not every customer will choose to take advantage of those opportunities  
15 and participate. Thus, concerns about possible rate impacts driven by lost revenues  
16 are really concerns about non-participants. Put another way, the RIM test is really a  
17 test of impact on those customers who choose not to participate in an efficiency  
18 program.

19

20 **Q: Does the RIM test have value as a test of impact on non-participants?**

21 A: It has some value, but even as a test of impact on non-participants it is not particularly  
22 helpful on its own. For one thing, a RIM benefit-cost ratio does not tell you by how  
23 much rates will go up or down. Further, it doesn't tell you how many customers  
24 would be adversely affected, particularly over a multi-year period. Nor does it tell  
25 you which customers would be adversely affected. Finally, it doesn't tell you

1           anything about the benefits you would be forgoing if you allow concerns about non-  
2           participants to determine all investment decisions.

3

4   **Q:   Why do those things matter? Why isn't it reasonable to strictly adhere to RIM**  
5   **test results and eliminate efficiency programs that produce any rate impacts and**  
6   **therefore any amount of impact on those who choose not to participate?**

7   A:   Conceptually, it is never a good idea to pursue an investment when its benefits do not  
8   exceed its costs, however any economic analysis must monetize all costs and benefits  
9   if it is to be used dispositively. One can point to examples in which regulators  
10   approve investments that nominally increase costs on the basis of benefits that are  
11   understood, but that are not precisely valued. For example, regulators regularly  
12   approve upgrades to the distribution system in order to improve reliability. Similarly,  
13   as discussed in Mr. Wright's testimony, regulators in some states approve low income  
14   efficiency programs even when they do not pass the TRC or other cost-effectiveness  
15   tests. However, in both of those examples the underlying rationales for approval are  
16   still that benefits exceed costs. In the example of distribution system investments,  
17   regulators are making a judgment that increased reliability – a benefit – is worth the  
18   cost. In the low income efficiency program example, regulators are making a  
19   judgment that the equity benefits of serving low income customers and/or other  
20   unquantified or unmonetized benefits (e.g. reduced utility credit and collection costs,  
21   health, and safety benefits, etc.) are worth the cost. Put simply, regulators are still  
22   adhering to the principle that benefits must exceed costs. It is just that some benefits  
23   have not been monetized so that they fit easily into a cost-effectiveness test, and  
24   regulators are using their informed judgment to compensate for that.

25

1 In contrast, there is no conceptual reason to always reject any and all investments that  
2 may increase rates and/or that may result in inequities between different customers.  
3 While those outcomes may in isolation (i.e. all other things being equal) be  
4 undesirable, they are often accompanied by other outcomes that are highly desirable,  
5 requiring regulatory consideration of trade-offs. Indeed, regulators approve rate  
6 increases and make decisions in other proceedings regularly that create some level of  
7 inequity between different customers. That can happen as a result of approvals of  
8 supply-side investments that increase rates (which I discuss further below), as a  
9 function of rate design decisions,<sup>3</sup> and probably in other ways as well. Regulators  
10 approve such investments when they conclude that the benefits associated with the  
11 investments are substantial enough to outweigh equity concerns.

12

13 Put another way, regulators routinely – either explicitly or implicitly – consider trade-  
14 offs between rate impact and/or equity concerns on the one hand, and benefits to the  
15 system as a whole or to customers as a whole on the other. That same consideration  
16 of trade-offs should apply to consideration of which energy efficiency program  
17 investments to support as well.

18

19 **2. The RIM test is not applied to supply-side investments.**

20 **Q: Is the RIM test typically applied to supply-side investments?**

21 A: No, not in my experience.

22

23 **Q: What would happen if it was?**

24 A: Many proposed supply side investments would fail. Put simply, because the RIM test  
25 is a test of whether rates may go up, any supply-side investment that would raise

1 rates, all other things being equal, would fail the RIM test.

2

3 **Q: On p. 39, lines 18-23 of his testimony, FPL witness Whitley states the following:**  
4 **“Because all customers on FPL’s system are served by the Supply option if that**  
5 **option is chosen, all customers are ‘participants’ in the selected Supply option.**  
6 **Electric rates and bills for all customers move in the same ‘direction’, either up**  
7 **or down from year-to-year compared to another Supply option that could be**  
8 **selected. Therefore, there is no subsidization of one group of customers by**  
9 **another group.”**

10 **Do you agree?**

11 A: No. I disagree with both the notion that all customers are “participants” when a  
12 supply investment is made and – more importantly – the assertion that there is no  
13 subsidization of one group of customers by another group when supply-side  
14 investments are made.

15

16 **Q: Why do you disagree?**

17 A: Consider supply-side investments that are made solely to address growing demand –  
18 either at the system-level (e.g. a new power plant) or at the local level (e.g. a  
19 substation capacity upgrade). By definition, the need for those supply-side  
20 investments is driven solely by new customers who are adding load to the system  
21 and/or existing customers whose demands are growing. If we are making an analogy  
22 to efficiency programs, they are the only “participants” in the supply-side investment.  
23 The new power plant and/or the new substation is being built to meet their needs, not  
24 the needs of customers whose demand is not growing. It is hard to understand how  
25 existing customers whose demand has remained unchanged or even declined could be

1 characterized as “participants” in a substation capacity upgrade driven entirely by  
2 other customers’ peak demands.

3  
4 More importantly, the costs of the new power plant and/or the substation capacity  
5 upgrade in this scenario will not be borne solely by the customers whose new demand  
6 or growing demand created the need for the supply-side investments. Instead, to the  
7 extent that these costs are recovered through rates, they will be borne by all  
8 customers, including those existing customers whose demand did not grow. In the  
9 case of a substation (or other distribution system) capacity upgrade, customers who  
10 are not even served by the substation being upgraded will pay some (if not most) of  
11 the cost. That is the very definition of cross-subsidization.

12

13 **Q: Are you suggesting that there is a problem with how the costs of supply-side**  
14 **investments are allocated?**

15 A: I am not offering an opinion on that subject. I am simply making the point that there  
16 may not only be rate increases, but also cross-subsidization between different  
17 customers when supply-side investments are made. Thus, strict adherence to the RIM  
18 test in order to eliminate any rate impact and any cross-subsidization between  
19 customers is imposing a very different “screen” on efficiency program investment  
20 decisions than regulators impose on supply-side investment decisions – even though  
21 efficiency programs can be a lower cost alternative to some of those supply-side  
22 investments. In supply-side proceedings, not using the RIM test requires regulators to  
23 appropriately apply their judgment in assessing benefits, whereas the use of the RIM  
24 test in energy efficiency proceedings falsely implies that such judgment is not  
25 required.

1

2 **3. Reliance on RIM test means rejecting hundreds of millions of dollars of bill**  
3 **savings.**

4 **Q: What are the implications of adopting the RIM test as the basis for determining**  
5 **whether an efficiency measure or program is promoted?**

6 A: The short answer is that rejecting all efficiency measures that fail the RIM test will  
7 result in total electric bills for the state that are hundreds of millions of dollars higher  
8 than they could have been.

9

10 **Q: What is the basis for that statement?**

11 A: As Table 1 shows, the cumulative present value of revenue requirements (CPVRR)  
12 for FPL's TRC plan was \$104 million lower than the CPVRR for the RIM plan it has  
13 proposed instead. And that is just for FPL. Also, it is a very conservative estimate of  
14 the amount of bill reductions that could be achieved because of numerous problems  
15 with FPL's analysis of achievable TRC potential which I discuss in the next section  
16 of my testimony.

17

18 **Q: What would be the trade-off in terms of rate impact for adopting the FPL TRC**  
19 **plan (instead of its proposed RIM Plan) and achieving that \$104 million in**  
20 **CPVRR savings?**

21 A: As Table 1 shows, the trade-off, also based on FPL analyses, would be an average  
22 increase in electric rates of about five thousandths of a penny per kWh (or less than a  
23 0.06% increase) – if the utility sought and received approval for rate adjustments  
24 necessary to keep its profits at the same level as without efficiency programs.

25

1 **Table 1: Bill Savings and Rate Impacts of FPL TRC Plan (vs. RIM Plan)<sup>4</sup>**

Plan	CPVRR		Levelized Rate		
	(millions \$)	Difference from RIM Plan (millions \$)	(\$/kWh)	Difference from RIM Plan (\$/kWh)	Difference from RIM Plan (percent)
TRC	\$52,924	-\$104	0.096332	\$0.000054	0.056%
RIM	\$53,028	\$0	0.096278	\$0.000000	0.000%

2  
3  
4  
5  
6  
7  
8 **4. No other state relies on RIM to screen out efficiency measure or programs.**

9 **Q: Are you aware of any other state that relies on the RIM test to screen efficiency measures or programs out of demand-side management (DSM) portfolios?**

10  
11 A: No. A number of jurisdictions consider the results of the RIM test along with the  
12 results of a variety of other tests when determining which efficiency programs to  
13 support. However, to my knowledge, no other state in the country relies on the RIM  
14 test as the sole or even primary determinant of whether individual efficiency  
15 measures or programs merit utility investment. Indeed, in 2012 the American  
16 Council for an Energy Efficient Economy published a report that showed that only  
17 one of the 41 states that relied upon one cost-effectiveness test as its “primary” test—  
18 Virginia – used RIM<sup>5</sup> as the primary test, and in 2018 the Virginia General Assembly  
19 passed legislation rejecting that practice.<sup>6</sup>

20  
21 To my knowledge, there are only three notable changes with regard to the use of the  
22 RIM test since that report was published. First, in 2014, Florida shifted to relying on  
23 RIM as its primary test.<sup>7</sup> Second, as noted above, Virginia no longer relies on RIM as  
24 its primary cost-effectiveness test. Instead, the state currently supports any efficiency  
25 program that passes three of the following four tests: RIM, TRC, Utility Cost Test

1 (UCT) and Participant Cost Test (PCT).<sup>8</sup> Third, the state of Iowa partially applies  
 2 RIM at the total portfolio level, which is notably different from the Florida utilities’  
 3 proposed approach of using RIM to screen out individual efficiency measures and  
 4 programs. Efficiency measures and programs that fail the RIM test are included in  
 5 DSM portfolios to the extent that demand response programs that pass RIM provide  
 6 enough downward pressure on rates to offset the upward pressure on rates associated  
 7 with the efficiency programs. Even under this constraint MidAmerican Energy  
 8 proposed an annual utility energy efficiency investment of roughly \$165 million  
 9 between 2019-2023.<sup>9</sup>

10

11

12

#### IV. PROBLEMS WITH THE FLORIDA POTENTIAL STUDIES

13

14 **1. Measures with paybacks of less than two years were inappropriately excluded.**

15 **Q: How did the Florida utilities treat efficiency measures with a payback of less**  
 16 **than two years in their assessments of efficiency potential?**

17 A: All such measures were removed from estimates of efficiency potential.<sup>10</sup>

18

19 **Q: What is the rationale put forward by the Florida utilities for excluding all**  
 20 **efficiency measures with a payback of less than two years from their efficiency**  
 21 **potential studies?**

22

23 A: The utilities suggest that this exclusion is necessary and appropriate to “minimize the  
 24 impact of ‘free riders.’”<sup>11</sup> The underlying rationale is explained by FPL witness

25

Koch:

1                    “It simply recognizes that rational customers will act in their own  
2                    economic interest and take measures to reduce energy consumption,  
3                    if it is sufficiently attractive economically for them to do so without  
4                    a utility incentive payment. It is also an example of a free market  
5                    economy working as it should – rational economic decisions being  
6                    made in one’s best interest without government intervention through  
7                    mandates or provision of incentives.”  
8

8

9    **Q:    Do you find that argument to be persuasive?**

10   A:    No. There are several major problems with the argument:

- 11        1. The utilities have provided no empirical evidence or data to support the notion that all  
12        efficiency measures with a payback of less than two years are or would be routinely  
13        purchased or installed by customers in the absence of utility programs.
- 14        2. The argument that customers would adopt measures with short paybacks because it is  
15        economically rational ignores the underlying premise for utility sponsored efficiency  
16        programs: that market barriers often preclude customers from investing in efficiency  
17        measures that are cost-effective.
- 18        3. Even in cases in which there are no non-financial market barriers, some customers  
19        will not buy measures with two-year paybacks because they are even more short-term  
20        focused than that. Low income customers are good examples. This is discussed  
21        further in Mr. Wright’s testimony.  
22
- 23        4. The utilities’ own analyses of achievable potential – in which they assume that  
24        significant portions of potential for measures with initial paybacks of longer than two  
25        years would not be captured if financial incentives for such measures were limited to

1           reducing paybacks to two years – directly contradicts the premise that all or most  
2           customers would invest in measures with paybacks that short.

3           5. In developing estimates of technical potential – the foundation for both economic and  
4           achievable potential – Nexant already accounted for naturally-occurring efficiency.  
5           Thus, the potential effects of free ridership were already excluded from the estimates  
6           of savings potential before the application of the two-year payback screen. Thus, the  
7           two-year payback screen is a redundant adjustment for free riders that artificially  
8           makes cost-effective efficiency potential appear to be lower than it really is.

9

10       **Q: How does the application of a two-year payback screen to eliminate efficiency**  
11       **measures from estimates of economic and achievable potential ignore the**  
12       **underlying premise for utility-funded efficiency programs?**

13       A: The underlying premise for utility-funded efficiency programs is that such programs  
14       are necessary to address market barriers to customer adoption of cost-effective  
15       efficiency resources. Those market barriers can take many forms, including many  
16       non-financial forms. Key examples of market barriers that can stop customers from  
17       investing in measures, even those with short payback periods, include:

- 18       • Lack of awareness of a DSM measure;
- 19       • Lack of awareness of potential savings benefits – both of customers who would  
20       buy or install measures and sometimes of sales staff for retailers, contractors, or  
21       other vendors selling products;
- 22       • Concern with service or product degradation;
- 23       • Availability of a DSM measure;
- 24       • Past experiences with DSM measures;
- 25       • Competing demands for available financial resources;



1 efficiency program promoting this measure could only acquire 4% of the savings  
2 potential because the out-of-pocket cost to customers would still be relatively high.<sup>15</sup>  
3 Put another way, FPL has estimated that even with the cost bought down to a two-  
4 year payback, 96% of its customers would not buy the measure! That obviously and  
5 fundamentally contradicts the notion that the vast majority of customers considering  
6 efficiency measures with two-year paybacks would buy such measures and therefore  
7 be free riders in any utility programs promoting such measures.

8

9 **Q: How did Nexant exclude naturally-occurring efficiency from its estimates of**  
10 **technical potential?**

11 A: Nexant makes clear that it excluded two forms of naturally-occurring efficiency from  
12 its estimates of technical potential in section 5.1.1 of its potential study report:

- 13 1. savings that will materialize in the future as a result of government codes and  
14 standards; and  
15 2. additional savings that will materialize in the future because some customers will buy  
16 products more efficient than required by such minimum standards without utility-  
17 funded efficiency programs – what Nexant calls “baseline measure adoption.”

18 As Nexant put it, the result is an estimate of “net penetration rates” (emphasis added)  
19 which represents “the difference between the anticipated adoption of efficiency  
20 measures as a result of DSM efforts and the ‘business as usual’ adoption rates absent  
21 DSM intervention.” This was accomplished by:

22 “...discuss[ing] the assumptions included in the base sales forecast with  
23 the [utility’s] load forecasting group to determine the assumptions on  
24 naturally-occurring efficiency adoption, as well as using utility-specific  
25 and regional data on current levels of efficiency adoption that were

1 included in the applicability factors applied to each measure.”<sup>16</sup>

2

3 **Q: How does the fact that Nexant excluded naturally-occurring efficiency from its**  
4 **estimates of technical potential make the application of the two-year payback**  
5 **screen when estimating economic potential “redundant” as a mechanism for**  
6 **removing free riders?**

7 A: By definition, free riders are efficiency program participants that would have installed  
8 promoted measures without the program. Again, by definition, the savings from such  
9 potential free ridership are included in Nexant’s estimate of naturally-occurring  
10 efficiency (baseline measure adoption) which Nexant excluded from its estimates of  
11 technical potential. In other words, Nexant’s estimates of technical potential already  
12 removed any savings from customers who could be candidates to be free riders.  
13 Because economic potential and achievable potential are both subsets of technical  
14 potential, no additional adjustments are necessary to remove potential “free riders” at  
15 those stages of the analysis. Thus, the fact that Nexant and/or the utilities applied a  
16 two-year payback screen at the economic potential stage means that they have  
17 inappropriately “double-adjusted” for potential free riders.

18

19 **Q: Are you suggesting that because Nexant excluded the effects of naturally-**  
20 **occurring efficiency from the potential study that utility programs to promote**  
21 **efficiency cost-effective measures with paybacks of two years or less would not**  
22 **have free ridership?**

23 A: No. I am simply saying that the exclusion of naturally-occurring efficiency is, by  
24 itself, all that is necessary to develop estimates of net savings potential – i.e. savings  
25 after removing free riders – that is cost-effectively achievable. The next step is to

1 design programs to acquire that potential. Inevitably, most such programs will have  
2 some level of free ridership – from both measures with shorter paybacks and  
3 measures with longer paybacks. The level of free ridership will be a function of the  
4 market and the program design.

5

6 **Q: Do you agree that it is appropriate to address free ridership, both in setting**  
7 **savings goals and in the design and implementation of programs?**

8 A: Yes. As already discussed, if the two-year payback screen were removed from the  
9 potential study the result would be an estimate of net savings potential – i.e.  
10 excluding any savings from possible free riders. After addressing other concerns  
11 discussed below this would be an adequate basis for goal setting. Then, when the  
12 utilities design and implement programs to capture that level of savings potential, the  
13 savings they produce from such programs should be evaluated and adjusted to  
14 exclude the effects of free ridership. That is the way concerns regarding free  
15 ridership are addressed in numerous other jurisdictions.

16

17 **Q: In his deposition, witness Herndon stated that although he was unaware of any**  
18 **other jurisdiction that adjusted estimates of efficiency potential by removing**  
19 **measures with two-year paybacks or less, he was aware of programs in other**  
20 **jurisdictions that limit financial incentives to levels necessary to buy paybacks**  
21 **down to two years.<sup>17</sup> Doesn't that support the notion that applying a two-year**  
22 **payback screen is a reasonable approach to removing free riders from the**  
23 **potential study?**

24 A: No. To the contrary, it supports the alternative approach that I have suggested  
25 instead. Potential studies that already adjust for naturally-occurring efficiency do not

1           need and should not have another arbitrary adjustment applied to their estimates of  
 2           savings potential. And no other state or potential study of which either I or Mr.  
 3           Herndon are aware does that.<sup>18</sup> However, once savings goals are set, it is appropriate  
 4           to design programs to minimize free ridership (in conjunction with other objectives).  
 5           For some measures or some programs in some markets, one option that can make  
 6           sense is to limit incentives to levels that are associated with customer paybacks of two  
 7           years, or some other time period. For other measures, programs, and markets that  
 8           would not make sense. In fact, in my experience, while payback may be one factor  
 9           that is considered in the determination of incentive levels, specific financial incentive  
 10          payback limits are typically only applied in other jurisdictions to custom Commercial  
 11          and Industrial programs targeting larger business customers. Put simply, this is a  
 12          program design issue not a potential study or goal setting issue.

13  
 14       **Q: What is the effect of the application of the two-year payback screen to the**  
 15       **utilities' estimates of TRC cost-effective achievable potential?**

16       A: As sensitivities to their analyses, the utilities each estimated how much higher the  
 17       estimates of economic potential would be if the two-year payback screen was reduced  
 18       to one year. As Table 2 shows, just reducing the two-year payback screen to one year  
 19       would increase estimates of economic potential by 54% for FPL and by 26% to ~~71%~~ **86%**  
 20       for the other utilities. Two of the utilities – TECO and Gulf – provided estimates of  
 21       economic potential without a two-year payback screen. I have estimated that number  
 22       for FPL by rerunning its cost-effectiveness tool. The result of eliminating the  
 23       inappropriate two-year payback screen entirely is to increase the estimate of  
 24       economic potential by 80% for Gulf, ~~139%~~ **160%** for TECO and over 150% for FPL. Put  
 25       simply, eliminating the two-year screen results in roughly a doubling – or more – of

1 cost-effective savings potential.

2

3 **Table 2: Impact of Two-Year Payback Screen on TRC Economic Potential**

Utility	TRC Economic Energy Efficiency Potential (GWh)			% Increase in TRC Econ Potential vs. 2-Year Payback Screen	
	w/2-year payback screen	w/1-year payback screen	without payback screen	1-Year Payback Screen	No Payback Screen
FPL	3554	5490	8905	54%	151%
Duke	3117	3915	n.a.	26%	n.a.
TECO	<del>747</del> 686	1275	1785	<del>71%</del> 86%	<del>139%</del> 160%
Gulf	981	1253	1762	28%	80%
Orlando	465	710	n.a.	53%	n.a.
JEA	1024	1383	n.a.	35%	n.a.

Corrections input by Debbie Krick, court reporter.

10

11

12 **2. In estimating achievable potential, incentives were inappropriately limited to**  
 13 **levels necessary to buy customer paybacks down to two years.**

14 **Q: How did the utilities address the issue of payback periods for cost-effective**  
 15 **efficiency measures whose payback without financial incentives was greater than**  
 16 **two years?**

17 **A:** The utilities included efficiency measures that were cost-effective and had paybacks  
 18 of greater than two years in their estimates of achievable potential. But when  
 19 estimating how much savings was achievable from those measures, they assumed that  
 20 they could not provide financial incentives greater than the amount that would be  
 21 associated with buying the customer payback down to two years. Again, the rationale  
 22 that they put forward for adopting this assumed limitation was that buying paybacks  
 23 down to levels below two years would mean paying free riders.

24

25 **Q: Is that a reasonable conclusion?**

1 A: No. For reasons I have already stated, it is not reasonable to assume that all measures  
 2 with a two-year payback or less will be universally purchased and installed without a  
 3 utility program. Further, as I've also already discussed, the utilities own estimates of  
 4 achievable potential show that they do not actually believe that buying paybacks  
 5 down to two years will ensure that most customers will purchase and install such  
 6 measures. If they actually did believe that, then their estimates of achievable  
 7 potential would be the same as (or very close to) their estimates of economic  
 8 potential; instead, as Table 3 shows, they are dramatically lower, particularly for FPL.

9  
 10  
 11 **Table 3: Achievable Potential as Percent of**  
 12 **Economic Potential With a Two Year Payback Screen**

Utility	GWh		AP as % of EP
	TRC Econ Potential w/2-year payback screen	TRC Achievable Potential	
FPL	3554	196	6%
Duke	3117	432	14%
TECO	686	305	44%
Gulf	981	222	23%
Orlando	465	137	29%
JEA	1024	262	26%

Corrections input by Debbie Krick, court reporter.

13  
 14  
 15  
 16  
 17  
 18  
 19  
 20  
 21 **Q: What are the implications of this inappropriate assumption?**

22 A: By the utilities' own admission, this assumption has the effect of lowering estimates  
 23 of achievable potential. In fact, as Table 3 shows, only TECO estimates that it can  
 24 achieve as much as 40% of its economic potential; none of the other utilities estimate  
 25 that they can achieve even 30% of their economic potential. Put simply, for measures

1 for which market barriers are such that it is not possible to achieve significant market  
2 penetration without driving paybacks to less than two years, the utilities' estimates of  
3 achievable savings potential have been artificially reduced.

4

5 **Q: Why is FPL's estimate of the portion of economic potential that it can achieve –**  
6 **6% – so much lower than all the other utilities?**

7 A: I am not certain. However, it is worth noting that FPL essentially adopted a three-  
8 year payback screen. It did this by assuming that the incentives it could offer for  
9 measures with paybacks of between two and three years (when buying paybacks  
10 down to two years) were too small to have an impact on the market, so they  
11 eliminated such measures from their achievable potential estimates.<sup>19</sup> The result was  
12 eliminating about half of the TRC cost-effective measures that passed the two-year  
13 payback screen when estimating TRC achievable potential. I do not know if the other  
14 utilities did the same thing. If they did not, then this could be a big part of the reason  
15 FPL's estimates of achievable potential, as a percent of economic potential, is so  
16 much lower than the others.

17

18

19

20

21 **3. Potential study inappropriately excludes early retirement measures.**

22 **Q: What is "early retirement"?**

23 A: Early retirement is when an efficiency program successfully encourages a customer to  
24 cost-effectively replace a still functioning piece of electricity-consuming equipment  
25 before that equipment would otherwise have been replaced.

1

2 **Q: How did the potential studies exclude such measures?**

3 A: The potential study assumes that the only opportunity for efficient equipment  
4 measures is at the time such equipment would naturally turn over, when customers  
5 have already made a decision to replace equipment. Thus, it assumed that the portion  
6 of the market that can be affected each year is equal to the number of customers with  
7 a particular piece of equipment divided by the average measure life of that equipment.  
8 For example, if a commercial light fixture has an average life of 15 years, the  
9 potential study assumed that one-fifteenth of the existing stock of such light fixtures  
10 would get replaced each year and that efficiency upgrades could only occur at that  
11 pace.

12

13 **Q: Is it reasonable to limit estimates of savings potential to such time of turnover**  
14 **opportunities?**

15 A: No. It is usually true that the costs of efficiency savings are lower at the time of  
16 natural turnover than through early retirement. Indeed, early retirement is probably  
17 not cost-effective for many measures. However, that is not true for all measures. In  
18 fact, there are some measures for which early retirement can be quite cost-effective  
19 and from which substantial savings can be realized. Commercial light fixtures are  
20 notable examples. In fact, savings from such measures – at least in the short to  
21 medium term – can be substantially higher than savings that are achievable when  
22 waiting until time of natural turnover. This is because the baseline from which  
23 savings from early retirement measures should be initially measured (i.e. the existing  
24 equipment efficiency) can be much less efficient than the baseline for a standard new  
25 piece of equipment.<sup>20</sup>

1

2 **Q: Do utility efficiency programs in other states include early retirement measures?**

3 A: Yes. Again, not for all measures, but for some measures. In fact, early replacement  
4 is common enough that a number of states' Technical Reference Manuals (TRM),  
5 which document common assumptions and/or protocols for estimate savings, include  
6 specific reference to early retirement measures (alternatively called early replacement  
7 measures) and how to estimate savings for them. For example, the Arkansas TRM  
8 "allows for early replacement of certain measures that have been verified through a  
9 number of evaluations." It further states that such early replacement has the benefit  
10 of

11 "being able to claim higher energy savings for the remaining useful life  
12 (RUL) of the equipment (the efficiency difference between the new,  
13 efficient equipment and the existing equipment), and then dropping to  
14 lower energy savings rates (under higher baselines) only for the period  
15 of the EUL that exceeds the RUL (the difference between new, efficient  
16 equipment and a code baseline)."<sup>21</sup>

17 Illinois is an example of another state whose TRM explicitly allows for calculating  
18 savings from existing equipment efficient levels for early retirement measures.<sup>22</sup>

19

20 **Q: What was the utilities' rationale for excluding early retirement measures from  
21 the potential study?**

22 A: FPL has suggested that the reason early retirement measures were not included in  
23 estimates of achievable potential is that there was a "lack of reliable information on  
24 early retirement adoption rates."<sup>23</sup>

25

1 **Q: Is that a reasonable explanation?**

2 A: No. As noted above, a number of utilities across the country run programs that  
3 include some early retirement measures. They all develop estimates of participation  
4 rates for those programs when developing plans they submit to their regulators.

5

6 **Q: What are the implications of excluding early retirement measures from the  
7 potential study?**

8 A: Excluding early retirement measures has the effect of reducing estimates of  
9 achievable potential, at least in the near to medium-term (e.g. in the next five years)  
10 during which the less efficient existing equipment would have been the baseline from  
11 which to measure savings.

12

13 **4. Cost-effective mid-efficiency measures excluded from economic savings potential  
14 when higher-efficiency measures – to which all savings potential was assigned  
15 when estimating technical potential – fail economic screening.**

16 **Q: What should happen when estimating technical potential and economic potential  
17 from end uses for which there are multiple potential “tiers” of efficiency  
18 improvement?**

19 A: When estimating technical potential, the most efficient measure should be assumed to  
20 be purchased and/or installed. For example, for residential pool pumps for which  
21 there are two efficiency upgrade options – two-speed pumps and variable speed  
22 pumps – the estimate of technical potential should be based on the presumption that  
23 all new pool pumps are the most efficient option, or variable speed pumps. To ensure  
24 that there is no double-counting of savings, the study should assume no market  
25 penetration of the less efficient upgrade option, or two-speed pumps.

1

2

3

4

5

6

7

8

9

10

11 **Q: Is that how the utilities and their consultant estimated technical potential and**  
12 **achievable potential?**

13 A: That is how all the utilities estimate technical potential. However, it is not how they  
14 all estimated economic potential. At least FPL and TECO failed to assign economic  
15 savings potential to measures that could cost-effectively provide levels of efficiency  
16 above baseline when the most efficient alternative measure used to estimate technical  
17 potential was not cost-effective.

18

19 **Q: Can you provide an example?**

20 A: I will give two FPL examples, one related to the efficient pool pumps discussed  
21 above and another related to air source heat pumps as replacements for electric  
22 resistance furnaces.

23

24 I'll start with savings potential from efficient pool pumps. Because variable speed  
25 pool pumps are more efficient than two-speed pool pumps, FPL estimated technical

1 potential from pool pumps based entirely on the savings that variable speed units  
2 could provide. That amounted to about 58 MW of summer peak savings, 33 MW of  
3 winter peak savings and 280 GWh of annual energy savings.<sup>24</sup> Again, that is the  
4 appropriate way to estimate technical potential. Then, when conducting cost-  
5 effectiveness screening, FPL found that although the two-speed pool pump passed the  
6 TRC test, the variable speed pool pump did not. Once it realized that was the case,  
7 the Company should have included in its estimate of economic potential the savings  
8 that could be provided by two-speed pool pumps. However, it neglected to do that.  
9 Instead, even though the two-speed pool pump was TRC cost-effective, the Company  
10 estimated that the economic savings potential from the measure was zero.<sup>25</sup>

11  
12 Similarly, when analyzing the savings potential by displacing electric resistance  
13 heating, the utilities analyzed two options: (1) a SEER 14 air source heat pump and a  
14 SEER 21 air source heat pump. Because SEER 21 is more efficient than SEER 14,  
15 FPL estimated technical potential from heat pumps replacing electric resistance heat  
16 based entirely on the savings that SEER 21 systems could provide. That amounted to  
17 about 77 MW of summer peak savings, 95 MW of winter peak savings and 474 GWh  
18 of annual energy savings.<sup>26</sup> Again, that is the appropriate way to estimate technical  
19 potential. Then, when conducting cost-effectiveness screening, FPL (and TECO)  
20 found that although the SEER 14 air source heat pump displacing electric resistance  
21 heat passed the TRC test, the SEER 21 alternative did not. Once it realized that was  
22 the case, FPL and TECO should have included in their estimate of economic potential  
23 the savings that could be provided by SEER 14 air source heat pumps displacing  
24 electric resistance heat. However, they neglected to do that. Instead, even though the  
25 SEER 14 air source heat pump displacing electric resistance heat was TRC cost-

1 effective, FPL and TECO estimated that the economic savings potential from the  
 2 measure was zero.<sup>27</sup>

3

4 **Q: What is the effect of the two TRC cost-effective measures you have identified as**  
 5 **being inappropriately excluded from FPL's estimates of economic potential?**

6 A: It is substantial. As Table 4 shows, just correcting the omitted savings from these two  
 7 measures could increase FPL's estimate of TRC economic energy savings potential  
 8 by 25%. It would also increase FPL's estimate of TRC economic winter peak savings  
 9 by 33% and summer peak savings by 5%.

10

11 **Table 4: Corrected FPL Pool Pump and ASHP Economic Potential Estimates**

Measure Name	Technical Potential			FPL Econ Potential			Corrected Econ Potential		
	GWh	S-MW	W-MW	GWh	S-MW	W-MW	GWh	S-MW	W-MW
Two-Speed Pool Pump	0	0	0	0	0	0	92	29	28
Variable Speed Pool Pump	280	58	33	0	0	0	0	0	0
SEER 14 ASHP vs elec res heat	0	0	0	0	0	0	223	0	46
SEER 21 ASHP vs elec res heat	474	77	95	0	0	0	0	0	0
<b>Totals for Both Measure Groups</b>	<b>754</b>	<b>135</b>	<b>128</b>	<b>0</b>	<b>0</b>	<b>0</b>	<b>316</b>	<b>29</b>	<b>74</b>
FPL Total for Other Residential							1251	618	228
<b>% Increase from Correction</b>							<b>25%</b>	<b>5%</b>	<b>33%</b>

16

17

18

19 **Q: How did you develop those estimates of corrected economic potential?**

20 A: I compared FPL's estimates of the per unit savings of the lower tier efficiency  
 21 measure to the higher tier alternative. For example, two-speed pool pumps produce  
 22 only 33% of the energy savings, 50% of the summer peak savings and 87% of the  
 23 winter peak savings that a variable speed pool pump would produce.<sup>28</sup> I then  
 24 multiplied those ratios by the technical potential of the higher tier measure to estimate  
 25 the economic potential of the lower tier measures.

1

2 **Q: Have you identified and quantified the impact of all measures for which this**  
3 **problem occurs within FPL's estimates of economic potential?**

4 A: No. That would require a substantial amount of analysis which, given the range of  
5 issues I have had to address, I was not able to undertake as part of drafting this  
6 testimony. Nor have I assessed the extent to which this may be a problem for the  
7 other utilities.

8

9 **5. Some non-incentive cost assumptions are unreasonably high.**

10 **Q: How did the utilities apply non-incentive costs when estimating achievable**  
11 **savings potential?**

12 A: The utilities made assumptions about average program costs per measure and  
13 included those costs when assessing which measures were cost-effective for estimates  
14 of potential.<sup>29</sup>

15

16 **Q: Have you reviewed those assumptions?**

17 A: Only for FPL.

18

19 **Q: Did you find FPL's non-incentive cost assumptions to be reasonable?**

20 A: Some appear to be unreasonably high. For example, FPL assumes that the average  
21 non-rebate cost for promoting investment in residential LED light bulbs is \$29 per  
22 light bulb! That is unfathomably high. By way of comparison, Commonwealth  
23 Edison, the electric utility serving the Chicago metropolitan area, rebated  
24 approximately 11.25 million light bulbs in its 2018 Residential Lighting Discounts  
25 program.<sup>30</sup> Its non-incentive costs for the program were \$5.98 million<sup>31</sup> – or about

1           \$0.53 per light bulb. In other words, FPL assumed a non-rebate cost per light bulb  
2           that was on the order of 55 times higher than ComEd's actual program experience.

3  
4           Similarly, FPL assumes that the non-incentive costs per low flow showerhead and per  
5           faucet aerator are \$29, or more than four times the total cost of the showerhead and  
6           nearly ten times the cost of the aerator. Again, that is unfathomably high.

7

8   **Q:    What are the implications of using such unreasonably high assumptions for non-**  
9   **incentive costs?**

10  A:    It depends. To the extent that the measures with problematic non-rebate cost  
11       assumptions were excluded from the estimates of achievable potential because they  
12       had paybacks of less than two years, as appears to be the case with low flow  
13       showerheads, there is no effect because FPL had already (inappropriately) excluded  
14       such measures from its estimate of achievable potential. However, it appears that  
15       some measures with potentially high savings potential (e.g. residential LED light  
16       bulbs) may have been excluded from TRC economic potential, and therefore TRC  
17       achievable potential as well, because of the unreasonably high non-incentive costs.

18

19  **6.    Assorted other potential study conservatisms contribute to underestimation of**  
20  **achievable cost-effective savings potential.**

21  **Q:    Have you identified any other problematic assumptions with the utilities'**  
22  **efficiency potential studies?**

23  A:    Yes, though I have not exhaustively reviewed every assumption in the studies. There  
24       are literally at least tens of thousands of different assumptions, so reviewing every  
25       one of them, as well as how they all interact, would have been an enormous

1           undertaking which I did not have the resources to pursue and for which this kind of  
2           proceeding is not well-suited given the amount of back-and-forth questioning that  
3           would be required. However, I have selectively examined a number of assumptions  
4           and identified more granular concerns. Examples are as follows:

5  
6           Understating residential heat pump water heating savings per unit. In estimating  
7           savings for residential heat pump water heaters, the utilities make a couple of  
8           problematic assumptions that lead to understating savings. First, the Energy Factor  
9           assumed for a heat pump water heater – 2.5<sup>32</sup> – is at the low end of the range for  
10          available models. Indeed, of the 58 models with capacities of less than 55 gallons  
11          that are Energy Star rated, only two had Energy Factors of below 2.8; the average was  
12          3.3 – or about 25% more efficient than assumed by the utilities.<sup>33</sup> In addition, the  
13          utilities inappropriately used a “manufactured home square footage adjustment” to  
14          reduce estimated savings potential for heat pump water heaters installed in  
15          manufactured homes by 41%.<sup>34</sup> There is no basis for reducing water heater savings  
16          down by the size of the home. Water heater savings are primarily a function of the  
17          number of occupants in the home; the utilities’ savings formula for heat pump water  
18          heaters had already accounted for the fact that manufactured homes have fewer  
19          occupants than single family homes.<sup>35</sup>

20           • Artificial cap on measure lives of 20 years. Nexant appears to have assumed  
21           that measures cannot have lives of longer than 20 years.<sup>36</sup> That is too short for  
22           a number of measures such as attic insulation or wall insulation added to  
23           homes, whole house fans, and centrifugal chillers. Other jurisdictions assume  
24           lives for such measures of 25 years<sup>37</sup> or even longer. Capping measures at 20  
25           years results in understating of the cost-effectiveness of some measures.

- 1           • Use of average line loss rates rather than marginal line loss rates to convert  
2 savings at the customers’ meters to savings at the generator.<sup>38</sup> Efficiency  
3 programs’ impact on line losses are – by definition – equal to marginal loss  
4 rates. This is important because line losses grow (largely) exponentially with  
5 load,<sup>39</sup> meaning that marginal line loss rates are much higher than average line  
6 loss rates. Thus, by using average loss rates the utilities are understating the  
7 economic value of efficiency savings.
- 8           • Failure to include all participant benefits in TRC test. It appears as if the  
9 utilities included only electric system benefits in the calculation of the TRC  
10 test. They exclude a number of additional participant benefits such as other  
11 fuel savings (e.g. natural gas savings that can occur when insulating a home  
12 with central air conditioning and gas heat), water savings (e.g. associated with  
13 low flow showerheads), or any of a range of non-energy benefits. The utilities  
14 suggest that is appropriate because inclusion of such benefits is “inconsistent  
15 with the test’s purpose which is to evaluate DSM measures from an all  
16 resource perspective.” However, other fuel savings and water savings are  
17 “resource benefits.” More importantly, the utilities have misconstrued the  
18 conceptual purpose of the TRC test, which is to assess cost-effectiveness from  
19 the combined perspective of the utility system and program participants.<sup>40</sup> By  
20 including all participant costs, but not all participant benefits, the utilities’  
21 TRC analyses violate one of the fundamental principles of cost-effectiveness  
22 analysis, with the result being a bias against efficiency resources.<sup>41</sup>  
23  
24  
25

1     **7.     Combined effect of potential study conservatisms is dramatic understating of**  
2           **achievable potential.**

3     **Q:     What is the combined effect of all of the conservatisms in the utilities' potential**  
4           **studies on the bottom line estimates of achievable savings?**

5     A:     That is very difficult to precisely quantify without essentially conducting a new  
6           analysis in which all assumptions are re-examined and revised (as needed), which I  
7           did not have the resources to do and for which this kind of proceeding is not well-  
8           suited. However, the impact is huge. As noted earlier, just eliminating the  
9           inappropriate two-year payback screen would have the effect of increasing TRC  
10          economic potential by roughly half.

11  
12          An alternative way to approach this question is to compare what the Florida potential  
13          studies suggested was economically achievable under the TRC test to what utilities in  
14          other leading states in the South have recently achieved. As Table 5 below shows,  
15          Duke Energy Carolinas (DEC) achieved savings equal to approximately 1.67% of  
16          sales to eligible customers in 2018.<sup>42</sup> That is at least 7.5 times greater than what any  
17          of the Florida utilities have suggested is TRC achievable and more than 90 times what  
18          FPL has suggested is TRC achievable – even though DEC was not implementing a  
19          plan designed to achieve all cost-effective savings. Similarly, Entergy Arkansas  
20          achieved savings equal to approximately 1.44% of its 2018 sales to eligible  
21          customers.<sup>43</sup> That is at least 6.5 times what any of the Florida utilities have suggested  
22          is TRC achievable and about 80 times what FPL has suggested is TRC achievable –  
23          again, even though Entergy Arkansas was not implementing a plan designed to  
24          achieve all cost-effective savings.

25

**Table 5: Florida TRC Achievable Estimates vs. Leading Southern Utility Actuals<sup>44</sup>**

Utility	State	Study or Actual?	Year(s)	Annual TRC Achievable Savings (GWh)	Total Eligible Sales (GWh)	Savings as % of Eligible Sales
FPL	FL	Study	2020-2029	20	108,514	0.02%
Duke	FL	Study	2020-2029	43	38,024	0.11%
TECO	FL	Study	2020-2029	31	19,187	0.16%
Gulf	FL	Study	2020-2029	22	10,809	0.21%
Orlando	FL	Study	2020-2029	14	6,568	0.21%
JEA	FL	Study	2020-2029	26	11,825	0.22%
<b>Duke Energy Carolinas</b>	<b>NC/SC</b>	<b>Actuals</b>	<b>2018</b>	<b>811</b>	<b>48,454</b>	<b>1.67%</b>
<b>Entergy</b>	<b>AR</b>	<b>Actuals</b>	<b>2018</b>	<b>256</b>	<b>17,730</b>	<b>1.44%</b>

**V. RECOMMENDATIONS**

**Q: What cost-effectiveness test would you propose that the Public Service Commission (PSC) rely upon in setting the utilities’ energy efficiency savings goals?**

**A:** As I stated earlier in this testimony, I strongly recommend against relying on the RIM test, as it is not a test of cost-effectiveness, has limited value in assessing potential impacts on non-participants, and is not used when assessing the reasonableness of supply-side resources for which energy efficiency can be a lower cost alternative. Conceptually, a properly executed TRC test – one that fully accounts for all utility system and participant impacts – is a much better gauge of the value of efficiency. The PSC could also consider a separate assessment of potential rate impacts, along with estimates of how many customers may participate over a 10-year period, to determine whether any constraints on acquisition of all TRC cost-effective efficiency potential may be warranted in order to balance concerns about impacts on any customers who choose not to participate.

1 **Q: Are you suggesting that the PSC base the utilities' energy efficiency savings goals**  
2 **on their current estimates of TRC cost-effective achievable potential?**

3 A: No. As I also discussed above, the TRC test as used by the utilities does not account  
4 for all utility system benefits or all participant benefits and therefore understates what  
5 is cost-effective. Perhaps even more importantly, there are numerous other problems  
6 with the utilities' efficiency potential studies' methodologies and assumptions that  
7 lead to significant underestimation of cost-effective potential, even under their  
8 definition of the TRC.

9

10 **Q: How would you suggest the PSC establish efficiency savings targets for the**  
11 **utilities in this proceeding?**

12 A: If the PSC does not order that the Utilities conduct a properly executed TRC Test, and  
13 given the absence of a defensible empirical analysis of cost-effective efficiency  
14 potential in the state, one approach would be to make an attempt at partially  
15 correcting the utilities' TRC economic potential results as I discuss below. This  
16 would be a very conservative approach as many issues leading to lower TRC results  
17 would remain unaddressed (such as FPL assigning zero economic potential to certain  
18 measures). Another approach would be to base energy efficiency targets on what the  
19 leading utilities in the South are already achieving. Specifically, the PSC could  
20 require each Florida utility to ramp up to 1.50% incremental annual savings per year  
21 – a level comparable to the 1.67% Duke Energy Carolinas achieved in 2018 and the  
22 1.44% achieved by Entergy Arkansas in 2018.

23

24 **Q: Couldn't comprehensive corrections be made to the utilities' potential studies to**  
25 **address the problems you have identified?**

1 A: Yes, conceivably. However, the problems are numerous, complicated, and  
2 interactive. Moreover, it is likely that there are others that I have not been able to  
3 identify given the limited time available to review numerous assumptions for literally  
4 thousands of efficiency measure permutations for six different utilities. Put simply, it  
5 would be an enormous undertaking to comprehensively address the issues I raised in  
6 my testimony, as well as ensure that there are no others that need addressing.

7

8 **Q: Can you illustrate the magnitude of the impact of correcting for any of the**  
9 **problems you have identified?**

10 A: Yes. I have estimated the impacts of correcting just two of the many problems noted:  
11 (1) the double-adjustment for free riders resulting from the application of a two-year  
12 payback screen; and (2) unreasonably low expectations by most of the utilities (the  
13 one possible exception being TECO) regarding the portion of economic potential that  
14 is achievable. As Table 6 shows, just correcting those two problems – by not using  
15 any payback screen and assuming that about half of economic potential is achievable  
16 instead of the 6% assumed by FPL and the 14 to 29% assumed by all but one of the  
17 other utilities (TECO assumed ~~41%~~<sup>44%</sup>) – would suggest that at least average annual  
18 savings ranging from 0.4% to 0.8% of annual electricity sales, depending on the  
19 utility, would be cost-effectively achievable over the 2020 to 2029 period.

20

21

**Corrections input  
by Debbie Krick,  
court reporter.**

22

23

24

25

**Table 6: Results of Eliminating Two-Year Payback Screen and  
 Assuming 50% of Economic Potential is Achievable**

Utility	2017 Annual Sales (GWh)	Utility Estimates of Average Annual Achievable Potential (GWh)	Utility Estimates of Achievable Potential as Percent of Sales	10-Year TRC Econ Potential without 2-Year Payback Screen (GWh)	Average Annual TRC Econ Potential without 2-Year Payback Screen (GWh)	Partially Corrected Average Annual Goal at 50% of Econ Potential (GWh)	Partially Corrected Average Annual Savings as Percent of Sales
FPL	108,514	20	0.02%	8905	891	445	0.4%
Duke	38,024	43	0.11%	5599	560	280	0.7%
TECO	19,187	31	0.16%	1785	179	89	0.5%
Gulf	10,809	22	0.21%	1762	176	88	0.8%
OUC	6,568	14	0.21%	835	84	42	0.6%
JEA	11,825	26	0.22%	1839	184	92	0.8%

**Q: How did you estimate economic potential without a two-year payback screen?**

A: As discussed above, both TECO and Gulf provided their own estimates of TRC economic potential without any payback screen. I have used their estimates. For FPL, I computed the amount of TRC cost-effective savings without a two-year payback screen using all of FPL's measure assumptions and the confidential analytical tool provided by the Company. I did not have such a tool for Duke, Orlando, or JEA, so I assumed that their TRC economic potential without a two-year payback screen would be approximately 80% higher than their own estimates of TRC economic potential with such a screen. The 80% increase is equivalent to Gulf Power's increase, the lowest of the three increases either made available by the utilities themselves or which I was able to compute.

**Q: Why did you assume that half of the economic potential would be achievable?**

1 A: That is a level consistent with several efficiency potential studies I have reviewed.  
2 For example, a recent efficiency potential study conducted for DTE, one of the two  
3 large investor-owned utilities in Michigan, estimated that the utility could achieve  
4 savings equal to 15.1% of its sales – about 46% of the estimated economic potential  
5 of 32.5% – over an 11-year period.<sup>45</sup> Similarly, a 2015 Arkansas efficiency potential  
6 study estimated that roughly 50% (2282 GWh out of 4594 GWh) of the savings the  
7 study found to be “economic” was achievable over the 2016 to 2025 period.<sup>46</sup> And a  
8 2018 study for the city of New Orleans found that maximum achievable potential  
9 over ten years – 25% of sales – was 56% of the economic potential.<sup>47</sup>

10

11 **Q: What would the utilities annual savings goals be if they were based on TRC cost-**  
12 **effective and achievable savings potential, as corrected for the two problems you**  
13 **just discussed (i.e. eliminating a two-year payback screen and assuming 50% of**  
14 **economic potential is achievable over ten years)?**

15 A: Assuming that the utilities could ramp up energy savings at the pace of at least 0.3%  
16 of sales per year (e.g. a utility whose goals are to ramp up to 0.6% of sales per year  
17 would take two years to get to that point),<sup>48</sup> and assuming that the peak savings to  
18 energy savings ratios in the economic potential would be reflective of the ratios in  
19 achievable potential,<sup>49</sup> the savings would be as shown in Tables 7, 8, and 9 below.  
20 Comparable tables broken down into Residential and Non-Residential values are  
21 provided as Exhibit JMG-2 to my testimony.

22

23

24

25

**Table 7: GWh Savings Based on Partially Corrected TRC Achievable**

Utility	Annual Sales	Incremental Annual Energy Savings (GWh)										10-Year Total	
		2020	2021	2022	2023	2024	2025	2026	2027	2028	2029		
FPL	108,514	326	445	445	445	445	445	445	445	445	445	445	4,333
Duke	38,024	114	228	280	280	280	280	280	280	280	280	280	2,582
TECO	19,187	58	89	89	89	89	89	89	89	89	89	89	861
Gulf	10,809	32	65	88	88	88	88	88	88	88	88	88	802
Orlando	6,568	20	39	42	42	42	42	42	42	42	42	42	393
JEA	11,825	35	71	92	92	92	92	92	92	92	92	92	842

**Table 8: Summer MW Savings Based on Partially Corrected TRC Achievable**

Utility	TRC kWh/kW	Summer Peak MW										10-Year Total	
		2020	2021	2022	2023	2024	2025	2026	2027	2028	2029		
FPL	3889	84	115	115	115	115	115	115	115	115	115	115	1114
Duke	2935	39	78	95	95	95	95	95	95	95	95	95	880
TECO	5475	11	16	16	16	16	16	16	16	16	16	16	157
Gulf	5063	6	13	17	17	17	17	17	17	17	17	17	158
Orlando	5299	4	7	8	8	8	8	8	8	8	8	8	74
JEA	5381	7	13	17	17	17	17	17	17	17	17	17	156

**Table 9: Winter MW Savings Based on Partially Corrected TRC Achievable**

Utility	TRC kWh/kW	Winter Peak MW										10-Year Total	
		2020	2021	2022	2023	2024	2025	2026	2027	2028	2029		
FPL	6650	49	67	67	67	67	67	67	67	67	67	67	652
Duke	5625	20	41	50	50	50	50	50	50	50	50	50	459
TECO	6736	9	13	13	13	13	13	13	13	13	13	13	128
Gulf	5933	5	11	15	15	15	15	15	15	15	15	15	135
Orlando	7802	3	5	5	5	5	5	5	5	5	5	5	50
JEA	7858	5	9	12	12	12	12	12	12	12	12	12	107

However, because these tables reflect savings estimates based on only partial corrections to the utilities' analyses, they significantly underestimate what is really cost-effectively achievable. Again, since it is not possible to make all the needed corrections to the utilities' analyses in this proceeding, I recommend that the PSC consider what the leading Southern utilities have achieved as being what is cost-effectively achievable – i.e. ramping up to energy savings equal to approximately 1.5% of sales per year.

1

2 **Q: What would be a reasonable ramp up period for getting to a 1.50% per year**  
 3 **savings goal?**

4 A: Assuming (as above) that the utilities could ramp up at a rate of 0.3% energy savings  
 5 as a percent of sales per year, it would be reasonable to ramp up to the 1.50% per year  
 6 level over a five-year period. Table 10 shows the resulting trajectory of savings  
 7 assuming a baseline level of sales consistent with 2017 sales levels. That may be  
 8 conservatively low if sales increase over time.

9

10 **Table 10: Proposed Energy Efficiency Savings Goals (GWh)**

Utility	Incremental Annual Energy Savings (GWh)										10-Year Total
	2020	2021	2022	2023	2024	2025	2026	2027	2028	2029	
All	0.30%	0.60%	0.90%	1.20%	1.50%	1.50%	1.50%	1.50%	1.50%	1.50%	12.00%
FPL	326	651	977	1,302	1,628	1,628	1,628	1,628	1,628	1,628	13,022
Duke	114	228	342	456	570	570	570	570	570	570	4,563
TECO	58	115	173	230	288	288	288	288	288	288	2,302
Gulf	32	65	97	130	162	162	162	162	162	162	1,297
Orlando	20	39	59	79	99	99	99	99	99	99	788
JEA	35	71	106	142	177	177	177	177	177	177	1,419

16

17 **Q: If the PSC adopted a 1.50% per year savings goal, what would you recommend**  
 18 **with regards to summer and winter peak demand savings goals for energy**  
 19 **efficiency programs for each utility?**

20 A: I cannot recommend specific peak demand savings targets because I arrived at these  
 21 energy savings targets from a “top down” perspective on what is reasonable rather  
 22 than from a “bottom up” approach to estimating savings. As discussed above, this top  
 23 down approach was necessitated by the numerous problems with the utilities’  
 24 efficiency potential studies that rendered them completely insufficient as a reference  
 25 for the magnitude of cost-effectively achievable savings potential. If the studies’

1 estimates of the ratios of TRC economic potential for summer and winter peak  
 2 savings to TRC economic potential for energy savings would be applicable to the  
 3 much more realistic and substantial 1.50% per year energy savings goals, the results  
 4 would be as shown in Table 11 below. Comparable tables of peak savings by sector,  
 5 as well as energy savings by sector, are provided in Exhibit JMG-3 of my testimony.  
 6 However, I would suggest additional analysis be undertaken to determine whether  
 7 those ratios would hold under an effective set of programs designed to achieve the  
 8 energy savings goals. Thus, I would recommend that the PSC initiate a process to  
 9 more carefully assess peak demand savings potential, perhaps even as part of the  
 10 utilities' energy efficiency program plan filings, in order to establish such goals.

11  
 12 **Table 11: Peak Savings Based on Florida Studies' TRC kW/kWh Ratios**

Utility	TRC kWh/kW Ratio	Summer Peak MW										10-Year Total
		2020	2021	2022	2023	2024	2025	2026	2027	2028	2029	
FPL	3889	84	167	251	335	419	419	419	419	419	419	3349
Duke	2935	39	78	117	155	194	194	194	194	194	194	1555
TECO	5475	11	21	32	42	53	53	53	53	53	53	421
Gulf	5063	6	13	19	26	32	32	32	32	32	32	256
Orlando	5299	4	7	11	15	19	19	19	19	19	19	149
JEA	5381	7	13	20	26	33	33	33	33	33	33	264
Utility	TRC kWh/kW	Winter Peak MW										10-Year Total
		2020	2021	2022	2023	2024	2025	2026	2027	2028	2029	
FPL	6650	49	98	147	196	245	245	245	245	245	245	1958
Duke	5625	20	41	61	81	101	101	101	101	101	101	811
TECO	6736	9	17	26	34	43	43	43	43	43	43	342
Gulf	5933	5	11	16	22	27	27	27	27	27	27	219
Orlando	7802	3	5	8	10	13	13	13	13	13	13	101
JEA	7858	5	9	14	18	23	23	23	23	23	23	181

17  
 18  
 19  
 20  
 21  
 22 **Q: Do you have any other recommendations?**

23 **A:** Yes. To address concerns about equity, I would recommend that the PSC also adopt  
 24 goals specifically for savings from low income customers. Mr. Wright's testimony  
 25 has more specific suggestions in that regard.

Direct Testimony of Jim Grevatt  
Southern Alliance for Clean Energy  
Florida PSC, Docket Nos. 20190015-EG,  
20190016-EG, 20190018-EG, 20190019-EG,  
20190020-EG, 20190021-EG

1

2 **Q: Does that conclude your testimony?**

3 A: Yes, it does.

1 BY MR. MARSHALL:

2 Q And did you have any exhibits attached to your  
3 testimony?

4 A Yes, I do.

5 Q And those would be Exhibits JMG-1 through  
6 JMG-20?

7 A Correct.

8 MR. MARSHALL: And just for the record, those  
9 would be Exhibits 64 through 83 on staff's  
10 comprehensive exhibit list.

11 CHAIRMAN GRAHAM: Duly noted.

12 BY MR. MARSHALL:

13 Q Mr. Grevatt, did you prepare a summary of your  
14 testimony?

15 A Yes, I did.

16 Q Would you please go ahead and give us your  
17 summary?

18 A I would be happy to. Thank you.

19 Good afternoon, Mr. Chairman and  
20 Commissioners. Based on my review of the petitions  
21 filed by the companies, I recommend that the Commission  
22 reject the utilities' proposed goals and, instead,  
23 require the utilities to achieve significantly more  
24 energy efficiency so that customers are not deprived of  
25 hundreds of millions of dollars in cost-effective

1 benefits. My technical analysis of the utility proposed  
2 goals identified two foundational reasons for the  
3 remarkably low and unsupportable savings goals proposed  
4 by the utilities.

5 First, in spite of generation efficiency,  
6 increased codes and standards and other market changes,  
7 customer bills are high, indicating that the RIM is no  
8 longer reliable as the primary test to protect  
9 customers. Limiting programs to those that pass RIM  
10 ignores enormous cost-effective customer benefits.

11 For example, in FPL's TRC plan, it has a  
12 revenue requirement that is \$104 million less than the  
13 RIM plan, but the rate impact of the TRC plan is only  
14 five/one-thousandths of a cent per kilowatt hour more,  
15 five-one-thousandths of a cent per kilowatt hour.

16 So just on the CPVRR basis alone, TRC makes  
17 more sense. And that's not even considering the  
18 enormous potential for bill savings that participating  
19 customers will receive.

20 So RIM is really a measure of lost revenues,  
21 and that is really about utility profits more than  
22 anything else; because to the extent to which rates are  
23 going to go up based on lost revenues depends on whether  
24 the Commission determines that the utility is earning  
25 within its allowed band of return, and whether the

1 Commissioner determines that those lost revenues should  
2 be authorized to be collected or not.

3 RIM may indicate directionally whether rates  
4 will go up. If utilities are allowed to collect lost  
5 revenues, then they may suggest whether nonparticipant  
6 costs will increase. But when that increase is barely  
7 measurable, it's not worth sacrificing hundreds of  
8 millions of dollars in benefits.

9 Secondly, the utility's assessment of  
10 achievable potential is deeply flawed with a profound  
11 bias towards underestimating potential. Free riders are  
12 accounted for in Nexant's baseline measure adoption  
13 forecast in the technical potential estimate.

14 So the utility used subsequent to that of a  
15 two-year payback screen to remove free riders from  
16 economic potential, I believe, is indefensible. It's  
17 removing the same group of free riders twice. It does  
18 not make any sense.

19 Further, the assumption that all customers  
20 will install measures that have a two-year payback has  
21 no empirical basis, defies experience and common sense,  
22 and it contradicts the utility's own projections for  
23 participation.

24 So I attempted to address these and other  
25 flaws in the potential study, and provided a partially

1 corrected estimate of TRC achievable potential, but I  
2 found that because there were deficiencies that were  
3 really rampant throughout the utility models, this still  
4 greatly underestimates a TRC achievable savings.  
5 Therefore, I recommend that the utilities' ramp up to  
6 one-and-a-half percent annual savings over a multiyear  
7 period. And the one-and-a-half percent number is based  
8 on consistency with several leading utilities in the  
9 southeast, the achievements that they are making.

10 In short, the combination of the flaws that I  
11 found in my analysis leads to insupportably low goal  
12 proposals that appear to be based on maximizing utility  
13 profits rather than on serving customers.

14 Thank you.

15 **Q Thank you.**

16 MR. MARSHALL: We tender the witness for  
17 cross-examination.

18 CHAIRMAN GRAHAM: Thank you.

19 OPC?

20 MS. FALL-FRY: No questions.

21 CHAIRMAN GRAHAM: Ms. Wynn?

22 MS. WYNN: No questions.

23 CHAIRMAN GRAHAM: Kelley?

24 MS. CORBARI: No questions.

25 CHAIRMAN GRAHAM: JEA?

1 MR. PERKO: No questions.

2 CHAIRMAN GRAHAM: Any questions? Anybody down  
3 this line?

4 MR. LAVIA: No questions.

5 MR. BERNIER: No questions.

6 MR. MEANS: No questions.

7 MR. COX: No questions.

8 CHAIRMAN GRAHAM: Staff?

9 MS. DUVAL: No questions.

10 CHAIRMAN GRAHAM: Commissioners?

11 I guess there is no redirect?

12 MR. MARSHALL: I guess not.

13 CHAIRMAN GRAHAM: Hold on a second.

14 Commissioner Polmann decided he needed to ask a  
15 question.

16 COMMISSIONER POLMANN: Good afternoon, sir.

17 THE WITNESS: Good afternoon.

18 COMMISSIONER POLMANN: I understand from your  
19 summary remarks that your recommendation is to ramp  
20 up to one-and-a-half percent of sales?

21 THE WITNESS: Correct.

22 COMMISSIONER POLMANN: I had some, I don't  
23 want to say difficulty, but I read a number of  
24 different things in your direct testimony, so I  
25 just wanted to clarify that that is your actual

1 recommendation, among many other things that were  
2 written?

3 THE WITNESS: It is.

4 COMMISSIONER POLMANN: Okay. So that's a  
5 single number that you are recommending?

6 THE WITNESS: Yes.

7 COMMISSIONER POLMANN: Okay. Thank you very  
8 much. Thanks for the clarification.

9 Thanks, Mr. Chairman.

10 CHAIRMAN GRAHAM: Redirect?

11 FURTHER EXAMINATION

12 BY MR. MARSHALL:

13 Q Just to be clear, but you did present a  
14 partially -- you did present a separate set of TRC  
15 achievable potential goals as well in your testimony, in  
16 addition to the 1.5 percent goals?

17 A I did, indeed. And those -- the partially  
18 corrected TRC achievable is higher -- you know,  
19 considerably higher than the goals -- certainly than the  
20 RIM goals proposed by the utilities, especially those  
21 utilities that proposed goals of zero, but not as high  
22 as one-and-a-half percent.

23 The one-and-a-half percent certainly  
24 represents the high end of what utilities in the  
25 southeast are achieving, but, you know, as an

1 alternative approach, making the corrections, at least  
2 to the most fundamental flaws that I identified in the  
3 potential study, and supporting those TRC achievable  
4 goals would be, I think, a great step forward.

5 **Q Thank you.**

6 MR. MARSHALL: No further questions.

7 CHAIRMAN GRAHAM: Exhibits?

8 MR. MARSHALL: We would move that Exhibits 64  
9 through 83 be entered into the record.

10 CHAIRMAN GRAHAM: 64 through 83, is there any  
11 objections to entering those into the record?

12 Seeing none, we will enter Exhibits 64 through 83.

13 (Whereupon, Exhibit Nos. 64-83 were received  
14 in evidence.)

15 CHAIRMAN GRAHAM: Would you like to excuse  
16 this witness?

17 MR. MARSHALL: We would. We ask that the  
18 witness be excused.

19 CHAIRMAN GRAHAM: Thank you, sir, for your  
20 testimony.

21 THE WITNESS: Thank you, Commissioners.

22 (Witness excused.)

23 CHAIRMAN GRAHAM: Okay. Next witness.

24 MR. MARSHALL: SACE would call Forest  
25 Bradley-Wright to the stand.

1 Whereupon,

2 FOREST BRADLEY-WRIGHT

3 was called as a witness, having been previously duly  
4 sworn to speak the truth, the whole truth, and nothing  
5 but the truth, was examined and testified as follows:

6 EXAMINATION

7 BY MR. MARSHALL:

8 Q Good afternoon. Were you previously sworn  
9 yesterday?

10 A Yes, I was.

11 Q And could you please state your name and  
12 business address for the record?

13 A Forest Bradley-Wright. 3804 Middlebrook Pike,  
14 Knoxville, Tennessee, 37921.

15 Q And on whose behalf are you testifying today?

16 A The Southern Alliance for Clean Energy and the  
17 League of United Latin American Citizens.

18 Q On June 10th, 2019, did you prepare and cause  
19 to be filed direct testimony and exhibits?

20 A Yes, I did.

21 Q And do you have that testimony and those  
22 exhibits with you today?

23 A I do.

24 Q If I asked you the same questions today, would  
25 your answers be the same?

1           A     They would.

2           **Q     And do you have any changes to your prefiled**  
3 **testimony or exhibits?**

4           A     I do have one small change.  On page four of  
5 my testimony, referring to a figure related to energy  
6 burden, on lines 12 through 13, there is a parenthetical  
7 statement that states that the energy burden includes  
8 both household and transportation costs.  That  
9 parenthetical statement can be struck.  This refers only  
10 to household costs, which are germane to this testimony.

11                   MR. MARSHALL:  Mr. Chairman, at this point, I  
12 would like to have Mr. Bradley-Wright's prefiled  
13 direct testimony entered into the record as though  
14 read.

15                   CHAIRMAN GRAHAM:  We will enter Mr. Wright's  
16 prefiled direct testimony with that correction into  
17 the record as though read.

18                           (Whereupon, prefiled testimony was inserted.)  
19  
20  
21  
22  
23  
24  
25

**BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

In re: Commission Review of Numeric     )  
 Conservation Goals                             )  
 Florida Power & Light Company             )  
 \_\_\_\_\_)                                     DOCKET NO. 20190015-EG

In re: Commission Review of Numeric     )  
 Conservation Goals                             )  
 Gulf Power Company                            )  
 \_\_\_\_\_)                                     DOCKET NO. 20190016-EG

In re: Commission Review of Numeric     )  
 Conservation Goals                             )  
 Duke Energy Florida, LLC                    )  
 \_\_\_\_\_)                                     DOCKET NO. 20190018-EG

In re: Commission Review of Numeric     )  
 Conservation Goals                             )  
 Orlando Utilities Commission                )  
 \_\_\_\_\_)                                     DOCKET NO. 20190019-EG

In re: Commission Review of Numeric     )  
 Conservation Goals                             )  
 JEA    )  
 \_\_\_\_\_)                                     DOCKET NO. 20190020-EG

In re: Commission Review of Numeric     )  
 Conservation Goals                             )  
 Tampa Electric Company                      )  
 \_\_\_\_\_)                                     DOCKET NO. 20190021-EG

**TESTIMONY OF FOREST BRADLEY-WRIGHT  
 ON BEHALF OF  
 SOUTHERN ALLIANCE FOR CLEAN ENERGY**

**June 10, 2019**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## I. Introduction

**Q. Please state your name, position and business address.**

**A.** My name is Forest Bradley-Wright. I am the Energy Efficiency Director for Southern Alliance for Clean Energy (“SACE”), and my business address is 3804 Middlebrook Pike, Knoxville, Tennessee.

**Q. On whose behalf are you testifying in this proceeding?**

**A.** I am testifying on behalf of SACE.

**Q. Please summarize your qualifications and work experience.**

**A.** I graduated from Tulane University in 2001 and in 2013 received my Master of Arts degree from Tulane in Latin America Studies with an emphasis on international development, sustainability, and natural resource planning.

My work experience in the energy sector began in 2001 at Shell International Exploration and Production Co., where I served as Sustainable Development Team Facilitator.

From 2005 to 2018, I worked for the Alliance for Affordable Energy. As the Senior Policy Director, I represented the organization through formal intervenor filings and before regulators at both the Louisiana Public Service Commission and the New Orleans City Council on issues such as integrated resource planning, energy-efficiency rulemaking and program design, rate cases, utility acquisition, power plant certifications, net metering, and utility scale renewables. As a consultant, I also prepared and filed intervenor comments on renewable energy dockets before the Mississippi and Alabama Public Service Commissions. In 2014, I was a runoff candidate for the Louisiana Public

1 Service Commission First District seat.

2 Since 2018, I have been the Energy Efficiency Director for SACE. My responsibilities  
3 include leading dialogue with utilities and regulatory officials on issues related to energy  
4 efficiency in resource planning, program design, budgets, and cost recovery. This  
5 includes formal testimony, comments, presentations, and/or informal meetings in the  
6 states of Georgia, Florida, North Carolina, South Carolina, Mississippi, and in  
7 jurisdictions under the Tennessee Valley Authority.

8

9 A copy of my resume is included as Exhibit FBW-1.

10

11 **Q: Have you been an expert witness on energy-efficiency matters before regulatory**  
12 **commissions?**

13 A: Yes, I have filed expert witness testimony in Georgia related to Georgia Power  
14 Company's 2019 Demand Side Management application and in North Carolina related to  
15 the Duke Energy Carolinas DSM/EE Recovery Rider. This is my first time submitting  
16 testimony to the Florida Public Service Commission ("Commission").

17

18 **Q: Please summarize your testimony and key findings.**

19 A: I have reviewed the utility filings as they relate to evaluation of low-income efficiency  
20 opportunities and came to the following conclusion:

- 21 • With a low-income population totaling more than 5 million individuals (36.8%) across  
22 their combined service territories, and a prevalence of high energy burdens that cause  
23 financial vulnerability, there is an enormous need for energy efficiency that matches the  
24 unique characteristics of this important customer segment.

25

- 1 • Due to fundamental flaws in applicability of the Ratepayer Impact Measure (“RIM”) test
- 2 and the two-year screen, the Commission should establish evaluation standards for low-
- 3 income efficiency based primarily on the Total Resource Cost (“TRC”) test.
- 4 • I offer a methodology for calculating the low-income targets, provide specific savings
- 5 levels for each utility, and suggest they be incorporated into the overall savings goals set
- 6 by the Commission in this proceeding.
- 7 • I recommend the Commission set an expectation that all low-income customers will have
- 8 access to relevant efficiency programs going forward, through both neighborhood
- 9 deployment and deeper savings programs.

10

11 **II. Specific Energy Efficiency Targets Should Be Established For Serving Low-income**

12 **Customers**

13

14 **Q: Why is addressing energy burden for low-income customers an important**

15 **consideration for Commission action in this Florida Energy Efficiency Conservation**

16 **Act (“Energy Efficiency Act”) proceeding?**

17 A: For millions of Floridians living on limited income, paying the monthly energy bill

18 presents a significant financial challenge, one that can lead to difficult tradeoffs against

19 other essential needs. Research by the American Council for an Energy Efficient

20 Economy<sup>1</sup> shows that families with high energy burdens often struggle to move out of

21 poverty, may face increased economic hardship, and are at greater risk of negative health


22 effects related to respiratory diseases and increased stress. The National Association for

23 the Advancement of Colored People has recognized that advancing energy efficiency and

24 clean energy is essential to decreasing depending on harmful energy production practices

25 while preserving health and livelihoods of community members.<sup>2</sup>

1 **Figure 1. Quartile Energy Burdens of Low-Income Households in Southeastern Cities**



21 **Low-income households in Florida cities in this study face high energy burdens. On average, half the low-income households in Jacksonville, Tampa, Orlando, and Miami have an energy burden greater than 7.2%, and a quarter of them, over 12%. The national average is 3.5%.**

22 *Corrections input by Debbie Krick, court reporter.*

23 Figure 1 above shows that total energy burdens (~~both household and transportation~~) in major Florida cities are far above the threshold for unaffordability for households in the top quintile.

24 According to U.S. Census data, more than 5 million people served by the utilities in this proceeding live on incomes that are at or below 200% of the federal poverty levels, the threshold used for determining eligibility for federally funded low income weatherization assistance. In each of the utility service areas, this represents more than a third of the population, ranging from 35% for Gulf Power Company (“Gulf”) to 43% for Orlando Utilities Commission (“OUC”).

25 Table 1 below uses U.S. Census data to calculate the percentage of population in each utility service territory that is at or below 200% of the federal poverty level.

**Table 1. Service Territory Population At or Below 200% of the Federal Poverty Level <sup>3</sup>**

	<b>Total Population</b>	<b>Population Below 200% Poverty Level</b>	<b>% Below 200% Poverty Level</b>
<b>Florida Power &amp; Light</b>	8,648,817	<b>3,171,934</b>	36.7%
<b>Duke Energy Florida</b>	3,099,509	<b>1,158,262</b>	37.4%
<b>Tampa Electric</b>	1,414,898	<b>511,709</b>	36.2%
<b>Jacksonville Electric</b>	777,039	<b>289,477</b>	37.3%
<b>Gulf Power</b>	524,860	<b>183,894</b>	35.0%
<b>Orlando Utilities Comm.</b>	169,278	<b>73,238</b>	43.3%
<b>Total</b>	14,634,402	<b>5,388,514</b>	36.8%

Energy efficiency is widely recognized as the best strategy for reducing high energy burdens. Its deployment should be scaled in both breadth and depth to truly and effectively improve conditions for the millions of families and individuals struggling to pay high monthly electric bills.

**Q: How do energy efficiency programs address energy burden?**

**A:** Utility energy efficiency programs that are designed to serve the unique needs of low-income customers address energy burdens at their root source. These programs strive to provide assistance to the neediest customers, like the elderly, disabled, struggling families, the working poor, and others for whom unaffordable energy bills can be the difference between their ability to make rent or afford medicine, food, or other

1 necessities.

2

3 Many low-income households reside in older homes, which are often poorly insulated,  
4 have outdated appliances, and use heating and cooling systems that are less efficient.

5 During times of extreme hot or cold weather, these inefficient homes have much higher  
6 energy bills, which can lead to difficult decisions between reducing or forgoing food or

7 medicine in order to pay energy costs, leaving the home at unhealthy temperatures, or

8 having their electricity service disconnected.<sup>4</sup> According to a recent report by the Federal

9 Reserve, nearly 40 percent of Americans would struggle to cover an unexpected \$400

10 expense, such as a car repair or appliance replacement, and 12% wouldn't be able to pay

11 their current monthly bills,<sup>5</sup> while others resort to high-interest short-term lending (e.g.

12 payday loans), which can lead to even greater financial risk.<sup>6</sup>

13

14 Energy efficiency improvements would substantially reduce energy bills for these

15 families, both in general and especially during periods of extreme hot or cold

16 temperatures. But without efficiency programs directed to serve low-income households,

17 the same financial constraints that make energy bills unaffordable will also make

18 efficiency improvements inaccessible, thus perpetuating a cycle of high electricity bills

19 and energy insecurity. In recognition of this, utility efficiency programs for low-income

20 customers typically provide the improvements for free, rather than covering just a portion

21 of the incremental cost like standard efficiency rebate offerings.

22

23 **Q: Has the Commission emphasized a need for utilities to provide energy efficiency to**  
24 **low-income customers?**

25

1 A: The Commission made energy efficiency for low-income customers a key policy priority  
2 in the 2014 Energy Efficiency Act target-setting proceeding. Support of energy  
3 efficiency for low-income customers is a notable area of rare common interest between  
4 Florida’s major utility companies and public interest advocates, like the Southern  
5 Alliance for Clean Energy. I believe further growth and formalization of low-income  
6 energy efficiency in this Energy Efficiency Act proceeding will be an important step  
7 forward, one that will make a significant difference in the lives of those customers who  
8 most need it.

9  
10 In the 2014 Energy Efficiency Act final order, the Commission stated its concern for low-  
11 income customers and the need for energy efficiency assistance.

12  
13 “During the hearing, we voiced our concerns regarding how the FEECA Utilities’ goals-  
14 setting analyses affected the low income customer base and questioned the FEECA  
15 Utilities regarding the types of programs each utility marketed to their low income  
16 customers.”<sup>7</sup>

17  
18 Unfortunately, when the RIM test and two-year payback screen were applied, the most  
19 affordable measures with some of the highest impacts had been removed from the target  
20 setting process. This included measures that commonly make up low-income efficiency  
21 program offerings. However, the Commission’s Order indicated that flexibility was  
22 warranted when it came to incorporating measures with a short payback period, stating  
23 generally:

24  
25

1           “Using a two-year criterion to screen for potential free riders in the goals-setting stage is  
2           not so rigid as to prevent low-cost measures from being included in carefully crafted  
3           utility programs.”<sup>8</sup>

4  
5           The Commission was even more specific with their guidance to utilities with regard to  
6           addressing the two-year payback issue in their DSM implementation plans:

7  
8           “When the FEECA Utilities file their DSM implementation plans, each plan should  
9           address how the Utilities will assist and educate their low income customers, specifically  
10          with respect to the measures with a two-year or less payback.”<sup>9</sup>

11  
12   **Q:    What actions has the Commission taken since to ensure this policy priority is**  
13    **enacted?**

14   **A:**    In responding to each utility’s 2015 DSM Plans, the Commission further reinforced and  
15          specified their expectations regarding efficiency offerings for low-income customers.  
16          Most significant was the Commission’s acceptance of measures and programs without  
17          the RIM test and two-year payback screening requirements. The Commission addressed  
18          each of these issues in their Order approving Tampa Electric Company’s (“TECO”) 2015  
19          DSM Plan:

20  
21          “In the goal-setting proceeding, we established a two-year payback methodology to  
22          account for free riders, but that educational and low-income programs, including those  
23          with measures with a less than two-year payback, were encouraged.”<sup>10</sup>

24  
25

1 “The only programs in TECO’s DSM Plan to fail the RIM test were programs that target  
2 eligible low-income ratepayers. These programs did pass the TRC test, and comply with  
3 the requirements established in Order No. PSC-14-0696-FOF-EU, to assist and educate  
4 low-income customers.”<sup>11</sup>

5  
6 In approving Florida Power & Light’s (“FPL”) 2015 DSM Plan, they again stated that the  
7 utility’s low-income efficiency program had met the Commission’s requirements by  
8 passing the TRC test, rather than the RIM test, and specifically noted inclusion of  
9 measures for the low-income program without the two-year screen:

10  
11 “The only program in FPL’s DSM Plan to fail the RIM test is the Residential Low  
12 Income program, which targets eligible low income ratepayers for assistance with  
13 weatherization, air conditioning, and water heating. The program does however pass the  
14 TRC test, and complies with the requirements established in Order No. PSC-14-0696-  
15 FOF-EU to assist and educate low-income customers.”<sup>12</sup>

16  
17 “FPL has incorporated the two-year payback methodology into the design of its DSM  
18 Plan, and only includes savings from measures with a less than two-year payback in its  
19 residential low income program.”<sup>13</sup>

20  
21 The Commission similarly approved the program plans for all Energy Efficiency Act  
22 utilities that followed these guidelines.

23  
24 **Q: Have the Utilities spoken to inclusion of low-income efficiency in their 2019 Energy**  
25 **Efficiency Act applications?**

1 A: Yes, each utility has indicated their intention to continue offering specialized low-income  
2 efficiency programs while including accommodations like those described above.

3  
4 FPL stated in testimony that efficiency has been an important form of assistance for low-  
5 income customers and indicated that addressing it is a requirement from the  
6 Commission's 2014 Energy Efficiency Act target-setting Order. The Company went  
7 further this time, requesting a specific target for low-income efficiency that is notable for  
8 being approximately 34 times larger than the entire target they propose for all other  
9 customers.

10  
11 "As previously discussed, in the decades since FEECA was enacted, the marketplace has  
12 evolved dramatically. While utility-provided incentives for traditional EE measures no  
13 longer make sense because they are not cost-effective,<sup>14</sup> they have been one of the  
14 sources of assistance to low income customers. In recognition of these changes, FPL is  
15 proposing to retain and expand its existing Low Income program. Although this program  
16 is not cost-effective, FPL believes continuing to provide assistance to this vulnerable  
17 group is appropriate and warranted to replace eliminated EE program options that will no  
18 longer be available. This proposal is consistent with the Commission 2014 Goals docket  
19 Order No. PSC-14-0696-FOF-EU, wherein the Commission recognized the importance  
20 of supporting these customers. If approved, the estimated ten-year amounts of 14  
21 Summer MW, 4 Winter MW and 34,000 MWh associated with this proposal should be  
22 added to FPL's currently proposed 2020-2029 DSM Goals."<sup>15</sup>

23  
24 TECO reiterated that there is additional flexibility for incorporating measures into low-  
25 income programs, which they intend to continue:

1            “[TECO] is not limited to using any measures that could be utilized in a cost-effective  
2            DSM Program. For example, the company is planning to retain its current weatherization  
3            and energy education programs that include energy-efficiency kits which are made up of  
4            both cost-effective and not cost-effective measures which focus on gaining participation  
5            of low-income customers in the company’s DSM programs portfolio.”

6  
7            OUC made a point of highlighting the higher than average level of households living in  
8            poverty in their service territory. They describe the specific challenge these customers  
9            face when attempting to access efficiency without specific utility programs. For  
10           example, issues caused by use of the RIM test, which they note have “special weight” in  
11           light of their low-income population.

12  
13           “Approximately 40 percent of OUC’s residential customers have household incomes less  
14           than \$35,000, which is approximately 1.4 times the federal poverty level for a family of  
15           four.”<sup>16</sup>

16  
17           “The fact that so many OUC residential customers are low-income and renters presents  
18           challenges to the effective implementation of DSM measures and programs for OUC, and  
19           particularly for this potential target population. Briefly, low-income customers simply do  
20           not have the discretionary income to pay the customer’s cost to participate in a DSM  
21           program, and renters have little if any control over such expenditures and investments by  
22           their landlords.”<sup>17</sup>

1 “The negative RIM results for the 278 measures studied by Nexant have special weight  
2 for OUC’s consideration because of the relatively high portions of low income customers  
3 and renters we serve.”<sup>18</sup>

4  
5 **Q: Should formal goals be established for each utility to delivering efficiency savings to**  
6 **low-income customers?**

7 A: I strongly encourage the Commission to formalize targets for low-income efficiency as  
8 part of this Energy Efficiency Act proceeding. Their scale of need is large, with more  
9 than 5 million households (approximately 36.7%) in Energy Efficiency Act utility service  
10 territories living on incomes that are at or below 200% of the federal poverty line - a  
11 standard by which eligibility for low-income efficiency programs is commonly measured.  
12 This need is even greater at a time when utilities are seeking to scale back standard  
13 residential efficiency offerings, which are already less accessible to low-income  
14 customers. As a matter of policy, further direction from the Commission on setting low-  
15 income efficiency targets would bring additional clarity in evaluation standards,  
16 consistency between utilities, and lead to greater savings impact for low-income  
17 customers. As discussed later in this testimony, the superior performance results  
18 achieved by some Energy Efficiency Act utilities demonstrate that substantially higher  
19 savings attainment should be possible for their peers. By setting specific low-income  
20 efficiency savings targets, the Commission can raise the bar to ensure all utilities deliver  
21 optimal performance through their low-income efficiency programs.

22  
23 **Q: Should the evaluation of DSM potential and the setting of overall efficiency savings**  
24 **targets for each utility incorporate and reflect the low-income efficiency savings**  
25 **goals?**

1 A: Yes, efficiency for low-income customers should be part of the broader efficiency  
 2 potential analysis required in this proceeding, and the results for low-income standard  
 3 efficiency offerings should be incorporated together into the total Energy Efficiency Act  
 4 savings targets authorized by this Commission. Later in this testimony, I discuss a  
 5 number of specific considerations that are needed for evaluating the low-income  
 6 efficiency potential upon which targets can be set.

7

8 **III. Formal Standards Are Needed for Evaluating Energy Efficiency Potential for Low-**  
 9 **income Customers**

10

11 **Q: Why is use of the RIM test problematic with evaluating low-income efficiency?**

12 A: The Commission has authorized utilities to proceed with low-income programs without a  
 13 requirement for passing RIM. I believe this is the right approach for several reasons.  
 14 In his testimony (relevant portions of which I summarize below), Mr. Grevatt raises a  
 15 number of significant concerns with use of the RIM test.

16

17 - RIM is not actually a test of cost-effectiveness, it indicates whether rates will be  
 18 impacted, which is at best an imperfect test of impact to non-participants.

19 - Lost revenues are not an added cost of energy efficiency.

20 - Potential rate impacts alone are not sufficient for regulatory decision-making, they  
 21 must be balanced with a consideration of benefits.

22 - Limiting measures only to those that pass RIM greatly constrains the savings targets  
 23 and reduces total financial benefit.

24 - No other state uses RIM as the sole or primary test.

25

1 Application of the RIM test is even more problematic when it comes to evaluating  
2 efficiency for low-income customers. The central policy consideration emphasized by  
3 the Commission in the previous Energy Efficiency Act cycle related to low-income  
4 customers concerned the additional barriers (primarily financial) that limit their access to  
5 efficiency and their vulnerability to high energy bills and rate increases.<sup>19</sup> However, the  
6 RIM test and the two-year screen, discussed below, caused many of the most common  
7 and impactful measures for low-income customers to be cut. Most of the measures that  
8 remained required significant up-front out-of-pocket expenditures that would likely be  
9 out of reach for low-income customers.

10  
11 In addition to limiting specific measures, screening with RIM results in much smaller  
12 total budgets for energy efficiency than alternative screening methodologies. With less  
13 investment, fewer customers are able to participate, further eroding low-income customer  
14 access to efficiency. Without policy to ensure low-income efficiency programs are  
15 provided at sufficient scale, customers with limited financial means would lose a critical  
16 tool for controlling their energy costs and thereby remain vulnerable to the financial risk  
17 of high energy bills.

18  
19 I'm aware of no program that uses RIM for screening of low-income at the measure,  
20 program, or portfolio level. As noted in the section above, since the 2014 Energy  
21 Efficiency Act proceeding, the Commission and utilities do not require low-income  
22 efficiency measures and programs to pass the RIM test.

23  
24 **Q: Why is use of the Total Resource Cost Test the appropriate method for evaluating**  
25 **low-income efficiency?**

1 A: For all the deficiencies of the RIM test noted above, there is clearly still a value in  
2 screening low-income energy efficiency measures to ensure the investments will yield net  
3 benefits. The Total Resource Cost test is the natural choice, since it is already statutorily  
4 recognized<sup>20</sup> and its use is well established for this purpose.

5  
6 The TRC test has several key advantages for screening low-income energy efficiency.  
7 First, it is one of the most respected industry standard cost effectiveness tests for  
8 evaluating energy efficiency.

9  
10 Second, the utilities in this proceeding already calculated the TRC in their analysis of  
11 technical, economic, and achievable potential, though Mr. Grevatt identified a number of  
12 important technical issues. Third, the TRC can be applied effectively for screening  
13 individual measures, setting savings goals, and developing programs. Fourth, analysis  
14 with the TRC is not impacted by levels of utility incentives offered, meaning it can be  
15 used to evaluate savings potential regardless of the portion of cost paid by the participant  
16 or utility. Finally, use of the TRC test is the dominant method for evaluating cost  
17 effectiveness for low-income energy efficiency across the country, imparting both  
18 validity to its use and opportunities to learn from the practices employed in other  
19 jurisdictions.<sup>21</sup>

20

21 **Q: Would use of the Participant Cost Test be a viable alternative?**

22 A: Use of the Participant Cost Test, while also statutorily recognized, would not be  
23 appropriate as the primary test. Because low-income energy efficiency programs are  
24 generally provided at no cost to customers, any measure that produces savings will  
25 automatically pass, even if the cost of implementing the measure exceeds the value of its

1 energy savings potential. Moreover, just because something passes the Participant Cost  
2 Test, low-income customers still may not be able to afford it.

3

4 **Q: Why is use of the two-year payback screen inconsistent with the energy efficiency**  
5 **needs of low-income customers?**

6 A: As with RIM, there are a number of problems with the two-year screen that result in  
7 double counting and suppression of targets based on assumptions that are at odds with  
8 existing conditions and customer decision-making practices. The effect the two-year  
9 screen has on reducing portfolio level savings for standard energy efficiency measures is  
10 significant. But the problems with use of the two-year payback screen are even more  
11 problematic when considering low-income efficiency because the free ridership  
12 assumptions underpinning the screen simply do not apply to this group of customers.

13

14 As noted in Mr. Grevatt's testimony, the leading issue is that naturally occurring energy  
15 efficiency adoption is already factored into the Nexant technical potential analysis,  
16 thereby accounting for free ridership prior to application of the two-year payback screen.  
17 This includes accounting for future government codes and standards, and identifies  
18 customers who will purchase products that exceed those requirements without utility  
19 efficiency programs. Because Nexant already accounted for free ridership at the  
20 technical potential level, "the two-year payback screen is a redundant adjustment for free  
21 riders that artificially makes cost-effective potential appear to be lower than it really is."<sup>22</sup>

22

23 Mr. Grevatt also points out that no empirical evidence has been shown to validate the  
24 claim that measures with payback shorter than two years are routinely implemented  
25 across the customer base without utility incentive programs.<sup>23</sup> Mr. Grevatt additionally

1 identifies a number of market barriers in his testimony that can prevent customers from  
2 adopting efficiency measures, including those with payback of two years or less.<sup>24</sup>

3  
4 For low-income customers, their financial constraints and housing conditions  
5 significantly reduce their ability to purchase higher efficiency measures in the absence of  
6 utility programs. For this reason, free ridership for low-income energy efficiency  
7 programs is reasonably assumed to be zero or near-zero.

8  
9 **Q: How do the measure screening results of the RIM test and two-year payback screen**  
10 **compare to the measures used in utility low-income EE programs?**

11 A: The RIM and two-year payback screen have a profound impact on measure selection.  
12 Four utilities – FPL, Gulf, OUC, and JEA – use these screening tests to eliminate literally  
13 every single residential measure, including all measures included in their respective low-  
14 income efficiency programs. By contrast, after applying the RIM and two-year screen  
15 both TECO and DEF retain an array of residential measures including several that are  
16 part of their low-income efficiency programs. As noted above, the Commission has  
17 authorized utilities to deploy low-income efficiency programs regardless of whether they  
18 pass the RIM and two-year screen. However, the utilities’ own analysis clearly shows  
19 that the RIM and two-year screen are deeply and fundamentally flawed as tools for  
20 evaluating low-income efficiency potential.

21  
22 **Q: How do the measures screening results of the TRC test compare to the measures**  
23 **used in utility low-income energy efficiency programs?**

24 A: As with the RIM and two-year screen analysis discussed above, significant  
25 inconsistencies exist between the various utilities with regard to TRC screening.

1           However, in contrast to RIM and the two-year screen, at least a portion of the differences  
2           in TRC analysis between utilities appear to be related to fairly discrete issues that can be  
3           corrected by addressing specific input assumptions and calculation methodologies.

4  
5           When low-income efficiency potential is analyzed using the TRC with the two-year  
6           payback screen removed, the list of measures for most utilities looks far more applicable.

7  
8           For instance, separate from any other screening factors, all of the following residential  
9           measures pass TRC for Duke Energy Florida (“Duke”). In this list, the starred items  
10          appear to generally align with the measures included in Duke’s two low-income  
11          efficiency programs. The first group of measures, in purple, pass TRC, RIM, and the  
12          two-year screen in Duke’s analysis. The second group of measures, in green, pass both  
13          TRC and the two-year payback screen, but not RIM. The third group of measures, in  
14          blue, would have also been removed by the two-year screen. Notably, CFL and LED  
15          lights, faucet aerators, low flow showerheads, hot water pipe insulation, and water heater  
16          temperature setbacks are all standard components of Duke’s largest and most impactful  
17          low-income efficiency program, the Neighborhood Energy Saver, but would have been  
18          removed by the two-year payback screen.

19  
20          **Duke Residential TRC Economic Potential (“EP”):**

- 21          • \* 14 SEER ASHP from base electric resistance heating
- 22          • \* 15 SEER Air Source Heat Pump (only for single family homes)
- 23          • 15 SEER Central AC (only for single family homes)
- 24          • \* 16 SEER Central AC (only for single family homes)
- 25          • \* Air Sealing-Infiltration Control (only for existing homes)

- 1       ● \* Ceiling Insulation (R12 to R38)
- 2       ● \* Ceiling Insulation (R19 to R38) (only for single family homes)
- 3       ● \* Ceiling Insulation (R2 to R38)
- 4       ● \* Duct Repair (only for existing homes)
- 5       ● Energy Star Windows (only for existing homes)
- 6       ● Home Energy Management System
- 7       ● Spray Foam Insulation (Base R2) (only for single family homes)
- 8       ● Wall Insulation (only for existing single family and manufactured homes)
- 9       ● Thermostatic Shower Restriction Valve
- 10      ● Two Speed Pool Pump
- 11      ● Variable Speed Pool Pump
- 12      ● \* LED Specialty Lamps – 5W Chandelier
- 13      ● \* LED – 9W Flood
- 14      ● \* CFL – 13W
- 15      ● High Efficiency Induction Cooktop
- 16      ● Energy Star Clothes Washer
- 17      ● ENERGY STAR Room AC
- 18      ● \* CFL – 15W Flood (Exterior)
- 19      ● \* CFL - 23W
- 20      ● \* LED – 14W
- 21      ● \* LED – 9W Flood (Exterior)
- 22      ● \* LED – 9W
- 23      ● \* Linear LED
- 24      ● \* Low Wattage T8 Fixture
- 25      ● Energy Star Dehumidifier

- 1 • Heat Pump Pool Heater
- 2 • Removal of 2nd Refrigerator-Freezer
- 3 • \* Faucet Aerator
- 4 • \* Hot Water Pipe Insulation
- 5 • \* Low Flow Showerhead
- 6 • \* Water Heater Thermostat Setback
- 7 • Smart Power Strip

8

9 Using the same delineations and color coding, significant differences can be seen in FPL's  
 10 screening breakdown, but the general point is the same that RIM and the two-year screen  
 11 must be removed to produce common low-income efficiency measures, including those  
 12 offered by FPL. One more category has been added to this list in red, indicating measures  
 13 that FPL additionally removed using an administrative cost screen on top of the RIM and  
 14 two-year payback screen. It is notable that many measures that are included in Duke and  
 15 TECO's existing low-income programs are not currently offered by FPL, so those measures  
 16 are not starred.

17

- 18 • No residential measures pass RIM in FPL's analysis
- 19 • Ceiling Insulation (R2 to R38)
- 20 • ENERGY STAR Certified Roof Products
- 21 • 14 SEER ASHP from base electric resistance heating
- 22 • \* Duct Repair (only for existing multi-family and manufactured homes)
- 23 • Smart Thermostat (EE only) (only for new single family homes)
- 24 • Two Speed Pool Pump
- 25 • ENERGY STAR Air Purifier

- 1 • ENERGY STAR Clothes Washer
- 2 • Removal of 2<sup>nd</sup> Refrigerator/Freezer
- 3 • ENERGY STAR Certified Roof Products
- 4 • \* Duct Repair (only for existing single family homes)
- 5 • ENERGY STAR Dehumidifer
- 6 • ENERGY STAR Room AC
- 7 • Programmable Thermostat (only for new single family homes)
- 8 • Heat Pump Pool Heater
- 9 • \* Low Flow Showerhead (only for multi-family and single family homes)
- 10 • ENERGY STAR Dishwasher
- 11 • ENERGY STAR Imaging Equipment
- 12 • Programmable Thermostat (only for new multi-family and manufactured homes)
- 13 • CFL – 23W
- 14 • CFL – 15W Flood (Exterior)
- 15 • LED – 14W
- 16 • LED – 9W
- 17 • LED – 9W Flood (exterior)
- 18 • Linear LED
- 19 • Low Wattage T8 Fixture (Bulb)
- 20 • \* Faucet Aerator (all homes except for new manufactured homes)
- 21 • \* Hot Water Pipe Insulation
- 22 • \* Low Flow Showerhead (only for manufactured homes)
- 23 • Water Heater Thermostat Setback
- 24
- 25 **Q: Are there issues with the administrative cost screen?**

1 A: The primary problem with the administrative cost test is that FPL appears to assign  
2 highly unreasonable administrative costs to some of their residential measures; so even  
3 the most cost effective and fastest payback measures are removed. For instance, the  
4 administrative cost assigned to a CFL lightbulb is \$29. The same \$29 is added to the cost  
5 of a single faucet aerator.<sup>25</sup> These costs are indefensible for any reasonable delivery  
6 mechanism and suggest a heightened level of scrutiny is warranted on administrative  
7 costs in these analyses going forward.

8  
9 Mr. Grevatt provides context using administrative costs in other jurisdictions and adds  
10 additional detail to the problem with the administrative cost test in his testimony.

11  
12 **Q: Are there other factors in the utility modeling that would lead to overly-conservative**  
13 **estimates of low-income potential?**

14 A: Because low-income free ridership is zero or near-zero, use of standard baselines likely  
15 underestimates actual savings by a considerable degree. Additionally, deeper efficiency  
16 programs for low-income customers can include early replacement for large energy using  
17 equipment such as heating, air conditioning, water heaters, and refrigerators, but the  
18 analysis in this proceeding appears not to appropriately capture this savings potential.  
19 Additional instances of unreasonably high administrative costs could not be fully  
20 reviewed prior to filing this testimony and reflect another factor that could result in a  
21 potentially large underestimation of actual low-income efficiency savings potential.

22  
23 **IV. Calculation of Specific Low-income Energy Efficiency Targets for Each Utility**

24  
25

1 **Q: What methodology do you propose be used to evaluate low-income energy efficiency**  
2 **savings potential as part of the Energy Efficiency Act goal setting process?**

3 A: I propose starting with the residential portion of each utility's achievable TRC potential,  
4 with the following three adjustments described in Mr. Grevatt's testimony:

- 5
- 6 - Remove the two-year payback screen.
  - 7 - Add the 14 SEER Air Source Heat Pump from base electric resistance heating<sup>26</sup> (FPL  
8 only).<sup>27</sup>
  - 9 - Reduce Economic Potential by 50% to determine Achievable Potential.
- 10

11 This corrected Achievable Potential is then multiplied by the percentage of population for  
12 each utility that is at or below 200% of the federal poverty level. This provides the total 10  
13 year efficiency savings potential for low-income customers.

14

15 **Q: What are the total residential Achievable Potential savings used for these**  
16 **calculations?**

17

18 Table 2 below has the residential Achievable Potential savings from Mr. Grevatt's  
19 testimony used for calculating the low-income efficiency targets below. These figures  
20 were drawn from Exhibit JMG-2 and FPL's were additionally adjusted to reflect the  
21 addition of SEER 14 ASHP as per Grevatt Testimony Table 4.

22

23

24

25

**Table 2. Residential Achievable Potential Savings from Grevatt Testimony**

	10-Year Total	Summer Peak (MW)	Winter Peak (MW)
FPL	1,077 GWh	337	187
Duke	1,530 GWh	663	303
TECO	323 GWh	64	51
Gulf	381 GWh	83	79
OUC	155 GWh	37	19
JEA	336 GWh	80	49

**Q: What is the low-income energy efficiency savings potential for each Energy Efficiency Act utility?**

Table 3 below identifies the energy saving potential for each utility's low-income customers for 2020-2029.

**Table 3. Energy Saving Potential for Utilities' Low-Income Customers (2020-2029)**

	10-Year Total	Summer Peak MW	Winter Peak MW
FPL	395 GWh	124 MW	69 MW
Duke	572 GWh	248 MW	113 MW
TECO	117 GWh	23 MW	18 MW
Gulf	133 GWh	29 MW	28 MW
OUC	67 GWh	16 MW	8 MW
JEA	125GWh	30 MW	18 MW

1 **Q: How does the actual performance of Energy Efficiency Act utilities from 2015-2018**  
2 **compare to these targets?**

3 A: A wide disparity can be seen between the low-income efficiency program performances  
4 of these utilities since the start of the past Energy Efficiency Act cycle.

5  
6 By a large degree, the top performers have been TECO, Duke, and Gulf. They have  
7 served vastly more households and delivered far more energy savings, both in absolute  
8 terms and in proportion to their relative size. Truly these utilities are to be commended  
9 for the difference they are making in their communities and clearly they set the standard  
10 by which the performance of the other utilities in Florida should be evaluated. However,  
11 even these utilities have significant room for improvement.

12  
13 FPL and OUC had by far the worst performance in both absolute and proportionate  
14 terms. Adjusted for their respective total residential customer counts, Duke and Gulf  
15 both delivered more than 20 times the low-income energy savings of FPL and OUC –  
16 while TECO delivered nearly 50 times the savings of these lowest performing utilities.  
17 Notably OUC dramatically reduced their kWh savings from its high point in 2015, down  
18 to serving just 6 customers with their low-income program in 2018.

19  
20 Table 4 below is a comparison between the average annual low-income efficiency targets  
21 I recommend for years 2020-2029 and the actual four-year average low-income program  
22 performance of each utility from 2015 – 2019, as reported annually by the utilities to this  
23 Commission.

24

25

**Table 4. Recommended Average Annual Low-Income Efficiency Targets (2020-2029)  
Compared to Actual Four-Year Average Low-Income Program Performance**

	2020-2029 Ave Annual Target (GWh)	2015-2018 Ave Annual Performance (GWh)
FPL	39.5	0.9
Duke	57.2	7.9
TECO	11.7	7.5
Gulf	13.3	1.9
OUC	6.7	0.05
JEA	12.5	1.1

**Q: How do these proposed targets for FPL compare to the company’s historic levels and their 2020-2029 proposed low-income target?**

A: FPL has poverty levels that are similar to their peers in percentage terms (36.7%), but far larger in absolute terms (over 3 million). By contrast, as noted above, their historic performance (5,989 customers served) has lagged far behind their two next largest peers in Florida, Duke (22.9 times higher kWh saved, 65,284 customers served)<sup>28</sup> and TECO (51.6 times higher kWh saved, 27,346 customers served).<sup>29</sup> Their proposed low-income savings target, averaged over the next ten years, is just 3.8 times higher than their 2015-2018 performance, which would still lag behind the actual performance by Duke (6 times higher) and TECO (13.6 times higher) over the past four years. To their credit, FPL was the only utility to request Commission approval for a specific low-income efficiency target. Unfortunately, what they proposed falls far below what their peers have already accomplished and even farther below the target I recommend.

1 **SECTION V: ADDITIONAL COMMISSION GUIDANCE FOR PROGRAM PLANNING**

2

3 **Q: Could additional Commission direction to the utilities prior to their development of**  
4 **DSM Plans lead to deeper savings, improved access for eligible customers, and**  
5 **increased overall savings achieved?**

6 A: Yes. Direction from the Commission provides the utilities, intervenor parties, and the  
7 public with clarity on the Commission policy goals and expectations. In the last  
8 proceeding, Commission guidance focused Energy Efficiency Act utilities on deploying  
9 energy efficiency programs for low-income customers, while affording them the  
10 flexibility to offer some of the most impactful measures that otherwise would have been  
11 screened out by the RIM test and two-year payback screen.

12

13 In this Energy Efficiency Act proceeding, I have recommended that the Commission  
14 specify the TRC test as the standard for evaluating low-income efficiency potential and  
15 formalize targets for each utility. I also believe there are two additional subjects that  
16 warrant Commission guidance as part of its decision-making in this proceeding.

17

18 **Q: Please describe your first recommendation for each utility to offer distinct delivery**  
19 **channels for far-reaching and deeper-savings efficiency programs.**

20 A: I recommend the Commission direct each of the FEECA the utilities to offer two distinct  
21 delivery channels for efficiency programs.

22

23 One program delivery channel should aim to reach large numbers of customers quickly  
24 and at relatively low cost. These neighborhood-style programs have a valuable role in  
25 serving large numbers of low-income customers relatively inexpensively.

1 But the level of savings that come from a handful of minor efficiency measures do not, in  
2 of themselves, reduce bills enough to significantly eliminate high energy burdens.

3 Lighting, faucet aerators, and minor air sealing projects are common features of Florida  
4 utility programs targeting customers in low-income neighborhoods; but larger scale  
5 improvements like HVAC equipment replacement, insulation, water heaters, and  
6 appliances upgrades, and comprehensive air sealing for ductwork and building envelopes  
7 do more to address the root causes of high energy burdens by eliminating significantly  
8 more energy waste and therefore substantially reduce monthly energy bills.

9 Therefore, the other program delivery channel should strive to capture deep savings for  
10 each participant, sufficient to reduce electric bills enough to materially improve the  
11 financial standing of the low-income customers served every month for many years to  
12 follow.

13  
14 Duke, TECO, and FPL each offer both of these delivery channels, albeit there is currently  
15 a wide chasm between these utilities in both program performance and transparency.<sup>30</sup>  
16 Gulf and JEA each have only broad-based neighborhood-style programs, while OUC has  
17 historically just offered a deeper savings program. By offering both types of programs,  
18 the utilities should be able to reach relatively large portions of their low-income  
19 customers within a short number of years. The reach of these programs can be quite  
20 impressive within a few years. From 2015-2018, Duke reached 15% of eligible  
21 customers,<sup>31</sup> while TECO reached 23.4%.<sup>32</sup>

22  
23 While the deeper-savings program could have its own intake system, the broad-based  
24 neighborhood-style programs could also help identify candidate customers while in the  
25 field, thereby leveraging administrative resources and helping identify otherwise hard to

1 reach customers that are in great need. Struggling families, the elderly, disabled  
2 individuals, veterans, and otherwise hard to reach customers who are in need could all  
3 benefit from this kind of pro-active outreach and deep savings projects. Separate tracking  
4 and reporting on program performance for both the neighborhood-style program and the  
5 deeper savings program should be standard practice going forward. TECO and Duke  
6 already do this in their annual efficiency reporting to the Commission.

7  
8 **Q: Please describe your second recommendation for each utility to ensure participation**  
9 **opportunities for residents across all categories of housing.**

10 A: My second recommendation is to direct the utilities to provide meaningful program  
11 participation opportunities for customers in all types of housing, including small and  
12 large multifamily housing, manufactured homes and renters, as well as single-family  
13 owner-occupied homes. Table 5 below shows the relative proportion of each housing  
14 type by utility service territory. Exhibit FBW-5 also shows geographically where in the  
15 state manufactured homes are located. Different housing types, physical conditions,  
16 location and whether a customer owns or rents are all factors that should inform low-  
17 income efficiency offerings and all low-income customer have the opportunity to  
18 participate. For some utilities, many low-income customers are excluded from  
19 participation because they live in a housing type that the utility does not serve, like multi-  
20 family and manufactured homes in FPL's service territory.<sup>33</sup>

21  
22  
23  
24  
25

1 **Table 5. Relative Proportion of Housing Type by Utility Service Territory** <sup>34</sup>

2

3 <b>Residential Housing Stock</b>	<b>DEF</b>	<b>FPL</b>	<b>GPC</b>	<b>JEA</b>	<b>OUC</b>	<b>TECO</b>
4 Single Family	65.1%	58.5%	68.2%	65.7%	50.4%	63.6%
5 Small/Medium Multifamily	16.3%	18.7%	15.4%	20.5%	31.3%	19.3%
6 Large Multifamily	7.7%	17.4%	6.9%	8.7%	16.3%	8.2%
7 Manufactured	10.8%	5.4%	9.3%	5.1%	1.9%	8.7%
8 Estimated # of Units	1,420,331	3,842,475	247,773	343,443	78,700	606,805

9

10 **Q: Why should this guidance be given during this proceeding, rather than after the**  
 11 **utilities file their 2020 DSM Plans?**

12 A: Making these priorities known to the utilities prior to developing their DSM Plans will  
 13 lead to better outcomes for all low-income customers and provide the utilities with  
 14 assurances that developing such programs will be supported by the Commission.  
 15 Ultimately, this should lead to greater certainty and consistency among the utilities,  
 16 greater access to program participation for low-income customers, and deeper savings for  
 17 the customers who most need it – all while increasing overall savings impact for low-  
 18 income customers, which is a goal all parties to this proceeding should be able to get  
 19 behind.

20  
 21 **Q: Does this conclude your testimony?**

22 A. Yes, it does.  
 23  
 24  
 25

---

<sup>1</sup> American Council for an Energy Efficient Economy (“ACEEE”), 2016 “Lifting the High Energy Burden in America’s Largest Cities.” <https://aceee.org/research-report/u1602>, Exhibit FBW-2.

<sup>2</sup> National Association for the Advancement of Colored People (“NAACP”) 2017 “Just Energy Policies: Model Energy Policies Guide.” [https://www.naacp.org/wp-content/uploads/2014/03/Just-Energy-Policies\\_Model-Energy-Policies-Guide\\_NAACP.pdf](https://www.naacp.org/wp-content/uploads/2014/03/Just-Energy-Policies_Model-Energy-Policies-Guide_NAACP.pdf), Exhibit FBW-3.

<sup>3</sup> U.S. Census Bureau, 2013-2017 American Community Survey (ACS) 5-Year Estimates Tables S1701 Poverty Status in the Past 12 Months; B25033 Total Population in Occupied Housing Units by Tenure by Units in Structure; S0103 Population 65 Years; B25127 Tenure by Year Structure Built by Units in Structure via American Fact Finder: <https://factfinder.census.gov>.

<sup>4</sup> U.S. Energy Information Administration, Household Energy Insecurity, released October 2017, revised May 2018: <https://www.eia.gov/consumption/residential/data/2015/hc/php/hc11.1.php>

<sup>5</sup> Board of Governors of the Federal Reserve System, “Report on the Economic Well-Being of U.S. Households in 2018.” 2019 <https://www.federalreserve.gov/publications/files/2018-report-economic-well-being-us-households-201905.pdf>, Exhibit FBW-4.

<sup>6</sup> Center for Financial Services Innovation.2012. “A Complex Portrait: An Examination of Small-Dollar Credit Consumers.”

[www.fdic.gov/news/conferences/consumersymposium/2012/a%20complex%20portrait.pdf](http://www.fdic.gov/news/conferences/consumersymposium/2012/a%20complex%20portrait.pdf).

<sup>7</sup> Florida Public Service Commission, Order No. PSC-14-0696-FOF-EU, issued December 16, 2014 in Docket Nos. 130199-EI, 130200-EI, 130201-EI, 130202-EI, 130203-EM, 130204-EM, 130205-EI, at p. 27.

<sup>8</sup> *Id.*

<sup>9</sup> *Id.*

<sup>10</sup> Florida Public Service Commission, Order No. PSC-15-0323-PAA-EG, issued August 11, 2015 in Docket No. 150081-EG, at p. 9.

<sup>11</sup> *Id.* at 6.

<sup>12</sup> Florida Public Service Commission, Order No. PSC-15-0331-PAA-EG, August 19, 2015 in Docket No. 150085-EG, at p. 6.

<sup>13</sup> *Id.*

<sup>14</sup> FPL appears to assert here that efficiency programs are not cost-effective without a RIM score greater than 1.0, a subject discussed in greater detail further in my testimony.

<sup>15</sup> Testimony of Tom Koch on behalf of Florida Power & Light, at 37, April 12, 2019.

<sup>16</sup> Testimony of Kevin Noonan on behalf of OUC, at 11, April 12, 2019.

<sup>17</sup> *Id.* at 12.

<sup>18</sup> *Id.* at 29.

<sup>19</sup> Florida Public Service Commission, Order No. PSC-14-0696-FOF-EU, issued December 16, 2014 in Docket Nos. 130199-EI, 130200-EI, 130201-EI, 130202-EI, 130203-EM, 130204-EM, 130205-EI, at p. 27.

<sup>20</sup> *Id.* at 22; *see also* section 366.82(3)(b), Fla. Stat.

---

<sup>21</sup> ACEEE “State-Level Strategies for Tackling High Energy Burdens: A Review of Policies Extending State- and Ratepayer-Funded Energy Efficiency to Low-Income Households” 2018. [https://aceee.org/files/proceedings/2018/node\\_modules/pdfjs-dist-viewer-min/build/minified/web/viewer.html?file=../../../../../assets/attachments/0194\\_0286\\_000404.pdf#search=%22drehobl%22](https://aceee.org/files/proceedings/2018/node_modules/pdfjs-dist-viewer-min/build/minified/web/viewer.html?file=../../../../../assets/attachments/0194_0286_000404.pdf#search=%22drehobl%22), Exhibit FBW-6.

<sup>22</sup> Testimony of Jim Grevatt on behalf of Southern Alliance for Clean Energy, at 17, June 10, 2019.

<sup>23</sup> *Id.*

<sup>24</sup> *Id.*

<sup>25</sup> *Id.* at 32.

<sup>26</sup> *Id.* at 29-31.

<sup>27</sup> TECO’s economic potential analysis also contains the same issue, but I have not corrected for it in the following calculations.

<sup>28</sup> Duke Energy Florida Demand Side Management Annual Report for 2018. Filed March 1, 2019, Exhibit FBW-7.

<sup>29</sup> TECO Demand Side Management Annual Report for 2018. Filed March 1, 2019, Exhibit FBW-8.

<sup>30</sup> Note: As noted above, DEF and TECO’s performance greatly exceeds FPL and FPL does provide disaggregated data on their two delivery channels, while both DEF and TECO do.

<sup>31</sup> Duke Energy Florida Demand Side Management Annual Report for 2018. Filed March 1, 2019 (NOTE: this is counting only Duke’s Neighborhood Energy Savers program. There are additional participants in Dukes Low Income Weatherization program that are not include here), Exhibit FBW-7.

<sup>32</sup> TECO Energy Florida Demand Side Management Annual Report for 2018. Filed March 1, 2019, Exhibit FBW-8.

<sup>33</sup> Florida Public Service Commission, Order No. PSC-15-0331-PAA-EG, issued August 19, 2015 in Docket No. 150085-EG, at p. 3.

<sup>34</sup> U.S. Census Bureau, 2013-2017 ACS 5-year Public Use Microdata Samples (PUMS) Florida Housing Units Records (January 17, 2019), [https://www2.census.gov/programs-surveys/acs/data/pums/2017/5-Year/csv\\_hfl.zip](https://www2.census.gov/programs-surveys/acs/data/pums/2017/5-Year/csv_hfl.zip); 2013-2017 ACS 5-year Estimates Table B25024 Units in Structure via American Fact Finder <https://factfinder.census.gov> ; *see also* Platts Electric Power Data, Electric Utility Service Territories, U.S. Census Bureau, ACS 5-Year Census Tract Estimates Units in Structure.

1 BY MR. MARSHALL:

2 Q And do you have any exhibits attached to your  
3 testimony?

4 A I do.

5 Q And those would be identified as FBW-1 through  
6 FBW-8?

7 A That's right.

8 MR. MARSHALL: And for the record, those would  
9 be Exhibits 84 through 91 on staff's comprehensive  
10 exhibit list.

11 CHAIRMAN GRAHAM: Duly noted.

12 BY MR. MARSHALL:

13 Q Mr. Bradley-Wright, did you prepare a summary  
14 of your testimony?

15 A I did.

16 Q Would you please go ahead and give us your  
17 summary?

18 A Thank you for the opportunity to speak this  
19 afternoon.

20 More than five million people served by the  
21 utilities in this proceeding live on low incomes. These  
22 are families with children, the elderly, disabled and  
23 the working poor who struggle to pay high electric bills  
24 and still afford their basic needs. They often live in  
25 older homes of lesser construction, which contribute to

1 a vicious cycle of energy waste and high energy bills.  
2 For these customers, even one unexpected \$400 expense  
3 can be financially disastrous. Robust low income energy  
4 efficiency programs are the best solution to lower these  
5 bills because they cut energy waste at the source.

6 In 2014 and '15, the Florida Public Service  
7 Commission directed these utilities to develop  
8 efficiency programs to meet the particular needs of low  
9 income customers, leading to nearly 20 gigawatt hours of  
10 energy savings per year. But now the utilities are  
11 seeking to dramatically reduce their overall energy  
12 savings, with many proposing to eliminate savings  
13 targets entirely. Not only is this heading in the wrong  
14 direction, it slams the doors in the face of people who  
15 struggle to pay their energy bills.

16 Preserving low income efficiency programs is a  
17 critical priority during this target setting proceeding.  
18 Your leadership on this issue sends an important signal  
19 to the public that provides clarity to the utilities  
20 regarding your expectations going forward.

21 To this end, I strongly urge you to establish  
22 clear targets for low income energy savings, without  
23 which there is no enforcement mechanism for the  
24 Commission to hold the utilities accountable.

25 In my testimony, I offer such targets for your

1 consideration, recognizing that the RIM test and  
2 two-year screen would eliminate all low income energy  
3 efficiency program offerings, including those that had  
4 been previously approved by the Commission. I present a  
5 set of targets based on the Total Resource Cost test,  
6 which is also authorized by statute for use in FEECA  
7 target settings.

8           The targets are higher than those captured in  
9 the past few years, reflecting the opportunity to not  
10 only reach more low income customers, but also capture  
11 enough savings to improve energy affordability in a  
12 household's overall financial well-being.

13           I also propose the Commission direct the  
14 utilities to ensure all low income customers have access  
15 to these programs, whether they rent or own, live in a  
16 single family residence, mobile home or apartment  
17 complex.

18           Finally, I suggest you direct the utilities to  
19 pursue both high levels of participation, as well as  
20 deeper levels of savings per household. Right now,  
21 Florida's major utilities are in a race to the bottom  
22 with energy efficiency, and it literally could not get  
23 worse than what many of them have proposed.

24           To put it plainly, zero is not a goal, and it  
25 is up to this commission to ensure Florida does better.

1 Like every other resource, there is a cost for energy  
2 efficiency, but today it is the cost of inaction that we  
3 cannot afford. Five million people, the working poor,  
4 children, the disabled and our elderly depend on you to  
5 stand up for enforceable efficiency savings targets to  
6 ensure low income customers can reduce their high energy  
7 bills. It is the right thing to do. It is the least we  
8 can do, and now is the time for action.

9 Thank you for the opportunity to speak on this  
10 important issue.

11 MR. MARSHALL: We tender the witness for  
12 cross-examination.

13 CHAIRMAN GRAHAM: Thank you.

14 We'll start at the end with OPC.

15 MS. FALL-FRY: No questions.

16 CHAIRMAN GRAHAM: We'll scan down. Raise your  
17 hand if you have questions.

18 Staff?

19 Commissioners?

20 I guess there is no redirect.

21 MR. MARSHALL: There would be not be at this  
22 time.

23 CHAIRMAN GRAHAM: Exhibits?

24 MR. MARSHALL: We would move Exhibits 84  
25 through 91 into the record.

1                   CHAIRMAN GRAHAM:  If there is no objections,  
2                   we will move Exhibits 84 through 91 into the  
3                   record.

4                   (Whereupon, Exhibit Nos. 84-91 were received  
5                   in evidence.)

6                   MR. MARSHALL:  And we would ask, therefore,  
7                   that Mr. Bradley-Wright be excused.

8                   CHAIRMAN GRAHAM:  Mr. Wright, thank you very  
9                   much.  Travel safe, please.

10                  (Witness excused.)

11                  CHAIRMAN GRAHAM:  Okay.  That's the end of our  
12                  direct witnesses.  Let's take a five-minute break  
13                  before we start rebuttal, so 10 minutes till,  
14                  six-minute break.

15                  (Brief recess.)

16                  (Transcript continues in sequence in Volume  
17                  6.)

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## CERTIFICATE OF REPORTER

STATE OF FLORIDA     )  
COUNTY OF LEON     )

I, DEBRA KRICK, Court Reporter, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorney or counsel connected with the action, nor am I financially interested in the action.

DATED this 22nd day of August, 2019.



---

DEBRA R. KRICK  
NOTARY PUBLIC  
COMMISSION #GG015952  
EXPIRES JULY 27, 2020