

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 030001-EI

In the Matter of

FUEL AND PURCHASED POWER COST
RECOVERY CLAUSE WITH GENERATING
PERFORMANCE INCENTIVE FACTOR.

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING.
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 2


Pages 200b through 397

PROCEEDINGS:

HEARING

BEFORE:

CHAIRMAN LILA A. JABER
COMMISSIONER J. TERRY DEASON
COMMISSIONER BRAULIO L. BAEZ
COMMISSIONER RUDOLPH BRADLEY
COMMISSIONER CHARLES M. DAVIDSON



DATE:

Wednesday, November 12, 2003

TIME:

Commenced at 9:30 a.m.
Adjourned at 5:34 p.m.

PLACE:

Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY:

JANE FAUROT, RPR
Chief, Office of Hearing Reporter Services
FPSC Division of Commission Clerk and
Administrative Services
(850) 413-6732

APPEARANCES:

(As heretofore noted.)

I N D E X

WITNESSES

1	NAME:	PAGE NO.
2		
3		
4		
5	GERALD YUPP	
6	Direct Prefiled Testimony, 9/12/03, Inserted	201
7		
8	TERRY A. DAVIS	
9	Direct Prefiled Testimony, 4/1/03, Inserted	227
10	Direct Prefiled Testimony, 8/12/03, Inserted	233
11	Direct Prefiled Testimony, 9/12/03, Inserted	237
12	KOREL M. DUBIN	
13	Prefiled Testimony, 4/1/03, Inserted	297
14	Prefiled Testimony, 8/12/03, Inserted	306
15	Prefiled Testimony, 9/12/03, Inserted	320
16	Supplemental Testimony, 3/3/03, Inserted	334
17		
18	WILLIAM T. WHALE	
19	Prefiled Direct Testimony Inserted	345
20		
21		
22		
23		
24		
25		

EXHIBITS

NUMBER:		ID.	ADMTD.
13	KMD-1 through KMD-6	296	341
14	WTW-1	344	444
15	Hemrich Memo, 8/7/02	376	444
16	OPA Document 3/12/03	376	444
17	Buddy Maye Deposition Transcript May 13, 2003	376	444
18	William Whale Depo Transcript October 28, 2003	378	444
19	EAF Document, March 12, 2003	379	444
20	E-mail, 3/3/03, Edward to Mayo	387	444

P R O C E E D I N G S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(Transcript continues in sequence from
Volume 1.)

(REPORTER NOTE: Continuation of prefiled testimony
inserted.)

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**
2 **FLORIDA POWER & LIGHT COMPANY**
3 **TESTIMONY OF GERARD J. YUPP**
4 **DOCKET NO. 030001-EI**
5 **SEPTEMBER 12, 2003**

6 **Q. Please state your name and address.**

7 A. My name is Gerard J. Yupp. My business address is 700 Universe
8 Boulevard, Juno Beach, Florida, 33408.

9
10 **Q. By whom are you employed and what is your position?**

11 A. I am employed by Florida Power & Light Company (FPL) as
12 Manager of Regulated Wholesale Power Trading in the Energy
13 Marketing and Trading Division.

14
15 **Q. Have you previously testified in this docket?**

16 A. Yes.

17
18 **Q. What is the purpose of your testimony?**

19 A. The purpose of my testimony is to present and explain FPL's
20 projections for (1) the dispatch costs of heavy fuel oil, light fuel oil,
21 coal, petroleum coke, and natural gas, (2) the availability of natural
22 gas to FPL, (3) generating unit heat rates and availabilities, (4) the

1 quantities and costs of wholesale (off-system) power and purchased
2 power transactions, (5) new projects for which FPL is seeking
3 recovery through the Fuel Clause in 2004, (6) FPL's hedging
4 activities in 2003, and (7) FPL's Risk Management Plan for fuel
5 procurement in 2004. The projected values for (1) through (4) were
6 used as input data to the POWRSYM model that FPL uses to
7 calculate the fuel costs to be included in the proposed fuel cost
8 recovery factors for the period of January through December 2004.

9

10 **Q. How is your testimony organized?**

11 **A.** My testimony first describes the basis for the fuel price forecast for
12 oil, coal and petroleum coke, and natural gas, as well as, the
13 projection for natural gas availability. A description of FPL's forecast
14 methodology change for 2004 is also included in this part of the
15 testimony. The second part of the testimony addresses plant heat
16 rates, outage factors, planned outages, and changes in generation
17 capacity. This is followed by a description of projected wholesale
18 (off-system) power and purchased power transactions. Next, the
19 testimony describes a new project for which FPL is seeking recovery
20 through the Fuel Clause in 2004: the acquisition of additional
21 railcars for Scherer Unit No. 4. The testimony concludes with a
22 presentation of FPL's 2004 Risk Management Plan for fuel
23 procurement, as outlined in Order PSC- 02-1484-FOF-EI issued on

1 October 30, 2002. Included in this section is an overview of FPL's
2 fuel hedging objectives and an itemization of projected, prudently-
3 incurred incremental operating and maintenance expenses for
4 maintaining FPL's expanded, non-speculative financial and physical
5 hedging program for the projected period. Lastly, the testimony
6 provides a discussion of FPL's hedging activities and fuel cost
7 mitigation strategies for 2003.

8

9 **Q. Have you prepared or caused to be prepared under your**
10 **supervision, direction and control an Exhibit(s) in this**
11 **proceeding?**

12 A. Yes, I have. It consists of the entire Appendix I and Schedules E2,
13 E3, E4, E5, E6, E7, E8 and E9 of Appendix II of this filing.

14

15 **FUEL PRICE FORECAST**

16 **Q. Has FPL's forecast methodology changed for the 2004-**
17 **recovery period?**

18 A. Yes, in part. For natural gas commodity prices, the forecast
19 methodology has changed to a weighted average of the NYMEX
20 Natural Gas Futures contract (forward curve) and the most likely
21 forecasts from The PIRA Energy Group, Global Insights (formerly
22 DRI-WEFA) and Cambridge Energy Research Associates, Inc.
23 (CERA). The forecasts for heavy and light fuel oil commodity prices

1 and transportation costs, natural gas transportation costs, natural
2 gas availability and delivered coal and petroleum coke prices
3 continue to be developed by FPL. FPL implemented this change for
4 its natural gas price forecast primarily because of the volatility of this
5 commodity. Utilizing the forward curve for natural gas and the
6 expertise of these three energy industry consultants incorporates a
7 range of interpretations of natural gas data into the forecast.

8
9 The forward curve for natural gas is a representation of expected
10 future prices at any given point in time. The basic assumption made
11 with respect to the forward curve for natural gas is that all available
12 natural gas data that could impact the price of natural gas in the
13 future is incorporated into the curve at all times. The forward curve
14 that FPL incorporated into the natural gas forecast is from the close
15 of business on the latest possible date in August 2003 that still
16 allowed FPL the necessary time to complete its filing requirements.
17 The three consulting firms that FPL utilized for natural gas price
18 projections are well equipped and have ample resources available
19 to obtain and analyze the data necessary to develop a price forecast
20 for natural gas. These three consulting firms are among the leaders
21 in the energy industry. For example, The PIRA Energy Group is
22 retained by more than 350 companies located in 34 countries.
23 FPL's reason for calculating projections based on a weighted

1 average of price forecasts was to incorporate as much interpretation
2 of gas data as possible into its forecast, while moderating the impact
3 of one individual forecast (primarily one of the three consultants) that
4 could be markedly different than that of the others due to a strong
5 difference of opinion with regard to the relevant data. FPL is also
6 considering the use of these three consultants for its fuel oil price
7 forecasts in the future. At this time, FPL is evaluating the
8 performance of these three consultants with respect to the fuel oil
9 markets, particularly the residual fuel oil market. FPL will continue
10 to constantly monitor the fundamentals of the fuel oil and natural gas
11 markets in order to respond to rapidly changing market conditions
12 and adjust its hedging strategies accordingly, in a timely manner.

13

14 **Q. What are the key factors that could affect FPL's price for heavy
15 fuel oil during the January through December 2004 period?**

16 **A.** The key factors that could affect FPL's price for heavy oil are (1)
17 worldwide demand for crude oil and petroleum products (including
18 domestic heavy fuel oil), (2) non-OPEC crude oil production, (3) the
19 extent to which OPEC production matches actual demand for OPEC
20 crude oil, (4) the price relationship between heavy fuel oil and crude
21 oil, (5) the price relationship between heavy oil and natural gas and
22 (6) the terms of FPL's heavy fuel oil supply and transportation
23 contracts.

1
2 World demand for crude oil and petroleum products is projected to
3 increase moderately in 2004 from projected 2003 levels, primarily
4 due to increases in demand in the U.S. and Pacific Rim countries.
5 Although crude oil production and worldwide refining capacity will be
6 more than adequate to meet the projected increase in crude oil and
7 petroleum product demand, general adherence by OPEC members
8 to its most recent production accord should prevent significant
9 overproduction of crude oil. When coupled with the continuation of
10 historically low domestic crude oil and petroleum product inventory
11 levels, the supply of crude oil and petroleum products will remain
12 somewhat tight during most of 2004.

13

14 **Q. What is the projected relationship between heavy fuel oil and**
15 **crude oil prices during the January through December 2004**
16 **period?**

17 A. The price of heavy fuel oil on the U. S. Gulf Coast (1.0% sulfur) is
18 projected to be approximately 92% of the price of West Texas
19 Intermediate (WTI) crude oil during this period.

20

21 **Q. Please provide FPL's projection for the dispatch cost of heavy**
22 **fuel oil for the January through December 2004 period.**

23 A. FPL's projection for the system average dispatch cost of heavy fuel

1 oil, by sulfur grade and by month, is provided on page 3 of Appendix
2 I.

3

4 **Q. What are the key factors that could affect the price of light fuel
5 oil?**

6 A. The key factors that could affect the price of light fuel oil are similar
7 to those described above for heavy fuel oil.

8

9 **Q. Please provide FPL's projection for the dispatch cost of light
10 fuel oil for the January through December 2004 period.**

11 A. FPL's projection for the system average dispatch cost of light oil, by
12 month, is provided on page 3 of Appendix I.

13

14 **Q. What is the basis for FPL's projections of the dispatch cost for
15 St. Johns' River Power Park (SJRPP) and Scherer Plant?**

16 A. FPL's projected dispatch cost for SJRPP is based on FPL's price
17 projection for spot coal and petroleum coke delivered to SJRPP.
18 The dispatch cost for Scherer is based on FPL's price projection for
19 spot coal delivered to Scherer Plant.

20

21 For SJRPP, annual coal volumes delivered under long-term
22 contracts are fixed on October 1st of the previous year. For Scherer
23 Plant, the annual volume of coal delivered under long-term contracts

1 is set by the terms of the contracts. Therefore, the price of coal
2 delivered under long-term contracts does not affect the daily
3 dispatch decision.

4
5 In the case of SJRPP, FPL will continue to blend petroleum coke
6 with coal in order to reduce fuel costs. It is anticipated that
7 petroleum coke will represent 17% of the fuel blend at SJRPP
8 during 2004. The lower price of petroleum coke is reflected in the
9 projected dispatch cost for SJRPP, which is based on this projected
10 fuel blend.

11
12 **Q. Please provide FPL's projection for the dispatch cost of SJRPP**
13 **and Scherer Plant for the January through December 2004**
14 **period.**

15 A. FPL's projection for the system average dispatch cost of "solid fuel"
16 for this period, by plant and by month, is shown on page 3 of
17 Appendix I.

18
19 **Q. What are the factors that can affect FPL's natural gas prices**
20 **during the January through December 2004 period?**

21 A. In general, the key factors are (1) North American natural gas
22 demand and domestic production, (2) LNG and Canadian natural
23 gas imports, (3) heavy fuel oil and light fuel oil prices, and (4) the

1 terms of FPL's natural gas supply and transportation contracts. The
2 dominant factors influencing the projected price of natural gas in
3 2004 are: (1) projected natural gas demand in North America will
4 continue to grow moderately in 2004, primarily in the electric
5 generation sector; and (2) domestic natural gas production in 2004
6 is projected to be slightly below average 2003 levels. The balance
7 of the supply to meet demand will come from increased Canadian
8 and LNG imports.

9

10 **Q. What are the factors that affect the availability of natural gas to**
11 **FPL during the January through December 2004 period?**

12 A. The key factors are (1) the existing capacity of the Florida Gas
13 Transmission (FGT) pipeline system into Florida, (2) the existing
14 capacity of the Gulfstream natural gas pipeline system into Florida,
15 (3) the limited number of receipt points into the Gulfstream natural
16 gas pipeline system, (4) the portion of FGT capacity that is
17 contractually allocated to FPL on a firm basis each month, (5) the
18 assumed volume of natural gas which can move from the
19 Gulfstream pipeline into FGT at the Hardee and Osceola
20 interconnects, and (6) the natural gas demand in the State of
21 Florida.

22

23 The current capacity of FGT into the State of Florida is about

1 2,030,000 million BTU per day and the current capacity of
2 Gulfstream is about 1,100,000 million BTU per day. FPL currently
3 has firm natural gas transportation capacity on FGT ranging from
4 750,000 to 874,000 million BTU per day, depending on the month.
5 Total demand for natural gas in the state during the January through
6 December 2004 period (including FPL's firm allocation) is projected
7 to be between 700,000 and 850,000 million BTU per day below the
8 total pipeline capacity into the state. FPL projects that it could
9 acquire, if economic, an additional 510,000 to 650,000 million BTU
10 per day of natural gas transportation beyond FPL's 750,000 to
11 874,000 million BTU per day of firm allocation. This projection is
12 based on the current capability of the two interconnections between
13 Gulfstream and FGT pipeline systems and the availability of
14 capacity on each pipeline.

15

16 **Q. Please provide FPL's projections for the dispatch cost and**
17 **availability of natural gas for the January through December**
18 **2004 period.**

19 A. FPL's projections of the system average dispatch cost and
20 availability of natural gas, by transport type, by pipeline and by
21 month, are provided on page 3 of Appendix I.

22

23 **ALTERNATIVE PRICE FORECASTS FOR FUEL OIL AND**

1 **NATURAL GAS SUPPLY**

2 **Q. Has FPL prepared alternative fuel price forecasts?**

3 A. No. FPL has not prepared alternative fuel price forecasts. For the
4 2004 Fuel Cost Recovery Filing, FPL did not believe that it was
5 necessary to produce alternative fuel price forecasts. The primary
6 reasons for this change are the implementation of FPL's expanded
7 hedging program and its methodology change for the natural gas
8 price forecast.

9

10 **PLANT HEAT RATES, OUTAGE FACTORS, PLANNED**
11 **OUTAGES, and CHANGES IN GENERATING CAPACITY**

12 **Q. Please describe how FPL developed the projected Average Net**
13 **Operating Heat Rates shown on Schedule E4 of Appendix II.**

14 A. The projected Average Net Operating Heat Rates were calculated
15 by the POWRSYM model. The current heat rate equations and
16 efficiency factors for FPL's generating units, which present heat rate
17 as a function of unit power level, were used as inputs to POWRSYM
18 for this calculation. The heat rate equations and efficiency factors
19 are updated as appropriate based on historical unit performance
20 and projected changes due to plant upgrades, fuel grade changes,
21 and/or from the results of performance tests.

22

23 **Q. Are you providing the outage factors projected for the period**

1 **January through December 2004?**

2 A. Yes. This data is shown on page 4 of Appendix I.

3

4 **Q. How were the outage factors for this period developed?**

5 A. The unplanned outage factors were developed using the actual
6 historical full and partial outage event data for each of the units. The
7 historical unplanned outage factor of each generating unit was
8 adjusted, as necessary, to eliminate non-recurring events and
9 recognize the effect of planned outages to arrive at the projected
10 factor for the January through December 2004 period.

11

12 **Q. Please describe the significant planned outages for the**
13 **January through December 2004 period.**

14 A. Turkey Point Unit No. 3 is scheduled to be out of service for
15 refueling and replacement of the reactor vessel head from
16 September 25, 2004, until November 29, 2004 or 65 days during the
17 projected period. St. Lucie Unit No. 2 will be out of service for
18 refueling from November 22, 2004 until December 22, 2004 or 30
19 days during the projected period. St. Lucie Unit No. 1 will be out of
20 service for refueling from March 22, 2004 until April 16, 2004 or 25
21 days during the projected period. Scherer Unit No. 4 will be out of
22 service for a steam turbine and boiler overhaul from February 28,
23 2004 until April 11, 2004 or 44 days during the projected period. St.

1 Johns River Unit No. 2 will be out of service for a steam turbine
2 overhaul and scrubber maintenance from February 28, 2004 until
3 April 25, 2004 or 58 days during the projected period. Lauderdale
4 Unit No. 4 will be out of service for a steam turbine/generator and
5 CT A/B major overhaul from February 20, 2004 until April 15, 2004
6 or 56 days. Manatee Unit No. 2 will be out of service for a generator
7 and boiler overhaul from February 14, 2004 until April 28, 2004 or
8 75 days during the projected period.

9

10 **Q. Please list any changes to FPL's generation capacity projected**
11 **to take place during the January through December 2004**
12 **period.**

13 A. There is no significant change to FPL's generation capacity
14 projected to take place during the January through December 2004
15 period.

16

17 **WHOLESALE (OFF-SYSTEM) POWER AND PURCHASED**
18 **POWER TRANSACTIONS**

19 **Q. Are you providing the projected wholesale (off-system) power**
20 **and purchased power transactions forecasted for January**
21 **through December 2004?**

22 A. Yes. This data is shown on Schedules E6, E7, E8, and E9 of
23 Appendix II of this filing.

1

2 **Q. In what types of wholesale (off-system) power transactions**
3 **does FPL engage?**

4 A. FPL purchases power from the wholesale market when it can
5 displace higher cost generation with lower cost power from the
6 market. FPL will also sell excess power into the market when its
7 cost of generation is lower than the market. Purchasing and selling
8 power in the wholesale market allows FPL to lower fuel costs for its
9 customers as all savings and gains are credited to the customer
10 through the Fuel Cost Recovery Clause. Power purchases and
11 sales are executed under specific tariffs that allow FPL to transact
12 with a given entity. Although FPL primarily transacts on a short-term
13 basis, hourly and daily transactions, FPL continuously searches for
14 all opportunities to lower fuel costs through purchasing and selling
15 wholesale power, regardless of the duration of the transaction. FPL
16 can also purchase and sell power during emergency conditions
17 under several types of Emergency Interchange agreements that are
18 in place with other utilities within Florida.

19

20 **Q. Does FPL have additional agreements for the purchase of**
21 **electric power and energy that are included in your**
22 **projections?**

23 A. Yes. FPL purchases coal-by-wire electrical energy under the 1988

1 Unit Power Sales Agreement (UPS) with the Southern Companies.
2 FPL has contracts to purchase nuclear energy under the St. Lucie
3 Plant Nuclear Reliability Exchange Agreements with Orlando
4 Utilities Commission (OUC) and Florida Municipal Power Agency
5 (FMPPA). FPL also purchases energy from JEA's portion of the
6 SJRPP Units. Additionally, FPL has a 50 MW purchase of firm
7 capacity and energy from Florida Power Corporation for 2004. FPL
8 has also purchased exclusive dispatch rights for the output of 6
9 combustion turbines totaling approximately 950 MW (the output
10 varies depending on the season). The agreements for the
11 combustion turbines are with Progress Energy Ventures, Reliant
12 Energy Services, and Oleander Power Project L.P. FPL provides
13 natural gas for the operation of each of these three facilities as well
14 as light fuel oil for two of the facilities. Lastly, FPL purchases
15 energy and capacity from Qualifying Facilities under existing tariffs
16 and contracts.

17
18 **Q. Please provide the projected energy costs to be recovered**
19 **through the Fuel Cost Recovery Clause for the power**
20 **purchases referred to above during the January through**
21 **December 2004 period.**

22 A. Under the UPS agreement, FPL's capacity entitlement during the
23 projected period is 931 MW from January through December 2004.

1 Based upon the alternate and supplemental energy provisions of
2 UPS, an availability factor of 100% is applied to these capacity
3 entitlements to project energy purchases. The projected UPS
4 energy (unit) cost for this period, used as an input to POWRSYM, is
5 based on data provided by the Southern Companies. For the
6 period, FPL projects the purchase of 7,641,267 MWh of UPS
7 Energy at a cost of \$143,352,000. The total UPS Energy
8 projections are presented on Schedule E7 of Appendix II.

9

10 Energy purchases from the JEA-owned portion of the St. Johns
11 River Power Park generation are projected to be 2,800,455 MWh for
12 the period at an energy cost of \$41,053,000. FPL's cost for energy
13 purchases under the St. Lucie Plant Reliability Exchange
14 Agreements is a function of the operation of St. Lucie Unit 2 and the
15 fuel costs to the owners. For the period, FPL projects purchases of
16 494,279 MWh at a cost of \$1,471,163. These projections are
17 shown on Schedule E7 of Appendix II.

18

19 Energy purchases from Florida Power Corporation, under the 50
20 MW purchase agreement, are projected to be 439,150 MWh at a
21 cost of \$8,730,202. These projections are shown on Schedule E7
22 of Appendix II.

23

1 FPL projects to dispatch 1,497,254 MWh from its combustion
2 turbine agreements at a cost of \$94,180,393. These projections are
3 shown on Schedule E7 of Appendix II.

4
5 In addition, as shown on Schedule E8 of Appendix II, FPL projects
6 that purchases from Qualifying Facilities for the period will provide
7 7,115,665 MWh at a cost to FPL of \$148,266,648.

8

9 **Q. How were the projected energy costs related to purchases**
10 **from Qualifying Facilities developed?**

11 A. For those contracts that entitle FPL to purchase "as-available"
12 energy, FPL used its fuel price forecasts as inputs to the
13 POWRSYM model to project FPL's avoided energy cost that is used
14 to set the price of these energy purchases each month. For those
15 contracts that enable FPL to purchase firm capacity and energy, the
16 applicable Unit Energy Cost mechanism prescribed in the contract is
17 used to project monthly energy costs.

18

19 **Q. Please describe the method used to forecast wholesale (off-**
20 **system) power purchases and sales.**

21 A. The quantity of wholesale (off-system) power purchases and sales
22 are projected based upon estimated generation costs, generation
23 availability and expected market conditions.

1

2 **Q. What are the forecasted amounts and costs of wholesale (off-**
3 **system) power sales?**

4 A. FPL has projected 1,301,000 MWh of wholesale (off-system) power
5 sales for the period of January through December 2004. The
6 projected fuel cost related to these sales is \$52,502,900. The
7 projected transaction revenue from these sales is \$63,863,750. The
8 projected gain for these sales is \$7,048,624 and is credited to our
9 customers.

10

11 **Q. In what document are the fuel costs for wholesale (off-system)**
12 **power sales transactions reported?**

13 A. Schedule E6 of Appendix II provides the total MWh of energy; total
14 dollars for fuel adjustment, total cost and total gain for wholesale
15 (off-system) power sales.

16

17 **Q. What are the forecasted amounts and cost of energy being**
18 **sold under the St. Lucie Plant Reliability Exchange Agreement?**

19 A. FPL projects the sale of 502,068 MWh of energy at a cost of
20 \$1,435,065. These projections are shown on Schedule E6 of
21 Appendix II.

22

23 **Q. What are the forecasted amounts and costs of wholesale (off-**

1 **system) power purchases for the January to December 2004**
2 **period?**

3 A. The costs of these purchases are shown on Schedule E9 of
4 Appendix II. For the period, FPL projects it will purchase a total of
5 1,477,135 MWh at a cost of \$52,338,486. If generated, FPL
6 estimates that this energy would cost \$59,905,035. Therefore,
7 these purchases are projected to result in savings of \$7,566,549.

8

9 **ACQUISITION OF ADDITIONAL RAILCARS FOR SCHERER**
10 **UNIT NO. 4 IN 2004**

11 **Q. Is FPL seeking recovery of any new projects through the Fuel**
12 **Cost Recovery Clause in 2004?**

13 A. Yes. FPL is seeking recovery of the cost of additional railcars that
14 will be used to haul coal from Wyoming's Powder River Basin (PRB)
15 to Plant Scherer.

16

17 **Q. Why does FPL need additional railcars to haul PRB coal to**
18 **Plant Scherer?**

19 A. FPL has been relying on the surplus capacity of railcars in the
20 existing Plant Scherer railcar pool. The upcoming conversion of
21 Scherer Unit No. 1 and Unit No. 2 to PRB coal by the owners of
22 those units will erase the railcar pool surplus and, in turn, will require
23 three of the Plant Scherer co-owners, including FPL, to contribute

1 additional railcar resources to the pool.

2

3 **Q. When are the additional FPL railcars needed at Plant Scherer?**

4 A. The additional railcars are needed at Plant Scherer by the end of the
5 first quarter of 2004.

6

7 **Q. How many additional railcars are required by FPL?**

8 A. FPL needs to acquire 137 additional railcars.

9

10 **Q. What is the cost of the 137 additional railcars?**

11 A. The current cost estimate for the additional railcars is approximately
12 \$7.7 million.

13

14 **Q. Please explain how FPL determined that it needed 137
15 additional railcars.**

16 A. The decision to convert Scherer Unit No. 1 and Unit No. 2 to PRB coal
17 caused the operating agent for Plant Scherer, Georgia Power
18 Company/Southern Company Services, to prepare a transportation
19 analysis. The plan that resulted was submitted to the Scherer co-
20 owners at the July 23, 2002 meeting of the Fuels Committee for
21 consideration. The plan was finalized on August 29, 2002, based on
22 key logistic parameters including estimated unit train cycle times and
23 current coal burn projections. The process indicated a need for 937

1 additional railcars in the pool, 137 of which would service the needs of
2 FPL.

3

4 **Q. How was the cost of the new railcars determined?**

5 A. The cost of the new railcars was based on competitive bids.

6

7 **Q. Will FPL lease or buy the 137 railcars?**

8 A. For purposes of this filing, FPL projected the purchase of 137
9 additional railcars, however a lease/buy analysis will be completed
10 approximately 45 days before construction of the railcars to
11 determine the least-cost alternative. If the lease/buy analysis shows
12 that leasing is the least-cost alternative, FPL will reflect any
13 differences through the normal true-up mechanisms.

14

15 **2004 RISK MANAGEMENT PLAN**

16 **Q. Has FPL completed its risk management plan as outlined in**
17 **Order PSC- 02-1484-FOF-EI issued on October 30, 2002?**

18 A. Yes. FPL's 2004 Risk Management Plan is provided on pages 5
19 and 6 of Appendix I.

20

21 **Q. Please describe FPL's hedging objectives.**

22 A. FPL's fuel hedging objectives are to effectively execute a well-
23 disciplined and independently controlled fuel procurement strategy

1 to manage fuel price stability (volatility minimization), to potentially
2 achieve fuel cost minimization and to achieve asset optimization.
3 FPL's fuel procurement strategy aims to mitigate fuel price
4 increases and reduce fuel price volatility, while maintaining the
5 opportunity to benefit from price decreases in the marketplace for
6 FPL's customers.

7

8 **Q. Does FPL's hedging plan for 2004 include strategies to mitigate**
9 **the replacement fuel costs associated with the extended**
10 **outage of Turkey Point Unit No. 3 due to the reactor vessel**
11 **head replacement?**

12 A. Yes. FPL's fuel hedging strategies incorporate all of FPL's planned
13 unit outages for a given time period. FPL takes mitigation steps to
14 lower the impact of all plant outages, through the procurement of
15 fuel and purchased power.

16

17 **Q. Does FPL project to incur incremental operating and**
18 **maintenance expenses with respect to maintaining an**
19 **expanded, non-speculative financial and/or physical hedging**
20 **program for which it is seeking recovery in the January**
21 **through December 2004 period?**

22 A. Yes. FPL projects to incur incremental expenses of \$400,257 for its
23 Trading and Operations group and \$27,600 for its Systems Group.

1 The expenses projected for the Trading and Operations Group are
2 composed of the salaries of two additional personnel that were
3 added in 2003 to support the enhanced hedging program and one
4 "open" position that FPL projects it will fill in 2004. This position will
5 also support the enhanced hedging program. The expense
6 projected for the Systems Group is for incremental annual license
7 fees for FPL's volume forecasting software. Volume forecasting is
8 done on a continuous basis to help FPL manage its hedge positions
9 by adjusting those positions according to updated fuel volume
10 forecasts on an ongoing basis. The incremental expense for an
11 annual license fee was necessary to fully support FPL's expanded
12 hedging program.

13

14 **Q. Are these projected hedging expenses prudent?**

15 **A.** Yes, for the reasons just described.

16

17 **2003 HEDGING SUMMARY**

18 **Q. Were FPL's actions through July 31, 2003, to mitigate fuel and**
19 **purchased power price volatility through implementation of its**
20 **non-speculative financial and/or physical hedging programs**
21 **prudent?**

22 **A.** Yes. FPL's hedging strategies throughout 2003 were consistent
23 with its market view throughout the period. In late 2002 and early

1 2003, FPL's focus was on the fuel oil markets and protecting its
2 customers from the high level of uncertainty in the Middle East, as
3 well as the Venezuelan oil workers strike. FPL considered the
4 possible impact a war in the Middle East could have on fuel oil
5 prices and took the appropriate action. Therefore, consistent with
6 that view, FPL hedged a greater percentage of residual fuel oil for
7 the first quarter of 2003. This included fixed price transactions, as
8 well as, building fuel oil inventories at the end of 2002. Given the
9 record high storage levels of natural gas and a longer-term view that
10 the market would be stable throughout the year, FPL's hedges
11 across all commodities were representative of FPL's market view.

12
13 The fundamentals that existed in the gas market at the time FPL's
14 hedges were put in place did not predict the significant change that
15 took place in the first quarter of 2003. The severe spike in natural
16 gas prices and cooling degree-days that coincided in the month of
17 March were unanticipated by the market and were deemed as short-
18 term occurrences. Given this information, FPL would not have
19 hedged additional natural gas volumes during the price spike.
20 Subsequent to the spike in natural gas prices, it became clear that
21 the original fundamentals FPL used to execute its hedges had
22 changed dramatically. Record low levels of storage at the end of
23 the withdrawal season, below expected production levels and

1 extended cold weather completely changed the natural gas market.
2 With these fundamental changes, FPL began increasing its hedging
3 activity for the balance of 2003 and for 2004. FPL has taken
4 advantage of market opportunities at specific times to help protect
5 its customers from the volatility that exists in the natural gas and fuel
6 oil markets. Consistent with FPL's presentation that was given to
7 the parties on June 30, 2003, FPL is moving forward with its
8 expanded hedging program. FPL will continue to hedge around its
9 market view and continues to make changes to its hedging plan as
10 its market view is updated.

11

12 In addition to the long-term hedges described above, FPL
13 continuously worked to lower fuel costs on a day-to-day basis. From
14 re-dispatching its system around gas-fired generation during the
15 natural gas spike, to constantly seeking and executing on market
16 opportunities for wholesale power; FPL has made every effort to
17 mitigate the impact of highly volatile fuel prices. Through July 31,
18 2003, FPL has been able to achieve gains on its wholesale power
19 sales of approximately \$10.4 million and savings from its wholesale
20 power purchases of approximately \$16.2 million. These gains and
21 savings are directly passed through to FPL's customers and help to
22 lower overall fuel costs.

23

1 FPL constantly monitors the fundamentals of the energy markets
2 and as conditions change, FPL will make further adjustments to its
3 hedging program to meet FPL's objective of reduced volatility to its
4 customers. FPL will continue to utilize the additional resources
5 (both systems and personnel) it acquired as a result of Order PSC-
6 02-1484-FOF-EI issued on October 30, 2002, to meet its goals and
7 the goals of its customers.

8

9 **Q. Does this conclude your testimony?**

10 A. Yes, it does.

1 GULF POWER COMPANY

2 Before the Florida Public Service Commission
3 Prepared Direct Testimony of
4 Terry A. Davis
5 Docket No. 030001-EI
6 Fuel and Purchased Power Capacity Cost Recovery
7 Date of Filing: April 1, 2003

8 Q. Please state your name, business address and occupation.

9 A. My name is Terry Davis. My business address is One
10 Energy Place, Pensacola, Florida 32520-0780. I am the
11 senior Staff Accountant in the Rates and Regulatory
12 Matters Department of Gulf Power Company.

13 Q. Please briefly describe your educational background and
14 business experience.

15 A. I graduated from Mississippi College in Clinton,
16 Mississippi in 1979 with a Bachelor of Science Degree in
17 Business Administration and a major in Accounting.
18 Prior to joining Gulf Power, I was an accountant for a
19 seismic survey firm, Geophysical Field Surveys in
20 Jackson, Mississippi. In that capacity, I was
21 responsible for accounts receivable, accounts payable,
22 sales, use, and fuel tax returns, and various other
23 accounting activities. In 1986, I joined Gulf Power as
24 an Associate Accountant in the Plant Accounting
25 Department. Since then, I have held various positions

1 of increasing responsibility with Gulf in Accounts
2 Payable, Financial Reporting, and Cost Accounting. In
3 1993, I joined the Rates and Regulatory Matters area,
4 where I have participated in activities related to the
5 cost recovery clauses, the rate case, budgeting, and
6 other regulatory functions. In 1998, I was promoted to
7 my current position, which includes preparation and
8 coordination of the Company's Fuel, Capacity and
9 Environmental Cost Recovery Clause filings,
10 administration of Gulf's retail tariff, and review of
11 other regulatory filings submitted by the Company.

12

13 Q. Have you prepared an exhibit that contains information
14 to which you will refer in your testimony?

15 A. Yes, I have.

16 Counsel: We ask that Ms. Davis' Exhibit
17 consisting of four schedules be
18 marked as Exhibit No. _____ (TAD-1).

19

20 Q. Are you familiar with the Fuel and Purchased Power
21 (Energy) true-up calculations for the period of January
22 2002 through December 2002 and the Purchased Power
23 Capacity Cost true-up calculations for the period of
24 January 2002 through December 2002 set forth in your
25 exhibit?

1 A. Yes. These documents were prepared under my direction.

2

3 Q. Have you verified that to the best of your knowledge and
4 belief, the information contained in these documents is
5 correct?

6 A. Yes, I have.

7

8 Q. What is the amount to be refunded or collected through
9 the fuel cost recovery factor in the period January 2004
10 through December 2004?

11 A. A net amount to be refunded of \$1,056,921 was calculated
12 as shown on Schedule 1 of my exhibit.

13

14 Q. How was this amount calculated?

15 A. The \$1,056,921 was calculated by taking the difference
16 in the estimated January 2002 through December 2002
17 under-recovery of \$16,703,076 and the actual under-
18 recovery of \$15,646,155, which is the sum of the Period-
19 to-Date amounts on lines 7, 8, and 12 shown on
20 Schedule A-2, page 2, of the monthly filing for December
21 2002. The estimated true-up amount for this period was
22 approved in Order No. PSC-02-1761-FOF-EI dated
23 December 13, 2002. Additional details supporting the
24 approved estimated true-up amount are included on
25 Schedule E1-A filed August 20, 2002.

1 Q. Ms. Davis has the estimated benchmark level for gains on
2 non-separated wholesale energy sales eligible for a
3 shareholder incentive been updated for 2003?

4 A. Yes, it has.

5

6 Q. What is the actual threshold for 2003?

7 A. Based on actual data for 2000, 2001, and now 2002, the
8 threshold is calculated to be \$1,405,575.

9

10 Q. What incremental hedging support costs related to
11 administering Gulf's recently approved hedging program
12 is Gulf seeking to recover for 2002?

13 A. Gulf is not seeking to recover any incremental hedging
14 support costs related to administering its recently
15 approved hedging program for the 2002 recovery period.

16

17 Q. Is Gulf seeking to recover any gains or losses from
18 hedging settlements in the 2002 recovery period?

19 A. Yes. On the December 2002 Fuel Schedule A-1, Period to
20 Date, Gulf has recorded a net gain of \$238,750 related
21 to hedging activities in 2002. Mr. Ball will address
22 the details of those hedging activities in his
23 testimony.

24

25

1 Q. Ms. Davis, you stated earlier that you are responsible
2 for the Purchased Power Capacity Cost true-up
3 calculation. Which schedules of your exhibit relate to
4 the calculation of these factors?

5 A. Schedules CCA-1, CCA-2, and CCA-3 of my exhibit relate
6 to the Purchased Power Capacity Cost true-up calculation
7 for the period January 2002 through December 2002.

8

9 Q. What is the amount to be refunded or collected in the
10 period January 2004 through December 2004?

11 A. An amount to be refunded of \$193,696 was calculated as
12 shown in Schedule CCA-1, of my exhibit.

13

14 Q. How was this amount calculated?

15 A. The \$193,696 was calculated by taking the difference in
16 the estimated January 2002 through December 2002 over-
17 recovery of \$353,333 and the actual over-recovery of
18 \$547,029, which is the sum of lines 12 and 13 under the
19 total column of Schedule CCA-2. The estimated true-up
20 amount for this period was approved in Order No. PSC-02-
21 1761-FOF-EI dated December 13, 2002. Additional details
22 supporting the approved estimated true-up amount are
23 included on Schedule CCE-1A filed August 20, 2002.

24

25

1 Q. Please describe Schedules CCA-2 and CCA-3 of your
2 exhibit.

3 A. Schedule CCA-2 shows the calculation of the actual over-
4 recovery of purchased power capacity costs for the
5 period January 2002 through December 2002. Schedule
6 CCA-3 of my exhibit is the calculation of the interest
7 provision on the over-recovery for the period January
8 2002 through December 2002. This is the same method of
9 calculating interest that is used in the Fuel and
10 Purchased Power (Energy) Cost Recovery Clause and the
11 Environmental Cost Recovery Clause.

12

13 Q. Ms. Davis, does this complete your testimony?

14 A. Yes, it does.

15

16

17

18

19

20

21

22

23

24

25

1 GULF POWER COMPANY

2 Before the Florida Public Service Commission
3 Prepared Direct Testimony and Exhibit of
4 Terry A. Davis
5 Docket No. 030001-EI
6 Fuel and Purchased Power Capacity Cost Recovery
7 Date of Filing: August 12, 2003

8 Q. Please state your name, business address and occupation.

9 A. My name is Terry Davis. My business address is One
10 Energy Place, Pensacola, Florida 32520-0780. I am the
11 senior Staff Accountant in the Rates and Regulatory
12 Matters Department of Gulf Power Company.

13 Q. Please briefly describe your educational background and
14 business experience.

15 A. I graduated from Mississippi College in Clinton,
16 Mississippi in 1979 with a Bachelor of Science Degree in
17 Business Administration and a major in Accounting.
18 Prior to joining Gulf Power, I was an accountant for a
19 seismic survey firm, Geophysical Field Surveys, in
20 Jackson, Mississippi. In that capacity, I was
21 responsible for accounts receivable, accounts payable,
22 sales, use, and fuel tax returns, and various other
23 accounting activities. In 1986, I joined Gulf Power as
24 an Associate Accountant in the Plant Accounting
25 Department. Since then, I have held various positions
of increasing responsibility with Gulf in Accounts

1 Payable, Financial Reporting, and Cost Accounting. In
2 1993, I joined the Rates and Regulatory Matters area,
3 where I have participated in activities related to the
4 cost recovery clauses, budgeting, a retail rate case,
5 and other regulatory functions. In 1998, I was promoted
6 to my current position, which includes preparation
7 and/or coordination of the Company's Fuel, Capacity and
8 Environmental Cost Recovery Clause filings,
9 administration of Gulf's retail tariff, and review of
10 other regulatory filings submitted by the Company.

11

12 Q. Have you prepared an exhibit that contains information
13 to which you will refer in your testimony?

14 A. Yes, I have.

15 Counsel: We ask that Ms. Davis' Exhibit
16 consisting of five schedules be marked as
17 Exhibit No. _____ (TAD-2).

18

19 Q. Are you familiar with the Fuel and Purchased Power
20 (Energy) estimated true-up calculations for the period
21 of January 2003 through December 2003 and the Purchased
22 Power Capacity Cost estimated true-up calculations for
23 the period of January 2003 through December 2003 set
24 forth in your exhibit?

25 A. Yes, these documents were prepared under my supervision.

1 Q. Have you verified that to the best of your knowledge and
2 belief, the information contained in these documents is
3 correct?

4 A. Yes, I have.

5

6 Q. How were the estimated true-ups for the current period
7 calculated for both fuel and purchased power capacity?

8 A. In each case the estimated true-up calculations include
9 seven months of actual data and five months of estimated
10 data.

11

12 Q. Ms. Davis, what has Gulf calculated as the fuel cost
13 recovery true-up to be applied in the period January
14 2004 through December 2004?

15 A. The fuel cost recovery true-up for this period is an
16 increase of .1877¢/kwh. As shown on Schedule E-1A, this
17 includes an estimated under-recovery for the January
18 through December 2003 period of \$20,963,299, plus a
19 final over-recovery for the January through December
20 2002 period of \$1,056,921 (see Schedule 1 of Exhibit
21 TAD-1 in this docket filed on April 1, 2003). The
22 resulting net under-recovery is \$19,906,378.

23

24

25

1 Q. Ms. Davis, you stated earlier that you are responsible
2 for the Purchased Power Capacity Cost true-up
3 calculation. Which schedules of your exhibit relate to
4 the calculation of these factors?

5 A. Schedules CCE-1a and CCE-1b of my exhibit relate to the
6 Purchased Power Capacity Cost true-up calculation to be
7 applied in the January 2004 through December 2004
8 period.

9
10 Q. What has Gulf calculated as the purchased power capacity
11 factor true-up to be applied in the period January 2004
12 through December 2004?

13 A. The true-up for this period is a decrease of .0118¢ as
14 shown on Schedule CCE-1a. This includes an estimated
15 over-recovery of \$1,058,876 for January 2003 through
16 December 2003. It also includes a final true-up over-
17 recovery of \$193,696 for the period of January 2002
18 through December 2002 (see Schedule CCA-1 filed April 1,
19 2003). The resulting over-recovery is \$1,252,572.

20
21 Q. Ms. Davis, does this complete your testimony?

22 A. Yes, it does.

23

24

25

1 GULF POWER COMPANY

2 Before the Florida Public Service Commission
3 Prepared Direct Testimony and Exhibit of
4 Terry A. Davis
5 Docket No. 030001-EI
6 Fuel and Purchased Power Cost Recovery
7 Date of Filing: September 12, 2003

8 Q. Please state your name, business address and occupation.

9 A. My name is Terry Davis. My business address is One
10 Energy Place, Pensacola, Florida 32520-0780. I am the
11 senior Staff Accountant in the Rates and Regulatory
12 Matters Department of Gulf Power Company.

13 Q. Please briefly describe your educational background and
14 business experience.

15 A. I graduated from Mississippi College in Clinton,
16 Mississippi in 1979 with a Bachelor of Science Degree in
17 Business Administration and a major in Accounting.
18 Prior to joining Gulf Power, I was an accountant for
19 seven years with a seismic survey firm, Geophysical
20 Field Surveys, in Jackson, Mississippi. In that
21 capacity, I was responsible for accounts receivable,
22 accounts payable, sales, use, and fuel tax returns, and
23 various other accounting activities. In 1986, I joined
24 Gulf Power as an Associate Accountant in the Plant
25 Accounting Department. Since then, I have held various
positions of increasing responsibility with Gulf in

1 Accounts Payable, Financial Reporting, and Cost
2 Accounting. In 1993, I joined the Rates and Regulatory
3 Matters area, where I have participated in activities
4 related to the cost recovery clauses, the rate case,
5 budgeting, and other regulatory functions. In 1998, I
6 was promoted to my current position, which includes
7 preparation and/or coordination of the Company's Fuel,
8 Capacity and Environmental Cost Recovery Clause filings,
9 administration of Gulf's retail tariff, and review of
10 other regulatory filings submitted by the Company.

11

12 Q. Have you previously filed testimony before this
13 Commission in this on-going docket?

14 A. Yes, I have.

15

16 Q. What is the purpose of your testimony?

17 A. The purpose of my testimony is to discuss the
18 calculation of Gulf Power's fuel cost recovery factors
19 for the period January 2004 through December 2004. I
20 will also discuss the calculation of the purchased power
21 capacity cost recovery factors for the period January
22 2004 through December 2004.

23

24

25

1 Q. Are you familiar with the Fuel and Purchased Power Cost
2 Recovery Clause Calculation for the period of January
3 2004 through December 2004?

4 A. Yes, these documents were prepared under my supervision.

5
6 Q. Have you verified that to the best of your knowledge and
7 belief, the information contained in these documents is
8 correct?

9 A. Yes, I have.

10 Counsel: We ask that Ms. Davis's Exhibit
11 consisting of fourteen schedules,
12 be marked as Exhibit No. _____ (TAD-3).
13

14 Q. What has been included in this filing to reflect the
15 GPIF reward/penalty for the period of January 2002
16 through December 2002?

17 A. The GPIF result is shown on Line 33 of Schedule E-1 as
18 an increase of .0041¢/kwh, thereby rewarding Gulf
19 \$431,920.
20

21 Q. Has there been any change that would affect the
22 estimated true-up for 2003 filed by Gulf on August 12,
23 2003?

24 A. Yes. The actual fuel over/under recovery calculation
25 for August 2003 resulted in an under-recovery of

1 \$3,806,123.03 as shown on revised Schedule E-1b, page 2,
2 of my exhibit. This amount is \$2,945,593.11 more than
3 projected on the original version of this schedule filed
4 on August 12, 2003. I have revised this schedule and
5 included the new estimated true-up amount on Schedule
6 E-1b and in the resulting calculations on the other
7 schedules in the E-1 series.

8

9 Q. What is the appropriate revenue tax factor to be applied
10 in calculating the levelized fuel factor?

11 A. A revenue tax factor of 1.00072 has been applied to all
12 jurisdictional fuel costs as shown on Line 31 of
13 Schedule E-1.

14

15 Q. Ms. Davis, what is the levelized projected fuel factor
16 for the period January 2003 through December 2003?

17 A. Gulf has proposed a levelized fuel factor of 2.459¢/kwh.
18 It includes projected fuel and purchased power energy
19 expenses for January 2004 through December 2004 and
20 projected kwh sales for the same period, as well as the
21 true-up and GPIF amount. The levelized fuel factor has
22 not been adjusted for line losses.

23

24

25

1 Q. How does the levelized fuel factor for the projection
2 period compare with the levelized fuel factor for the
3 current period?

4 A. The projected levelized fuel factor for 2004 is .111
5 cents/kwh more or 4.7 percent higher than the levelized
6 fuel factor for 2003 upon which current fuel factors are
7 based.

8

9 Q. Ms. Davis, how were the line loss multipliers used on
10 Schedule E-1E calculated?

11 A. They were calculated in accordance with procedures
12 approved in prior filings and were based on Gulf's
13 latest mwh Load Flow Allocators.

14

15 Q. Ms. Davis, what fuel factor does Gulf propose for its
16 largest group of customers (Group A), those on Rate
17 Schedules RS, GS, GSD, OSIII, and OSIV?

18 A. Gulf proposes a standard fuel factor, adjusted for line
19 losses, of 2.472¢/kwh for Group A. Fuel factors for
20 Groups A, B, C, and D are shown on Schedule E-1E. These
21 factors have all been adjusted for line losses.

22

23 Q. Ms. Davis, how were the time-of-use fuel factors
24 calculated?

1 A. These were calculated based on projected loads and
2 system lambdas for the period January 2004 through
3 December 2004. These factors included the GPIF and
4 true-up, and were adjusted for line losses. These time-
5 of-use fuel factors are also shown on Schedule E-1E.

6
7 Q. How does the proposed fuel factor for Rate Schedule RS
8 compare with the factor applicable to December 2003 and
9 how would the change affect the cost of 1000 kwh on
10 Gulf's residential rate RS?

11 A. The current fuel factor for Rate Schedule RS applicable
12 through December 2003 is 2.359¢/kwh compared with the
13 proposed factor of 2.472¢/kwh. For a residential
14 customer who uses 1000 kwh in January 2004, the fuel
15 portion of the bill would increase from \$23.59 to
16 \$24.72.

17
18 Q. Has Gulf updated its estimates of the as-available
19 avoided energy costs to be shown on COG1 as required by
20 Order No. 13247 issued May 1, 1984, in Docket
21 No. 830377-EI and Order No. 19548 issued June 21, 1988,
22 in Docket No. 880001-EI?

23 A. Yes. A tabulation of these costs is set forth in
24 Schedule E-11 of my Exhibit TAD-3. These costs

1 represent the estimated averages for the period from
2 January 2004 through December 2005.

3

4 Q. What amount have you calculated to be the appropriate
5 benchmark level for calendar year 2004 gains on non-
6 separated wholesale energy sales eligible for a
7 shareholder incentive?

8 A. In accordance with Order No. PSC-00-1744-AAA-EI, a
9 benchmark level of \$2,016,185 has been calculated for
10 2004. The actual gains for 2001, 2002, and the
11 estimated gains for 2003 on all non-separated sales have
12 been averaged to determine the minimum projected
13 threshold for 2004 that must be achieved before
14 shareholders may receive any incentive. As demonstrated
15 on Schedule E-6, page 2 of 2, Gulf's projection reflects
16 a credit to customers of 100 percent of the gains on
17 non-separated sales for 2003. The estimated gains on
18 all non-separated sales are projected to be \$383,000,
19 whereas the threshold is estimated at \$2,016,185.

20

21 Q. You stated earlier that you are responsible for the
22 calculation of the purchased power capacity cost (PPCC)
23 recovery factors. Which schedules of your exhibit
24 relate to the calculation of these factors?

1 A. Schedule CCE-1, including CCE-1a and CCE-1b, and
2 Schedule CCE-2 of my exhibit relate to the calculation
3 of the PPCC recovery factors for the period January 2004
4 through December 2004.

5

6 Q. Please describe Schedule CCE-1 of your exhibit.

7 A. Schedule CCE-1 shows the calculation of the amount of
8 capacity payments to be recovered through the PPCC
9 Recovery Clause. Mr. Bell has provided me with Gulf's
10 projected purchased power capacity transactions. Gulf's
11 total projected net capacity expense which includes a
12 credit for transmission revenue for the period January
13 2004 through December 2004 is \$19,542,907. The
14 jurisdictional amount is \$18,859,271. This amount is
15 added to the total true-up amount to determine the total
16 purchased power capacity transactions that would be
17 recovered in the period.

18

19 Q. What methodology was used to allocate the capacity
20 payments to rate class?

21 A. As required by Commission Order No. 25773 in Docket
22 No. 910794-EQ, the revenue requirements have been
23 allocated using the cost of service methodology used in
24 Gulf's last full requirements rate case and approved by
25 the Commission in Order No. PSC-02-0787-FOF-EI issued

1 June 10, 2002, in Docket No. 010949-EI. For purposes of
2 the PPCC Recovery Clause, Gulf has allocated the net
3 purchased power capacity costs to rate class with
4 12/13th on demand and 1/13th on energy. This allocation
5 is consistent with the treatment accorded to production
6 plant in the cost of service study used in Gulf's last
7 rate case.

8

9 Q. How were the allocation factors calculated for use in
10 the PPCC Recovery Clause?

11 A. The allocation factors used in the PPCC Recovery Clause
12 have been calculated using the 2001 load data filed with
13 the Commission in accordance with FPSC Rule 25-6.0437.
14 The calculations of the allocation factors are shown in
15 columns A through I on Page 1 of Schedule CCE-2.

16

17 Q. Please describe the calculation of the cents/kwh factors
18 by rate class used to recover purchased power capacity
19 costs.

20 A. As shown in columns A through D on page 2 of Schedule
21 CCE-2, the 12/13th of the jurisdictional capacity cost
22 to be recovered is allocated to rate class based on the
23 demand allocator, with the remaining 1/13th allocated
24 based on energy. The total revenue requirement assigned
25 to each rate class shown in column E is then divided by

1 that class's projected kwh sales for the twelve-month
2 period to calculate the PPCC recovery factor. This
3 factor would be applied to each customer's total kwh to
4 calculate the amount to be billed each month.

5

6 Q. What is the amount related to purchased power capacity
7 costs recovered through this factor that will be
8 included on a residential customer's bill for 1000 kwh?

9 A. The purchased power capacity costs recovered through the
10 clause for a residential customer who uses 1000 kwh will
11 be \$1.94.

12

13 Q. When does Gulf propose to collect these new fuel charges
14 and purchased power capacity charges?

15 A. The fuel and capacity factors will be effective
16 beginning with the first Bill Group for January 2004 and
17 continuing through the last Bill Group for December
18 2004.

19

20 Q. Ms. Davis, does this complete your testimony?

21 A. Yes, it does.

22

23

24

25

1 CHAIRMAN JABER: And, Staff, I think we can then just
2 get to the issues that have proposed stipulations so that
3 parties are comfortable leaving the rest of the proceeding if
4 they want to leave.

5 MS. KAUFMAN: Chairman, I don't want to interrupt,
6 but before you do that, there is an error, I think, in the
7 prehearing order on Issue 30 that reflects FIPUG's position as
8 no position. And I had discussed that with Mr. Keating
9 previously, so I don't believe that Issue 30 is going to be
10 stipulated. And this may relate to Ms. Welch, as well.

11 CHAIRMAN JABER: Do we have your revised position,
12 Ms. Kaufman, or can you get it to us?

13 MS. KAUFMAN: I can tell you what it is.

14 CHAIRMAN JABER: Go ahead.

15 MS. KAUFMAN: And our position would be the
16 Commission should ensure that any costs included in base rates
17 are not included in the clause for recovery.

18 CHAIRMAN JABER: Read it one more time.

19 MS. KAUFMAN: The Commission should ensure that any
20 costs included in base rates are not included in the clause for
21 recovery.

22 CHAIRMAN JABER: Okay. Let the record reflect
23 FIPUG's position on Issue 30 has been revised. Staff, take us
24 issue-by-issue, what you believe has a proposed stipulation, we
25 will rule on it.

1 MR. KEATING: We discussed earlier perhaps going
2 through and handling just the companies, all of whose issues
3 were stipulated. Do you want to go just through all of those
4 companies or through all the companies' stipulated issues?

5 CHAIRMAN JABER: I want to do it the most efficient
6 way possible. So let's just -- what might that be?

7 MR. KEATING: I think it might be easier for us to go
8 through just Gulf and FPC right now since all their issues are
9 stipulated. I don't know that staff is going to be able to --
10 it may be more difficult for us to go through the other
11 companies' issues at this point in time, because there are some
12 fallouts that may be stipulated as a result, and we just
13 haven't had the time to give it that thought.

14 CHAIRMAN JABER: Let's start with Gulf.

15 MR. KEATING: For Gulf Power, Issue 11 would agree
16 with -- we would agree with Gulf Power's position as stated on
17 Issue 1 in the prehearing order.

18 CHAIRMAN JABER: So what you need from the Commission
19 is a motion to accept the proposed stipulation between -- is it
20 all the parties and Gulf, or is it staff and Gulf?

21 MR. KEATING: The other parties have simply, as I
22 understand, taken no position on that issue.

23 CHAIRMAN JABER: Okay. Commissioners, can I have a
24 motion to accept Gulf's proposed stipulation on Issue 1?

25 COMMISSIONER DEASON: Let me ask a question. Do we

1 need to go issue-by-issue on all of these or can you just
2 review all of the Gulf stipulations and we can do them at one
3 time.

4 MR. KEATING: I can do that just as well. We can go
5 through and give you all the issue numbers. For Gulf Power
6 that would be Issues 1 through 11, Issue 12, Issues 16A and
7 16B, and Issues 24 through 29.

8 MR. BADDERS: And on Issue 29 there is an error in
9 the table. It shows a dollar per kWh, it should be cents.

10 MR. KEATING: And with that clarification, I believe
11 staff can recommend approval of Gulf Power's position, or what
12 is shown as the stipulated position in the prehearing order on
13 those issues.

14 CHAIRMAN JABER: Mr. Badders, you said the error is
15 in Issue 29, Page 40 of the prehearing order, and what is the
16 change?

17 MR. BADDERS: There is a dollar sign. If you look
18 over under capacity cost-recovery factors, it is dollars per
19 kWh. It should be cents.

20 CHAIRMAN JABER: Okay. Commissioners, again, it
21 looks like a stipulation has been reached with Gulf as it
22 relates to Issues 1 through 12, 16A, 16B, 24 through 29,
23 recognizing the change to Issue 29.

24 COMMISSIONER DEASON: Move approval as revised for
25 29, and 1 through 12, 16A, 16B, and 24 through 28; 29 as

1 revised.

2 CHAIRMAN JABER: And a second. All those in favor
3 say aye.

4 (Unanimous affirmative vote.)

5 CHAIRMAN JABER: Those issues as it relates to Gulf
6 have been approved unanimously.

7 And, Mr. Badders, was there anything else we needed
8 to address as it relates to your company?

9 MR. BADDERS: No, that just leaves us with Issue 30.
10 We do not have testimony on that, but I may reserve the right
11 to cross-examine witnesses.

12 CHAIRMAN JABER: Oh. So you are not excusable. You
13 have to be here, okay.

14 Mr. Keating, you said Gulf was the first company.
15 What was the second one?

16 MR. KEATING: The second was Florida Public Utilities
17 Company.

18 CHAIRMAN JABER: Okay.

19 MR. KEATING: And on Issues -- for Issues 1 through
20 9, and Issue 15A, staff can recommend approval of the position
21 shown for Florida Public Utilities Company, both the Fernandina
22 Beach and Marianna divisions.

23 CHAIRMAN JABER: Are there any changes to any of the
24 positions, Florida Public Utilities Company? Any changes, Mr.
25 Horton?

1 MR. HORTON: No, ma'am. No.

2 CHAIRMAN JABER: Commissioners?

3 COMMISSIONER DEASON: Madam Chairman, I can move
4 approval of the stipulations for FPUC, Marianna, and Fernandina
5 on Issues 1 through 9 and 15A.

6 COMMISSIONER BRADLEY: Second.

7 CHAIRMAN JABER: And a second. All those in favor
8 say aye.

9 (Unanimous affirmative vote.)

10 CHAIRMAN JABER: The proposed stipulations related to
11 1 through 9 and 15A for FPUC have been approved unanimously.
12 What else, Mr. Keating?

13 MR. KEATING: Those are the only two companies whose
14 issues are entirely stipulated at this point in time.

15 CHAIRMAN JABER: Okay.

16 MR. HORTON: And, Madam Chairman, with that, may I be
17 excused?

18 CHAIRMAN JABER: Absolutely.

19 MR. HORTON: Thank you.

20 CHAIRMAN JABER: Thank you.

21 Mr. Keating, does that take us to a point where we
22 can put the first witness on the stand?

23 MR. MCGEE: Madam Chairman.

24 CHAIRMAN JABER: Yes.

25 MR. MCGEE: I have a correction that I need to make

1 to Progress Energy issues, one of which I hope will result in a
2 stipulation. The first one is Issue 30 on Page 43. In the
3 second of line that position, as that stated there, the words
4 that refer to the last sentence of staff's position, staff's
5 position has been reworded since the time that position was
6 written. So if I may, I would like to strike three words,
7 "last sentence which," and insert in its place, "position of
8 Staff Witness Brinkley who," so that the beginning of the issue
9 would read, "Progress Energy agrees with staff's position,
10 except for the position of Staff Witness Brinkley, who proposes
11 an adjustment."

12 CHAIRMAN JABER: And you believe that results in a
13 stipulation, Mr. McGee?

14 MR. McGEE: That would be the next issue. On Issue
15 31A on Page 45, I would like to change Progress Energy's
16 position to agree with staff. And I believe that does result
17 in a stipulation.

18 CHAIRMAN JABER: Okay. Let's take it issue-by-issue.
19 With regard to Issue 30, let the record reflect the change in
20 Progress Energy's position as articulated by Mr. McGee. For
21 Issue 31A, let the record reflect that Progress's position is
22 now agree with staff. And, Mr. Keating, do you all have a
23 stipulation with that change?

24 MR. KEATING: From staff's perspective, we definitely
25 agree with the company on Issue 31A.

1 CHAIRMAN JABER: And I see that the parties had taken
2 no position on this issue, is that right?

3 MR. KEATING: That is my understanding. And Ms.
4 Kaufman and Mr. Vandiver may have something to add.

5 MS. KAUFMAN: Right. We had changed our position on
6 Issue 30, that is what I had just referenced earlier, that
7 there was an error.

8 CHAIRMAN JABER: Right. But what about Issue 31A?

9 MS. KAUFMAN: We have had this discussion before.
10 I'm not clear how Issue 31A can be stipulated with Issue 30
11 still in contention.

12 CHAIRMAN JABER: Okay.

13 MS. KAUFMAN: And I'm open to understanding that,
14 absolutely.

15 CHAIRMAN JABER: Okay. We will leave it an open
16 question. I'm sure we will be taking a break in the very near
17 future, you all can talk about it a little bit more. Anything
18 else?

19 MR. KEATING: Other preliminary matters?

20 CHAIRMAN JABER: Uh-huh.

21 MR. KEATING: There are a couple of other things on
22 my list. One was just to point out that Public Counsel's
23 witnesses, as I understand, would not be present until
24 tomorrow, and I don't think that is going to be a problem. I
25 think we probably won't get to those witnesses until tomorrow.

1 If we do get to a point today where we are ready for them, I
2 think we could, if necessary, take some staff witnesses out of
3 order and come back to Public Counsel's witnesses, because I
4 don't think we will get through everything today regardless.

5 CHAIRMAN JABER: Okay. Let's cross that bridge when
6 we come to it. But the question, I think, that is on the table
7 is will anyone have any objection to taking staff witnesses up
8 today if we get to that point?

9 Go ahead, Mr. Keating, what's next on your list? It
10 looks like no one has any objection to taking staff witnesses
11 out of order.

12 MR. KEATING: The next things on my list is Tampa
13 Electric filed a notice of intent to request official
14 recognition of two Commission orders and one Florida Supreme
15 Court order. I think our recent practice has been that we felt
16 there was no need to officially recognize those orders. I
17 don't see that there is any harm in doing so, but that is one
18 of the preliminary matters that I felt I needed to bring up.

19 MR. BEASLEY: Madam Chairman, we have the two
20 Commission decisions and the Supreme Court opinion. They were
21 officially noticed by the Commission in your proceeding two
22 years ago when an issue was raised by the Florida Industrial
23 Power Users Group concerning transactions with Hardee Power
24 Partners. The same issues have arisen in this proceeding. We
25 have these and can distribute them to you. The first order is

1 your order on need determination back in 1989, where the
2 Commission determined that the transactions in question would
3 bring approximately \$90 million worth of benefits to Tampa
4 Electric's customers.

5 The second order is the one entered after the fuel
6 adjustment hearing two years ago where the Commission heard
7 similar arguments from FIPUG, their challenge to the
8 reasonableness of the power purchase agreement between Tampa
9 Electric and Hardee Power Partners. You rejected that argument
10 unanimously.

11 The third order is the opinion of the Supreme Court
12 of Florida affirming your decision two years ago. This order
13 was issued last November. I would be happy to distribute these
14 to you if you would find them useful and convenient to have.

15 CHAIRMAN JABER: Mr. Keating, it's my understanding
16 as it relates to the orders -- I have received a copy of your
17 request for official recognition through staff, as well. And
18 it is my understanding, Mr. Keating, that as it relates to
19 Commission orders, there is no need to officially recognize the
20 agency decisions. You all are free to cite to whatever
21 Commission orders you want in your briefs. So I won't take any
22 action with regard to those orders.

23 Now, tell me what to do as it relates to the request
24 for the Supreme Court case?

25 MR. KEATING: As it relates to that particular

1 request, and staff has no objection to the Commission
2 officially recognizing that. And, I guess, my thinking had
3 always been that we could consider that and parties could rely
4 on those types of orders, as well. It is an appeal of one of
5 our own orders.

6 CHAIRMAN JABER: Parties, I tend to agree. It is my
7 understanding that any district court of appeal case on point,
8 Supreme Court case as long as you all have notice and an
9 opportunity to respond in briefs, that there is no need to take
10 action as it relates to the Florida case.

11 MR. McWHIRTER: FIPUG has no objection to the
12 Commission taking administrative notice of these orders and the
13 Supreme Court decision. We do object to Mr. Beasley's
14 characterization of the current issue being the same as the
15 issues in those cases, and if he will withdraw that comment, we
16 won't fuss about it.

17 CHAIRMAN JABER: Well, you know, Mr. McWhirter, I
18 think that your objection is noted. I think you have an
19 opportunity to address it in your briefs. And I don't intend
20 to take any other action as it relates to this request.

21 MR. BEASLEY: Madam Chairman, the reason I did this
22 was out of convenience, because this is usually a
23 bench-decision type proceeding, and I just wanted to have these
24 available for you to refer to in the event you wanted to. And
25 I can distribute them, or just put them back here on the --

1 CHAIRMAN JABER: Mr. McWhirter, do you have a copy of
2 the case? Do you need a copy?

3 MR. McWHIRTER: No I don't, Madam Chairman.

4 CHAIRMAN JABER: Okay. Pass out the copies, Mr.
5 Beasley, when we take a break. But something you said with
6 regard to the bench decision, we always decide that issue on an
7 issue-by-issue basis. So to the degree there is an issue as it
8 relates to your application or argument of the case, I will
9 entertain objections at that point.

10 MR. BEASLEY: That's fine.

11 CHAIRMAN JABER: Mr. Keating, what else?

12 MR. KEATING: That is all that I have on my list for
13 preliminary matters. I do, at some point, and perhaps I could
14 suggest it after the break, hope to get back to potentially
15 excusing Staff Witness Kathy Welch, and we will have to talk to
16 the parties about that.

17 CHAIRMAN JABER: I would like to take up all the
18 preliminary matters at this point, take a break, and get the
19 first witness up on the stand. So, parties, do you have
20 preliminary matters you want to bring to our attention?

21 Mr. Beasley.

22 MR. BEASLEY: We have one further matter. Mr. Hart
23 will address that for you.

24 MR. HART: Tampa Electric has filed a motion to
25 compel discovery with regard to a document that was produced

1 and entered into evidence at one of the depositions we took.
2 We filed a motion to compel that. We have not seen it, but we
3 have understood that the motion has been denied. We would like
4 to address the Commission regarding our motion to compel.

5 CHAIRMAN JABER: What haven't you seen? You haven't
6 seen the order denying your motion to compel?

7 MR. HART: We haven't seen the order denying the
8 motion to compel. We would like to address the Commission even
9 if we had seen the order. We haven't, but we would like to
10 address the Commission regarding our motion to compel.

11 CHAIRMAN JABER: Okay. Let me make sure I
12 understand. There is an order denying your motion to compel,
13 so are you asking for reconsideration?

14 MR. HART: Yes, if there is an order. We have heard
15 there is. If there is one, we would like a motion for
16 reconsideration. If not, we would like to address the full
17 Commission with regard to the motion.

18 CHAIRMAN JABER: I can tell you there is an order.
19 And I can tell you, you need to get your hands on the order.
20 Because if you are going to argue a motion for reconsideration,
21 it seems to me you need the order.

22 MR. HART: We couldn't agree more.

23 CHAIRMAN JABER: Staff, let's make sure all the
24 parties have a copy of that order during the break, and we will
25 entertain whatever motion you may have after the break. Any

1 other preliminary matters?

2 MR. BUTLER: Chairman Jaber, I believe that -- I'm
3 not sure, Cochran, did you cover the additional stipulations on
4 issues like 14A, which is FPL's issue on the hedging activities
5 in 2002? And I think there is a stipulation. There had been a
6 question about some language FIPUG wanted to have inserted into
7 a common position that would ensure that, to the extent things
8 are audited, there is attention to affiliate issues. I think
9 that has been resolved. And if it has, we would like to add
10 14A. And I think there are some other issues like it that
11 would be added to the stipulated issues.

12 MR. KEATING: Right. I did bring that up earlier,
13 and indicated that the Commissioners were provided copies of a
14 two-page document that included those stipulations that were
15 reached after the prehearing order was issued. And I think we
16 may have some additional copies here, as well, that includes
17 the language that was agreed to on Monday. And it was our
18 intent to go through that issue in the course of going through
19 all the FPL issues at the close of evidence at the end of the
20 hearing in terms of making recommendations on those issues.

21 CHAIRMAN JABER: Okay. Mr. Butler, that may be more
22 efficient, since this doesn't excuse the rest of your
23 witnesses, does it?

24 MR. BUTLER: No, it does not. No.

25 CHAIRMAN JABER: Okay. Parties, any other

1 preliminary matters before we take a break?

2 MS. KAUFMAN: No, ma'am.

3 CHAIRMAN JABER: Okay. Here is what we are going to
4 do. We are going to take a thirty-minute break. And during
5 that break, Mr. Hart, Mr. Beasley, get with staff. Get a copy
6 of the order you are referring to. We will entertain your
7 motion when we get back on the record.

8 Ms. Kaufman, you indicated there were a couple of
9 issues you wanted to understand positions further. Get with
10 staff, please.

11 Staff, take advantage of that thirty-minute break,
12 because the next break we take will be around lunch. Thank
13 you.

14 (Recess.)

15 CHAIRMAN JABER: Let's get back on the record. Mr.
16 Hart, where we left it last, you had an order. There is an
17 order denying your motion to compel discovery from FIPUG.

18 MR. HART: Yes.

19 CHAIRMAN JABER: And you said you wanted the
20 Commission to entertain that motion. Do you want to clarify
21 what you --

22 MR. HART: We would like for the Commission to
23 reconsider this order.

24 CHAIRMAN JABER: What is the basis for your motion
25 for reconsideration?

1 MR. HART: That it overlooks pertinent Florida law,
2 misapprehends what the nature of the document is.

3 CHAIRMAN JABER: Okay. Why don't you -- for the
4 benefit of all the Commissioners, why don't you tell us more
5 about the underlying motion, what is in the order, and then all
6 of the appropriate argument you have got for the motion for
7 reconsideration. FIPUG, I will ask you to respond, and then I
8 will ask for a staff recommendation.

9 MR. HART: Yes, Madam Chairman, I will be happy to do
10 that. This document was produced by an expert witness during
11 the course of a deposition. We were given the document to
12 read, we did, we spent some time reading it before the
13 deposition. We asked specifically if we could look at the
14 document before the deposition, we were told we could. We
15 looked at it, we identified it during the course of the
16 deposition. Counsel clearly knew what the document was. We
17 took a recess and went and read the document, came back and had
18 it marked as an exhibit to the deposition. We would have spent
19 longer with the document, but it wasn't controversial at that
20 point in time as to whether or not we were going to have
21 possession of it.

22 There was an objection raised, an evidentiary
23 objection, but since there was no objection to our physical
24 possession of it, we assumed that they were making an objection
25 to preserve it for the record, that it wouldn't be admissible

1 at the hearing. We then had the document, looked at it, it sat
2 on the table with the other exhibits. It was available to look
3 at for an extended period of time. Right before the deposition
4 was closed, we took a break to see if we had any additional
5 questions, went out of the room, talked among ourselves, came
6 back to conclude the deposition, and found out that counsel had
7 taken the deposition exhibit from the pile of exhibits and
8 refused to return it. That is how this document came into
9 being.

10 The witness was asked about the document --

11 COMMISSIONER DAVIDSON: Let me ask a question there.
12 I assume there is a copy somewhere produced if it was marked as
13 an exhibit with the depo, somewhere with an original
14 deposition.

15 MR. HART: There wasn't. Counsel physically took the
16 document from the court reporter and refused to return it.

17 COMMISSIONER DAVIDSON: Was the document marked as
18 confidential during the course of the deposition? Was there
19 agreement that it --

20 MR. HART: No.

21 CHAIRMAN JABER: Go ahead.

22 MR. HART: The document that the witness produced,
23 and the witness described it in her deposition as an analysis
24 of Ms. Jordon's rebuttal testimony, was a ten-page
25 single-spaced typed document entitled -- it is in FIPUG's, I

1 don't want to misstate what they titled this, but it was for
2 the purpose of the deposition, cross-examination, and a motion
3 to strike. It was an analysis prepared by the witness of how
4 the witness intended to testify in her deposition on
5 cross-examination. And I believe it said the witness' -- the
6 witness made the statement that my testimony may be subject to
7 a motion to strike.

8 COMMISSIONER DAVIDSON: Who was the lawyer on the
9 other side?

10 MR. HART: There are a number of them. Mr. McWhirter
11 was at the deposition.

12 COMMISSIONER DAVIDSON: Well, let me just jump in and
13 ask a question now. I mean, I have never witnessed such a
14 thing. I mean, I would view it as highly improper, if I was in
15 a deposition, to actually take a document that was marked as an
16 exhibit and identified at the deposition, hand it to the court
17 reporter to distribute to the other side. I mean, that strikes
18 me as highly improper. I don't have any reference to any sort
19 of rules regulating attorney conduct there, but help me
20 understand why we are in this stage, what transpired?

21 MR. McWHIRTER: Mr. Davidson, what transpired was
22 there was a subpoena duces tecum to produce all information
23 prepared by the witness in preparation for this hearing. The
24 witness brought two very large blue plastic containers, about
25 12 cubic feet of documents containing all the evidence she had

1 and everything she had relied upon. At the outset of the
2 hearing, counsel for Tampa Electric went through the documents,
3 and they pulled up this one document which was entitled, "TECO
4 fuel hearing preparation for deposition and cross motions to
5 strike." And I said, "It looks to me like that may be part of
6 attorney/client work product, Mr. Hart." And he said, "Oh, no,
7 with an expert witness we are entitled to get that
8 information." And I said, "Well, you're a smart lawyer, Mr.
9 Hart, and I will rely on what you have to say, but I am going
10 to look up the law while we are proceeding with this
11 deposition."

12 And during the course he takes this exhibit, he puts
13 a tab on it, and says we will mark this as -- asked the court
14 reporter to mark it as Exhibit 3. At that point I objected
15 because it was attorney privileged information. And during the
16 course of the deposition I read the law. And I found the
17 section cited by Mr. Hart, the Evidence Code Section 90.57, and
18 also the rule he didn't cite, which was 1.280(b)(3), and that
19 clearly distinguishes when an expert witness is there and in
20 possession of attorney work product that that is not subject to
21 discovery.

22 And there were two documents, one were notes she had
23 taken in a conversation with me, and the typewritten documents
24 were notes she had taken in a telephone conversation with Ms.
25 Kaufman. I read the law, I perceived that what Ms. Hart (sic)

1 had told me was the correct law was not the correct law, and so
2 I took this document which belonged to our witness, not to
3 Tampa Electric, which was not in evidence, but had merely had
4 the court reporter's label on it and it was objected to, back
5 into my possession until the matter could be resolved.

6 COMMISSIONER DAVIDSON: Well, is it incorrect then to
7 state that if attorney work product is given to an expert and
8 an expert relies on that in the preparation of his or her
9 opinion that that information is still not discoverable, even
10 if it has been relied upon by the expert?

11 MR. McWHIRTER: We brought our brains over here. Mr.
12 Perry is going to argue the law, but my understanding of the
13 law is even if the witness has in his possession attorney work
14 product, that is not discoverable. And I think that is the
15 precise reading of Section Rule 1.280(b)(3).

16 COMMISSIONER DAVIDSON: I apologize, I didn't mean to
17 cut TECO off from his argument, but I wanted to sort of jump in
18 and understand the exact circumstances as to how this document
19 got pulled from the stack.

20 CHAIRMAN JABER: FIPUG, let me let you hold onto
21 that. I do want to get through. The motion we have in front
22 of us today is a motion for reconsideration. But as
23 Commissioner Davidson said, the history is important to bring
24 us up to speed.

25 MR. HART: It is. And I don't want to belabor small

1 points that don't determine the outcome of the case, but I
2 placed no sticker on the document. The court reporter did.
3 And I cited no authority for Mr. McWhirter, and those were not
4 the provisions that I would have relied on, had I cited
5 authority to him. I believe that I cited to him the well-known
6 general principle that work product given to a testifying
7 expert is not -- that any privilege that attached to it is
8 waived. And I will discuss that in more detail in just a
9 moment. But I think we have about three sort of significant
10 questions, and I actually think --

11 CHAIRMAN JABER: Hang on, Mr. Hart. So where we are
12 today is the prehearing officer has issued an order denying
13 your motion to compel.

14 MR. HART: Yes.

15 CHAIRMAN JABER: And under the reconsideration
16 standard, you need to show a mistake of fact or law.

17 MR. HART: The mistake of fact is that it was ever
18 work product in the first place. The mistake of law is that it
19 doesn't cite either the cases or the provision of the statute
20 for production of expert witness testimony. And I want to
21 address, first of all, whether or not it is work product. That
22 has been sort of -- it's not addressed in the order.

23 I would assume that TECO's assertions of what the
24 document are are accepted as true unless we are going to have
25 some review of the document for an independent authority to

1 decide. We have seen it, we have read it, this is not one that
2 we are guessing about. We had suggested that the Hearing
3 Officer or legal counsel for the Commission review this
4 document because, first of all, it is just not work product
5 period. There may be some sections of it that people can argue
6 about work product. We are talking about a ten-page
7 single-spaced document about how the witness is going to
8 testify. It deals with mathematical calculations, and a number
9 of other things, and it is not work product, large portions of
10 it.

11 The correct procedure, if counsel wanted to assert a
12 privilege, was either redact or identify those portions of the
13 document that they assert were work product and produce the
14 rest of it. It is hard to conceive of how a witness'
15 description of errors in her own testimony, written by her,
16 would constitute work product. It is just not work product.
17 So, therefore, we are entitled to large portions of the
18 document under any circumstances without even talking about
19 work product, we believe. And we believe the way that should
20 be resolved is the Hearing Officer or legal counsel should look
21 at this document. We think people knowledgeable on these issues
22 looking at this document would clearly know that it is not work
23 product.

24 CHAIRMAN JABER: What does constitute work product?

25 MR. HART: Well, a general standard of work product

1 has to do with mental impressions and strategies of counsel.

2 CHAIRMAN JABER: Okay. That is what I thought. Let
3 me tell you why I'm asking. In your initial opening, you said
4 the document indicates the analysis of how the witness intended
5 to testify. These are your words, I wrote them down, and could
6 be subject to a motion to strike. That she thought her
7 testimony could be subject to a motion to strike. That sounds
8 like a mental impression or a legal strategy.

9 MR. HART: Of the witness.

10 CHAIRMAN JABER: Right.

11 MR. HART: Not of counsel. Everything the witness --
12 the witness has no legal strategy. The witness has no work
13 product. The witness -- that's the whole point. When you see
14 work product, it is something prepared by the attorney. This
15 was prepared by the witness. Now, I want to talk -- first of
16 all, I think that is important as to whether or not it is work
17 product. But, second of all, I believe that the general state
18 of the law and the majority opinion of the law in Florida and
19 throughout the country is that you waive work product when you
20 give it to a testifying expert, and I think that is the correct
21 position, and that even if this is work product, it should be
22 produced when given to a testifying expert.

23 I think this is a big policy decision for the
24 Commission. I think this is an important decision. I think to
25 have a level playing field for all the parties, if you are

1 going to be able to give work product to testifying experts and
2 prevent it from being disclosed, I would hope the Commission
3 would write a clear decision so that all parties would know
4 that they can instruct their witnesses how to testify, tell
5 them what positions to take, and that will not be subject to
6 discovery.

7 Because if you are going to be allowed to give work
8 product to testifying experts and then prevent discovery, it
9 prevents effective cross-examination, and it prevents finding
10 out the truth of the basis of people's opinions. So you just
11 have to decide as a matter of policy. And I think that is
12 illustrated by the fact that there is a split of opinion in
13 this country about whether or not work product can be given to
14 testifying experts. You can find decisions, mostly older
15 decisions, some recent ones, where courts have held that you
16 can protect work product given to testifying experts. But by
17 far the majority opinion is that you cannot.

18 And we have cited cases in our brief. We have also
19 given additional cases to counsel, and I would like to discuss
20 Professor Ehrhardt's at Florida State, which is generally
21 considered the father of Florida's Evidence Code, and writes on
22 it frequently, has just written an article within the last few
23 weeks on the subject of giving work product to testifying
24 experts. And I think this addresses the policy decision.
25 Assuming that you have work product, which trumps, the expert

1 witness' right to disclose or requirement to disclose? What is
2 not cited in the order in the final is that Rule 280(b)(3)
3 describes work product, but Section 4 says discovery of facts
4 known. Not facts they intend to use or rely on, but facts they
5 know, that you can discover facts known and opinions held by
6 experts. That wasn't cited in the order, the dispositive
7 portion of the order that described why. It simply cited to
8 Rule 3, that is the general work product protection. It
9 doesn't rely on the exception to work product which is the
10 preparation of trial experts.

11 But Professor Ehrhardt says that the majority opinion
12 he believes is that -- and the courts are moving to this
13 quickly because of the role of experts throughout litigation in
14 our society, but in balancing the interest of the work product
15 privilege and the requirement to disclose expert testimony,
16 Professor Ehrhardt says by the time of trial it seems that the
17 interest to be balanced are between those of a litigation
18 strategy that is unfolding through expert testimony versus the
19 possibility that the expert is serving as a mouthpiece for the
20 attorney's personal view of the case. And it goes on to say
21 putting work product material relating to the subject of
22 testimony in the hands of a testifying expert can have only two
23 purposes: To inform the expert regarding factual aspects of
24 the litigation that might affect the expert's opinion, or to
25 influence or prompt the expert to adhere to opinions that

1 favors the counsel's legal theory. Neither act of disclosure
2 creates or aids in the creation of legal information.

3 And he goes on to discuss a number of the recent
4 cases. And we have cited one, too. We gave it to FIPUG and to
5 counsel, a recent case out of New York. Florida's
6 interpretation of the Rules of Civil Procedure follows the
7 federal rules, as everyone knows, and it cites an opinion
8 saying that -- and cites the advisory committee rules, the
9 federal 1993 amendments to the federal rules stating that
10 litigants should no longer be able to argue that materials
11 furnished to their experts in forming their opinions are
12 privileged or otherwise protected. Effective
13 cross-examination, the efficiency of truth seeking process, and
14 actually the maintenance of the integrity of the work product
15 doctrine are how the issue should be decided, and that results
16 in disclosing what the expert has been given to form the basis
17 of their opinion. Attorneys can protect their work product by
18 electing not to disclose it to an expert.

19 If it is true litigation strategy, if it is your
20 theories of the case that you want to protect because it is
21 developed by you as a lawyer, there is no point in giving it to
22 a testifying expert unless you want to influence their
23 testimony. And the question is whether or not the seeker of
24 truth and the one making the decisions is entitled to know what
25 influenced this witness' testimony. Why is this witness

1 testifying this way. And that is why work product given to a
2 testifying expert happens.

3 So we think that, first of all, it is not work
4 product, large portions of it are not even arguably work
5 product. Some portions you could argue about whether or not it
6 is work product, if you can decide whether or not it is the
7 witness' thought or counsel's thought. You would have to
8 decide that to know whether or not it is work product.

9 CHAIRMAN JABER: Has there ever been an allegation
10 that the attorney prepared that document?

11 MR. HART: No. And they have never disputed that the
12 witness prepared it. It is not handwritten notes taken during
13 a conversation, it is a typed single-space ten-page document.
14 The assertion that a witness wrote down some handwritten notes
15 while we were having a conversation does not make what the
16 witness wrote down work product. First of all, you don't know
17 whether the witness was telling the attorney, or the attorney
18 was telling the witness. It doesn't make it the mental
19 impressions of the attorney because you wrote down notes.
20 Writing down a factual statement, writing down a mathematical
21 calculation does not make it -- does not make it work product.
22 And there has never been any -- in fact, the witness testified
23 at her deposition under oath that she prepared the document.

24 CHAIRMAN JABER: Okay. And my second question to you
25 is what issue does this information go to? I mean, I'm

1 assuming you believe it is discoverable. Inherent in your
2 argument that there has been a mistake of law is that this
3 information is discoverable and relevant to issue number --

4 MR. HART: Well, it would be the issues that Ms.
5 Brown is testifying on.

6 CHAIRMAN JABER: Okay. And those would be --

7 MR. HART: On Page 8 of the prehearing order I'm
8 advised, not being the issue identification person for our
9 team, she is testifying on 17I, J, K, L, M, N, and O, and
10 Issues 3 and 5.

11 CHAIRMAN JABER: Okay. So it is your position that
12 it would relate to the issues that we are entertaining this
13 week, not to any of the issues that were deferred?

14 MR. HART: The majority of her testimony relates to
15 the Gannon issues and whether or not -- how to deal with
16 Gannons coming out of service, what the test should be.

17 CHAIRMAN JABER: Okay.

18 MR. HART: And that is what the discussion is about.
19 We think -- so we deal with the issue of whether or not it is
20 work product in the first place. We dealt with the second
21 issue of whether or not if it is work product, and it is a
22 testifying expert, how do you balance the considerations of
23 what you do. And the third issue is waiver. There is two ways
24 that waiver occurs. One waiver is by giving it to somebody and
25 letting them read it, which we think has occurred in this case.

1 But it also -- and Professor Ehrhardt says in his same article,
2 citing from a recent judicial decision, "We are unable
3 identify, we are unable to perceive what interest would be
4 served by permitting counsel to provide core work product to a
5 testifying expert and then to deny discovery of such material
6 to the opposing party, because any disclosure to a testifying
7 expert in connection with his testimony assumes the privilege
8 for protected material would be made public. Perhaps in a
9 different form, but still made public. There is a waiver to
10 the same extent as any other disclosure." What that means is
11 that when the attorney decides to disclose work product to a
12 testifying expert, they have waived it the same way they would
13 if they gave to us.

14 CHAIRMAN JABER: Okay. Let me understand. Again,
15 bringing you back. Your focus needs to be on a
16 reconsideration. And do you agree that the prehearing officer
17 did address the waiver issue? I understand you disagree with
18 the result, but --

19 MR. HART: He addressed the waiver issue as far as it
20 relates to the disclosure at the deposition, although it is not
21 clear from the order that there was an understanding that we
22 left the room with the document and were given time to read it
23 after it was identified that they knew what it was. He does
24 deal with the issue that the disclosure was too brief and that
25 it did not constitute a waiver. He did not deal with the issue

1 of waiver by giving it to a testifying expert.

2 The issue does not address whether or not, in fact,
3 the underlying information is work product. It doesn't deal
4 with our request that there be an in camera inspection of it if
5 there is confusion about that, and doesn't really deal with the
6 Rules of Civil Procedure having to do with giving, or facts
7 known by testifying experts.

8 CHAIRMAN JABER: Okay. Any other argument, Mr. Hart?

9 MR. HART: That would conclude my argument.

10 CHAIRMAN JABER: FIPUG, your response.

11 MR. PERRY: Good morning, Commissioners. My name is
12 Timothy Perry, and I will be arguing the motion on behalf of
13 FIPUG.

14 The first thing I would like to call your attention,
15 of course, is the standard on a motion for reconsideration.
16 There has to be a mistake of fact or law, as we all know. And
17 I believe that what we have heard from Mr. Hart has just been a
18 mere reargument of his earlier motion. And as case law and
19 orders of this Commission have held, mere reargument is not
20 enough to prevail on a motion for reconsideration.

21 CHAIRMAN JABER: Let me stop you there, Mr. Perry,
22 and you can help us along by addressing these questions. I
23 heard at least two distinct arguments as it relates to mistake
24 of law. One was that the order doesn't address whose work
25 product, if it is a work product, whose work product was it.

1 So maybe you could expanded on that, whether it was the
2 attorney's or the testifying expert. The second relates to the
3 waiver question not addressed in the order with regard to was
4 there a waiver that took place when the document was given to
5 the testifying expert.

6 MR. PERRY: And I believe that there are two separate
7 issues. One is whether the document is work product, and on
8 that point I would say that the waiver issue with regards to
9 giving it to the expert falls within the work product argument.
10 The waiver argument is a second one -- is a different one, in
11 my opinion. It relates only to the occurrences which happened
12 at the deposition, and I will go into that now.

13 First of all, I would like to address Mr. Hart's
14 discussion of the Ehrhardt Law Review article. First of all,
15 there was a fax that was provided to us and to --

16 COMMISSIONER DEASON: Madam Chairman, I hate to
17 interrupt, but you didn't answer the Chairman's question. And
18 maybe I can ask it. This document, is it or is it not work
19 product? Who prepared it?

20 MR. PERRY: First of all, it is work product. What
21 it came from was discussions between counsel and the expert
22 witness on counsel's trial strategy and mental impressions of
23 the case. And the title of the article, or the title of the
24 document is TECO fuel hearing, preparation for deposition and
25 cross, motions to strike.

1 COMMISSIONER DAVIDSON: Let me ask one more time. I
2 think I am very dense, maybe I just missed it. You just
3 answered the question, it is work product, and maybe I did miss
4 this. Who prepared it? Specifically who?

5 MR. PERRY: Ms. Brown prepared the document from her
6 notes of the conversation with Ms. Kaufman. Her handwritten
7 notes were transcribed into a typewritten document.

8 COMMISSIONER DAVIDSON: Ms. Brown is the witness,
9 right?

10 MR. PERRY: That's correct.

11 COMMISSIONER DAVIDSON: I think I'm really missing
12 something. How is that, notes prepared by a witness attorney
13 work product?

14 MR. PERRY: And you have to look at Rule 1.280(b)(3).
15 And what that rule specifically says is that the court shall
16 protect against disclosure of the mental impressions,
17 conclusions, opinions, or legal theories of an attorney or
18 other representative of a party concerning the litigation. And
19 I cited the cases in the motion which support that this should
20 not be disclosed, and --

21 COMMISSIONER DAVIDSON: Ms. Brown, was she the
22 secretary or paralegal for Ms. Kaufman? I mean, doesn't that
23 document reflect her own characterization of what she may
24 believe the attorney's opinions to be? I mean, I will just
25 tell you, in ten years practicing I have never seen an expert

1 witness' notes, a testifying expert witness' notes that relate
2 to his or her testimony deemed to be work product. I have seen
3 the attorney's notes deemed to be work product, but not the
4 expert witness' notes.

5 MR. PERRY: And I cited to two cases in the motion
6 which address that exact point that you just raised. The first
7 one is the Panzer case where the court held that the expert's
8 trial preparation materials that contained the mental
9 impressions and notes of the attorney should be protected from
10 disclosure. The second was a federal case, the Krisa versus
11 Equitable Life Insurance policy case where the court there held
12 that notes of a telephone conversation between an expert
13 witness and an attorney that encompassed the attorney's mental
14 impressions was not subject to discovery.

15 I submit to you that if that is not exactly on point,
16 then --

17 COMMISSIONER DAVIDSON: Let me ask this, did you
18 all --

19 CHAIRMAN JABER: Commissioner Davidson, can I follow
20 up on that before we lose this train of thought?

21 COMMISSIONER DAVIDSON: Sure.

22 CHAIRMAN JABER: Going back to the fundamental
23 question as it relates to a mistake of fact or law, can you
24 agree that the discussion in the prehearing officer's order
25 doesn't go to the point whose product was it? I mean, I keep

1 bringing folks back to that standard, and I need you to stay
2 there. It is a mistake of fact or law. And it seems to me
3 that before we even get to whether there is a mistake of law,
4 can we all agree that the order does not discuss who authored
5 the document?

6 MR. PERRY: And I would say to that point I would
7 agree that Ms. Brown authored the document.

8 CHAIRMAN JABER: Okay. Commissioner Davidson, go
9 ahead. I just needed that clear in my mind.

10 COMMISSIONER DAVIDSON: And I appreciate that,
11 because that is the focus. I have a question sort of outside
12 of that focus. Did you all at least offer a copy of this
13 document to the other side with whatever specific provisions
14 you claim are attorney work product redacted so that the
15 non-work product provisions were produced to the other side?

16 MR. PERRY: No, I don't believe that we did so.

17 COMMISSIONER DAVIDSON: Why not?

18 MR. PERRY: We are going to read you a portion of the
19 transcript. I believe that the reason that we did not do so
20 was because we considered the entire document to be our work
21 product.

22 COMMISSIONER DAVIDSON: Even that portion that didn't
23 contain the specific mental impressions, conclusions of the
24 attorney?

25 MR. PERRY: I think the notes that are in the

1 document are from the conversation with Ms. Kaufman, and all of
2 it would be her mental impressions.

3 CHAIRMAN JABER: I'm comfortable on the mistake of
4 fact issue. Now, let me take you back to the argument on
5 mistake of law and the second question I asked you. With
6 regard to waiver, TECO makes the argument that if, for the sake
7 of argument, it is a work product, there was a waiver that
8 occurred when your attorney allowed the testifying expert to
9 have the information, number one, at the deposition; and,
10 number two, to submit it in the first place. And I ask you the
11 same question, do you agree that the order doesn't talk about
12 that part of the waiver?

13 MR. PERRY: And I will address the legal analysis of
14 that point. First of all, there is discovery, of course, of
15 expert witnesses facts and opinions that are held. What is not
16 discoverable is the attorney's mental impressions, or another
17 representative's mental impressions, and there is a distinction
18 between the two. Mr. Hart certainly could have asked Ms. Brown
19 any question that he liked about her facts or opinions held,
20 but that is not the core of this document. The core of this
21 document is Ms. Kaufman's mental impressions which she shared
22 with the expert witness. And the cases that I cited in the
23 motion go to that point, that the mere discussion of the
24 attorney's mental impressions or strategy of the case does not
25 require a waiver of that knowledge. And if you look at the

1 cases cited by --

2 CHAIRMAN JABER: I guess I'm not articulating the
3 question well enough. Mr. Hart says there was a waiver in even
4 allowing the testifying expert to have that information; and,
5 secondly, in disclosing that information initially at the
6 deposition. That is different from the argument in the order
7 that the order addresses with regard to the inadvertent
8 disclosure of the document and taking the document back. I
9 need you to address the argument of waiver that Mr. Hart
10 brought up today.

11 MR. PERRY: And I guess I'm having a hard time
12 understanding, because I see that -- that waiver issue I see as
13 the work product issue. Is the fact that Ms. Kaufman discussed
14 these issues with Ms. Brown a waiver of the work product? And
15 I would say it is not, and that is the point that I'm trying to
16 make. That in the Rule 1.280(b)(3), an attorney's mental
17 impressions, strategy of a case are protected from disclosure
18 and discovery. And the cases I cited also go to that point,
19 that the telephone conversation and notes made by the expert
20 witness were not allowed in that federal case to be discovered,
21 and also in the Florida case that I cited, the Panzer case, to
22 the extent that an expert witness' trial preparation materials
23 were required to be disclosed in discovery, the court noted
24 specifically that the attorney's mental impressions were to be
25 excluded from the discovery of those materials.

1 CHAIRMAN JABER: How do you prove that it is the
2 attorney's mental impressions when you have a document that is
3 typewritten and submitted by the testifying expert?

4 MR. PERRY: Well, I mean, I would submit that -- I
5 mean, Ms. Brown will certainly tell you that. And as her
6 attorney I will tell you that. I don't want to misrepresent
7 the facts of the document. I guess --

8 CHAIRMAN JABER: Ms. Brown will be able to testify
9 that those were the mental impressions of the attorney?

10 MR. PERRY: Hold on one second. One way that I would
11 go back to it is if you can just look at the plain language of
12 the rule, 1.280(b)(3).

13 COMMISSIONER DAVIDSON: That wasn't the Chairman's
14 question. I'm curious about the answer to the Chairman's
15 question before you move on to what you view to be the plain
16 language of the rule.

17 MR. PERRY: With regards to how do I prove that it is
18 the attorney's mental impression?

19 CHAIRMAN JABER: How is it that the decision-maker
20 determines that it is the attorney's mental impressions, when
21 it is the testifying expert that has custody of the document?
22 She, apparently, at the deposition testifies that it is her
23 preparation of the document.

24 MR. PERRY: I believe it's my understanding that in
25 some instances there is an inspection of the document which is

1 allowed, but that goes to the --

2 CHAIRMAN JABER: Which brings me to my last question.
3 Do you have an objection to our legal counsel inspecting the
4 document?

5 MR. PERRY: No, we don't.

6 CHAIRMAN JABER: Commissioners, what's your pleasure?
7 I guess I would need to hear from staff, too. But are you done
8 with your argument?

9 MR. PERRY: With regards to the inadvertent
10 disclosure at the deposition, I would say that the case law
11 that I cited to in my motion brings up a five-point argument.
12 And, first of all, the document did not even fall within the
13 scope of what they requested in their subpoena duces tecum, and
14 really Ms. Brown was not required to bring the document at all.
15 It was only inadvertently that she had done so.

16 And as Mr. McWhirter had discussed before, he had
17 objected to the document preliminarily and accepted Mr. Hart's
18 characterization, subject to check. He objected when the
19 document was marked as an exhibit, and he objected at the
20 conclusion of the deposition as well as taking back custody of
21 the document. So it was clearly his intent to prevent the
22 disclosure of the document, subject to check on the law, and
23 any disclosure thereof wasn't a waiver of the work product of
24 the document.

25 CHAIRMAN JABER: Staff, what's your recommendation,

1 and then I'm sure we will have questions for you?

2 MR. KEATING: I'm going to give this a shot. I'm
3 hearing a lot of this new, as well, at the same time you are
4 hearing it, and trying to determine whether it satisfies the
5 standard for a motion for reconsideration. I think the
6 Commissioners have asked some good questions that I think will
7 get to the base of the issue of whether this is discoverable
8 work product.

9 And the question that has to be answered, I think, in
10 my mind is was this material that was prepared by the expert or
11 was it prepared by the attorney. If it is information from the
12 attorney, I think it is our understanding of the law that if it
13 was prepared by the attorney, and based on case law that FIPUG
14 has cited, and it contains the -- I'm sorry, if it contains the
15 mental impressions, conclusions, opinions, or legal theories of
16 an attorney concerning the litigation that is contained in the
17 expert witness trial preparation materials, it would still be
18 considered work product.

19 CHAIRMAN JABER: Well, let me ask you a question in
20 that regard. The order does not clarify whether it was
21 prepared by the attorney or whether it was prepared by the
22 testifying expert. But there is consensus that the document --
23 consensus this morning that the document was prepared by the
24 testifying expert, as opposed to some letter she may have
25 received from Mr. McWhirter or Ms. Kaufman. That is not what

1 we have here. We have a ten-page typed paper, apparently, that
2 she acknowledges was prepared by her. So how does that factor
3 into your recommendation?

4 MR. KEATING: Again, I think it is my understanding
5 of the law that if it contains the mental impressions or
6 theories of the attorney, that at least those portions of the
7 document would be protected as work product privilege.

8 CHAIRMAN JABER: Would an inspection help you give us
9 a recommendation in that regard?

10 MR. KEATING: That may. But, again, I think you
11 raised the point that it is going to be difficult to determine
12 that simply from looking at the document. To an extent, what
13 we had to rely upon was the word of FIPUG that this was the
14 basis for the document.

15 CHAIRMAN JABER: Have you ever reviewed the document
16 to see if there is any notation, footnote, disclaimer that
17 portions of the document were prepared by the attorney?

18 MR. KEATING: I have never reviewed a document for
19 that purpose before.

20 CHAIRMAN JABER: Well, that's not what I'm asking.

21 MR. KEATING: I'm sorry.

22 CHAIRMAN JABER: As we sit here today, that document,
23 have you looked at that document to determine whether there
24 were any notations, footnotes that indicate portions or the
25 entire document were prepared by Ms. Kaufman or Mr. McWhirter?

1 MR. KEATING: No, I have not.

2 CHAIRMAN JABER: Commissioners, I will tell you where
3 I am. If we have to make a decision today, I am leaning toward
4 finding that there was a mistake of fact or law such that the
5 document should be disclosed. But in an abundance of caution,
6 I would like to go ahead and give staff an opportunity to look
7 at the document and make sure that those disclosures, the
8 disclaimers I have referenced are not there.

9 I heard Mr. Hart acknowledge that legal counsel's
10 inspection of that document is sufficient. I have heard Mr.
11 Perry say they have no objection to that kind of inspection. I
12 would like to err on the side of caution and give staff that
13 opportunity. Commissioner Davidson.

14 COMMISSIONER DAVIDSON: Thank you, Chairman. And I
15 agree with all of your comments there. I've got a couple of
16 additional questions for FIPUG. Were the cases that you cited
17 pre-1993 revisions to the federal rules, or post-1993
18 revisions?

19 MR. PERRY: The federal case was a 2000 case, and the
20 Florida case was, I believe, a 1980 case.

21 MR. HART: Commissioners, I might be able to help
22 with that.

23 COMMISSIONER DAVIDSON: Let me go ahead and get the
24 answer from -- it was 19 what?

25 MR. PERRY: '80, the Panzer case.

1 COMMISSIONER DAVIDSON: Do you understand the
2 distinction in this debate between fact work product and
3 opinion work product?

4 MR. PERRY: I do.

5 COMMISSIONER DAVIDSON: And is it your contention
6 that everything in that document, every sentence is opinion
7 work product and that there is no fact work product?

8 MR. PERRY: It is my understanding that the document
9 contains opinion work product about the strategy of the case,
10 and the strategy for hearing, and the strategy for deposition,
11 and the strategy for cross-examination.

12 COMMISSIONER DAVIDSON: Have you seen the document?

13 MR. PERRY: Yes, I have.

14 COMMISSIONER DAVIDSON: Well, I'm asking you. In
15 your understanding, does the document contain only opinion work
16 product or does it contain both opinion and fact work product?
17 And keeping in mind that we are going to have staff -- I would
18 like staff to make that assessment, also.

19 MR. PERRY: Can I take a second to look at the
20 document one more time to make that --

21 COMMISSIONER DAVIDSON: Sure. But prior to that, let
22 me ask, do you agree that even in the pre-1993 line of cases
23 that fact work product in the possession of a testifying expert
24 was generally discoverable? That the debate in the pre-1993
25 revision centered upon opinion work product.

1 MR. PERRY: Yes, I understand that there is a
2 distinction between the -- there is generally a more liberal
3 treatment towards fact work product, because it has to do with
4 the facts of the case, as opposed to opinion work product which
5 contains the mental impressions, so on and so forth.

6 COMMISSIONER DAVIDSON: And I've got one more
7 question, Chairman. Let me find it right here, and that is
8 Professor Ehrhardt's characterization, or statement that the
9 new Rule 1.280(b)(3) subordinates its general work product
10 discovery language in deference to the more specific provisions
11 of 1.280(b)(4) governing discovery of facts known and opinions
12 held by experts, and then gives a string of citations. Is it
13 your contention that that statement of the post-1993 revisions
14 to the federal rules is incorrect?

15 MR. PERRY: First of all, I haven't seen that article
16 before. It was not provided to me. Second of all, it was not
17 included in counsel's motion. But to address your point of
18 what my understanding is, if I remember, I think Mr. Hart said
19 that Professor Ehrhardt cites to several federal cases, and
20 that there is a split of opinion between the various federal
21 circuits with regards to this issue, some having more liberal
22 treatment, some having more protective treatment.

23 COMMISSIONER DAVIDSON: All right. And that's fine.
24 That was my last question. I will just close my comments with
25 a comment that I am fundamentally troubled by an attorney

1 pulling out an exhibit that has been marked during a
2 deposition, notwithstanding all the arguments surrounding it.
3 In my own view, it's not proper to do that.

4 I understand that it was in there inadvertently and
5 you relied on counsel, but once it is marked as a deposition
6 exhibit, it is an exhibit to that deposition. It is part of
7 that deposition. And no party in any case can unilaterally
8 just remove a document like that. I mean, if there is an
9 issue, bring it to the Commission's attention ASAP and protect
10 your rights as much as you can with a letter to opposing
11 counsel. But don't self-help yourself to a document that has
12 been marked during the course of a deposition.

13 CHAIRMAN JABER: Commissioners, we don't get to Ms.
14 Brown's testimony for quite awhile, I think having looked at
15 the list of witnesses in the prehearing order, so what I would
16 like to do is allow staff an opportunity to inspect that
17 document, I heard for two things. One, I want you to tell me
18 if you can base your recommendation based on some review of the
19 document that indicates they were, in fact, the attorney's
20 mental impressions. And, Mr. Keating, frankly, I'm looking for
21 some sort of disclaimer, notation, footnote, something like
22 that. And what I heard Commissioner Davidson say is he would
23 like you to review the document also for a recommendation as to
24 whether it looks like it is fact testimony or opinion
25 testimony.

1 Commissioner Davidson, have I characterized that
2 correctly? Okay. Do that during lunch. We will take this up
3 as a matter right after lunch.

4 Mr. Hart, you had something to say?

5 MR. HART: The only thing I wanted to discuss very
6 briefly was the cases cited.

7 CHAIRMAN JABER: We are done with argument, Mr. Hart.

8 MR. HART: Ma'am?

9 CHAIRMAN JABER: We're done with argument.

10 MR. HART: I was going to agree with FIPUG, but I
11 won't.

12 CHAIRMAN JABER: You know, as much as I want to give
13 you that opportunity, we are done with argument.

14 Staff, are you clear on what you need to do?

15 MR. KEATING: I believe so, yes.

16 CHAIRMAN JABER: Okay. And, Ms. Kaufman, you were
17 going to take an opportunity during the last break to talk to
18 staff about Issues 30 and 31A. (Pause.)

19 As I recall, Ms. Kaufman, there were some --

20 MS. KAUFMAN: I'm sorry, Madam Chair, I didn't know
21 if you were waiting for me.

22 CHAIRMAN JABER: I am. As I recall, there were some
23 changes in positions for 30 and 31A, and you wanted time to
24 think about --

25 MS. KAUFMAN: Yes. And I think it might be more

1 appropriate for the staff to brief you on where we are on those
2 issues first.

3 CHAIRMAN JABER: Okay. Go ahead, Mr. Keating.

4 MR. KEATING: We mentioned earlier that since the
5 prehearing order was issued, actually just this morning reached
6 agreement with FPL on their position on a couple of issues that
7 are affected by the testimony of Staff Auditor Kathy Welch.

8 What we discussed during the break was whether we
9 could stipulate her testimony into the record, as well as FPL's
10 rebuttal to her testimony. I think what we decided as far as
11 the cleanest method to handle that would be for staff to
12 withdraw Ms. Welch's testimony, and FPL would agree to withdraw
13 its rebuttal testimony to Ms. Welch.

14 CHAIRMAN JABER: Okay. So we should acknowledge that
15 the prefiled testimony of Kathy Welch has been withdrawn by
16 staff. And, FPL, this affects the prefiled rebuttal testimony
17 of Ms. Dubin?

18 MR. BUTLER: That's right, yes.

19 CHAIRMAN JABER: And you are withdrawing her prefiled
20 rebuttal testimony?

21 MR. BUTLER: Yes, we would agree to withdraw it in
22 conjunction with the rewithdrawal of Ms. Welch's testimony.

23 CHAIRMAN JABER: Okay. Let the record reflect
24 acknowledgment that the prefiled rebuttal testimony of K. Dubin
25 has been withdrawn.

1 MS. KAUFMAN: Chairman, I think that, again, if I'm
2 not mistaken, Issue 30 is still pending. However, on Issue 31
3 with Ms. Welch's testimony withdrawn, we will just have to take
4 no position on that issue.

5 CHAIRMAN JABER: Thank you, Ms. Kaufman.
6 Staff, 31A looks like you have a stipulation.

7 MR. BUTLER: Chairman Jaber, I'm sorry, I think we
8 are talking about 32A.

9 MS. KAUFMAN: I'm sorry. You're correct, Mr. Butler.

10 CHAIRMAN JABER: And, again, on Issue 32A, then, you
11 have a stipulation.

12 MR. KEATING: I believe that's correct, yes.

13 CHAIRMAN JABER: And we have left all of the FPL
14 proposed stipulations until the end of the case.

15 MR. KEATING: Correct. And, I'm sorry, I didn't mean
16 to interrupt, but a couple of other things before we take a
17 break. During our break we have determined that, I believe,
18 Staff Witness Joseph Rohrbacher could be excused as no parties
19 have questions for Mr. Rohrbacher, and that his testimony could
20 be moved into the record.

21 CHAIRMAN JABER: Have you checked with all the
22 parties?

23 Mr. Twomey, come to the microphone. You have
24 questions for Mr. Rohrbacher?

25 MR. TWOMEY: Yes, ma'am, I do.

1 CHAIRMAN JABER: Okay. You need to remember to check
2 with all the parties.

3 MR. KEATING: I forgot Mr. Twomey simply because he
4 intervened very recently on this issue.

5 CHAIRMAN JABER: I understand. You just need to
6 remember to check with all the parties. What else?

7 MR. KEATING: I believe that's it.

8 CHAIRMAN JABER: Okay. If you're a witness in this
9 case and you're in the room, please stand and raise your right
10 hand.

11 (Witnesses collectively sworn.)

12 CHAIRMAN JABER: By my list we're got Ms. Dubin being
13 the first witness, is that correct?

14 MR. BUTLER: That's right. Are we proceeding with
15 her now?

16 CHAIRMAN JABER: She's the first witness. Is there
17 anything else?

18 MR. BUTLER: No, there isn't. I just didn't know if
19 you wanted to do it before lunch.

20 CHAIRMAN JABER: We are going to go with Ms. Dubin.

21 MR. BUTLER: Then I would call Ms. Dubin to the
22 stand.

23 CHAIRMAN JABER: See, this is what happens when I put
24 on the record that we're going to take a lunch break,
25 Commissioners. Commissioner Baez already reminded me.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

KOREL M. DUBIN

was called as a witness on behalf of Florida Power and Light Company and, having been duly sworn, testified as follows:

DIRECT EXAMINATION

BY MR. BUTLER:

Q Ms. Dubin, would you please state your name and address for the record?

A My name is Korel M. Dubin, my business address is 9250 West Flagler Street, Miami, Florida 33174.

Q And, Ms. Dubin, do you have -- indulge me, Madam Chairman, there are several testimonies. It's going to take me a minute to run through what we have here.

Do you have before you, Ms. Dubin, prepared testimony in this docket dated April 1, 2003, entitled, "Levelized Fuel Cost-recovery and Capacity Cost-recovery Final True-up, January 2002 through December 2002," consisting of 9 pages?

A Yes, I do.

Q And attached to that are your documents KMD-1 and 2, correct?

A Yes.

Q And do you have before you prepared testimony dated August 12, 2003, entitled, "Estimated Actual True-up, January 2003 through December 2003," consisting of 14 pages?

A Yes.

Q And attached to it are documents identified as KMD-3

1 and 4, correct?

2 A Yes.

3 Q Do you have before you prepared testimony dated
4 September 12, 2003, that is entitled, "Testimony of Korel M.
5 Dubin," and it covers FPL's projections for 2004?

6 A Yes.

7 Q And that consists of 14 pages and has attached to it
8 documents KMD-5 and 6, correct?

9 A That's correct.

10 Q And, finally, do you have before you prepared
11 testimony dated November 3, 2003, entitled, "Supplemental
12 Testimony of Korel M. Dubin," consisting of four pages with no
13 attached exhibit?

14 A Yes.

15 Q Do you have any corrections to make to your prepared
16 testimony or exhibits?

17 A No, I do not.

18 Q Do you adopt this prepared testimony as your
19 testimony in this proceeding?

20 A Yes, I do.

21 Q I would ask that an exhibit number be assigned to Ms.
22 Dubin's documents collectively. I think that would be Number
23 13?

24 CHAIRMAN JABER: It is, but it is KMD-1 through what?

25 MR. BUTLER: KMD-1 through 6.

1 CHAIRMAN JABER: Okay. KMD-1 through 6 will be
2 identified as Composite Exhibit 13.

3 (Composite Exhibit 13 marked for identification.)

4 BY MR. BUTLER:

5 Q Would you please summarize your testimony, Ms. Dubin?

6 A Yes.

7 CHAIRMAN JABER: Mr. Butler, I'm sorry, let me
8 indicate for the record that the prefiled testimony of Korel M.
9 Dubin filed April 1st, filed August 2nd, filed September 12th,
10 and filed November 3rd shall be inserted into the record as
11 though read.

12 MR. BUTLER: Thank you.

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **TESTIMONY OF KOREL M. DUBIN**

4 **DOCKET NO. 030001-EI**

5 **April 1, 2003**

6

7 **Q. Please state your name, business address, employer and position.**

8 A. My name is Korel M. Dubin, and my business address is 9250 West Flagler
9 Street, Miami, Florida, 33174. I am employed by Florida Power & Light
10 Company (FPL) as the Manager of Regulatory Issues in the Regulatory
11 Affairs Department.

12

13 **Q. Have you previously testified in the predecessors to this docket?**

14 A. Yes, I have.

15

16 **Q. What is the purpose of your testimony in this proceeding?**

17 A. The purpose of my testimony is to present the schedules necessary to
18 support the actual Fuel Cost Recovery Clause (FCR) and Capacity Cost
19 Recovery Clause (CCR) Net True-Up amounts for the period January 2002
20 through December 2002. The Net True-Up for the FCR is an under-recovery,
21 including interest, of \$72,467,176. This FCR true-up under-recovery of
22 \$72,467,176 has been included in the Midcourse Correction FCR factors
23 effective April 2, 2003 that were approved by the Commission on March 4,

1 2003. The Net True-Up for the CCR is an over-recovery, including interest, of
2 \$12,676,723. I am requesting Commission approval to include this CCR true-
3 up over-recovery of \$12,676,723 in the calculation of the CCR factor for the
4 period January 2004 through December 2004.

5

6 **Q. Have you prepared or caused to be prepared under your direction,**
7 **supervision or control an exhibit in this proceeding?**

8 A. Yes, I have. It consists of two appendices. Appendix I contains the FCR
9 related schedules and Appendix II contains the CCR related schedules. FCR
10 Schedules A-1 through A-9 for the January 2002 through December 2002
11 period have been filed monthly with the Commission and served on all
12 parties. These schedules are incorporated herein by reference.

13

14 **Q. What is the source of the data which you will present by way of**
15 **testimony or exhibits in this proceeding?**

16 A. Unless otherwise indicated, the data are taken from the books and records of
17 FPL. The books and records are kept in the regular course of our business in
18 accordance with generally accepted accounting principles and practices, and
19 provisions of the Uniform System of Accounts as prescribed by this
20 Commission.

21

22

23

1 **FUEL COST RECOVERY CLAUSE (FCR)**

2

3 **Q. Please explain the calculation of the Net True-up Amount.**

4 A. Appendix I, page 3, entitled "Summary of Net True-Up", shows the calculation
5 of the Net True-Up for the period January 2002 through December 2002, an
6 under-recovery of \$72,467,176. The calculation of the true-up amount for the
7 period follows the procedures established by this Commission as set forth on
8 Commission Schedule A-2 "Calculation of True-Up and Interest Provision".

9

10 The actual End-of-Period under-recovery for the period January 2002 through
11 December 2002 of \$79,514,964 is shown on line 1. The estimated/actual
12 End-of-Period under-recovery for the same period of \$7,047,788 is shown on
13 line 2. This amount was included in the calculation of the FCR factor for the
14 period January 2003 through December 2003. Line 1 less line 2 results in the
15 Net True-Up for the period January 2002 through December 2002 shown on
16 line 3, an under-recovery of \$72,467,176. This amount was included in the
17 Midcourse Correction FCR factors effective April 2, 2003 approved by the
18 Commission on March 4, 2003.

19

20 **Q. Have you provided a schedule showing the variances between actuals
21 and estimated/actuals?**

22 A. Yes. Appendix I, page 6 shows the actual fuel costs and revenues compared
23 to the estimated/actuals for the period January 2002 through December 2002.

1 **Q. What was the variance in fuel costs?**

2 A. The final under-recovery of \$72,467,176 for the period January 2002 through
3 December 2002 is primarily due to an \$86.9 million or 3.6% increase in Total
4 Fuel Costs and Net Power Transactions (Appendix I, page 6, line A7) offset
5 by a \$9.4 million or 0.4% higher than projected Jurisdictional Fuel Revenues
6 (Appendix I, page 6, line C3).

7

8 The \$86.9 million variance in Jurisdictional Fuel Costs and Net Power
9 Transactions is primarily due to a \$60.8 million or 3% increase in the Fuel
10 Cost of System Net Generation, a \$19 million increase in Fuel Cost of
11 Purchased Power, a \$4.1 million increase in Energy Payments to Qualifying
12 Facilities, and a \$5.1 million increase in the Energy Cost of Economy
13 Purchases. These amounts are offset by a \$3 million variance in the Fuel
14 Cost of Power Sold and a \$1.5 million variance in Gains from Off-System
15 Sales.

16

17 The \$60.8 million or 3% increase in the Fuel Cost of System Net Generation
18 is primarily due to higher than projected Net Energy for Load in the months of
19 October and November, which in turn resulted from hotter than normal
20 weather. The higher Net Energy for Load caused FPL to use 9% more heavy
21 oil and 11% more purchased power than projected. As reported on the
22 December 2002 A3 Schedule, the \$60.8 million variance is primarily made up
23 of a \$74 million or 12.4% heavy oil variance offset by a (\$17.8 million) or

1 (1.5%) natural gas variance. Oil was \$0.11 per MMBtu or 3.1% higher than
2 projected. Natural gas was \$0.10 per MMBtu or 2.6% higher than projected.

3

4 **Q. What was the variance in retail (jurisdictional) Fuel Cost Recovery**
5 **revenues?**

6 A. As shown on Appendix I, page 6, line C1, actual jurisdictional Fuel Cost
7 Recovery revenues, net of revenue taxes, were \$9.4 million or 0.4% higher
8 than the estimated/actual projection. This increase was due to higher than
9 projected jurisdictional sales, which were 368,634,241 kWh or 0.4% higher
10 than the estimated/actual projection.

11

12 **Q. How is Real Time Pricing (RTP) reflected in the calculation of the Net**
13 **True-up Amount?**

14 A. In the determination of Jurisdictional kWh sales, only kWh sales associated
15 with RTP baseline load are included, consistent with projections (Appendix I,
16 page 6, Line C3). In the determination of Jurisdictional Fuel Costs, revenues
17 associated with RTP incremental kWh sales are included as 100% Retail
18 (Appendix I, page 6, Line C4c) in order to offset incremental fuel used to
19 generate these kWh sales.

20

21 **Q. What is the appropriate final benchmark level for calendar year 2003 for**
22 **gains on non-separated wholesale energy sales eligible for a**
23 **shareholder incentive as set forth by Order No. PSC-00-1744-PAA-EI, in**

1 **Docket No. 991779-EI?**

2 A. For the year 2003, the three year average threshold consists of actual gains
3 for 2000, 2001, and 2002 (see below) resulting in a three year average
4 threshold of \$21,657,720. Gains on sales in 2003 are to be measured
5 against this three year average threshold.

6	2000	\$37,400,076
7	2001	\$17,846,596
8	2002	\$9,726,487
9	Average threshold	\$21,657,720

10

11 **CAPACITY COST RECOVERY CLAUSE (CCR)**

12

13 **Q. Please explain the calculation of the Net True-up Amount.**

14 A. Appendix II, page 3, entitled "Summary of Net True-Up Amount" shows the
15 calculation of the Net True-Up for the period January 2002 through December
16 2002, an over-recovery of \$12,676,723, which I am requesting to be included
17 in the calculation of the CCR factors for the January 2004 through December
18 2004 period.

19

20 The actual End-of-Period over-recovery for the period January 2002 through
21 December 2002 of \$56,420,197 (shown on line 1) less the estimated/actual
22 End-of-Period over-recovery for the same period of \$43,743,474, (shown on
23 line 2) results in the Net True-Up over-recovery for the period January 2002

1 through December 2002 (shown on line 3) of \$12,676,723.

2

3 **Q. Have you provided a schedule showing the calculation of the End-of-**
4 **Period true-up?**

5 A. Yes. Appendix II, pages 4 and 5, entitled "Calculation of Final True-up
6 Amount", shows the calculation of the CCR End-of period true-up for the
7 period January 2002 through December 2002. The End-of-Period true-up
8 shown on page 5, column 13, line 17 plus line 18 is an over-recovery of
9 \$56,420,197.

10

11 **Q. Is this true-up calculation consistent with the true-up methodology**
12 **used for the other cost recovery clauses?**

13 A. Yes it is. The calculation of the true-up amount follows the procedures
14 established by this Commission as set forth on Commission Schedule A-2
15 "Calculation of True-Up and Interest Provision" for the Fuel Cost Recovery
16 Clause.

17

18 **Q. Have you provided a schedule showing the variances between actuals**
19 **and estimated/actuals?**

20 A. Yes. Appendix II, page 6, entitled "Calculation of Final True-up Variances",
21 shows the actual capacity charges and applicable revenues compared to the
22 estimated/actuals for the period January 2002 through December 2002.

23

1 **Q. What was the variance in net capacity charges?**

2 A. As shown on line 7, actual net capacity charges on a Total Company basis
3 were \$9.7 million lower than the estimated/actual projection. This variance
4 was primarily due to \$6.2 million lower than expected Payments to Non-
5 Cogenerators and \$3.9 million lower than expected payments to
6 Cogenerators. The \$6.2 million lower than expected Payments to Non-
7 Cogenerators is primarily due to lower than projected capacity payments to
8 SJRPP during October through December 2002. JEA refinanced to obtain a
9 lower interest rate on its callable debt of some of its outstanding bonds during
10 the last quarter of 2002. FPL's capacity payments to JEA are based in part
11 on JEA's cost of debt, so this caused a decrease in the capacity payments.
12 The \$3.9 million lower than expected payments to Cogenerators are primarily
13 due to lower than projected capacity payments to Cedar Bay and Indiantown
14 during October through December 2002. FPL's capacity payments to these
15 Cogenerators are based in part on their achieved capacity factors, which were
16 lower than projected.

17

18 **Q. What was the variance in Capacity Cost Recovery revenues?**

19 A. As shown on line 12, actual Capacity Cost Recovery revenues, net of revenue
20 taxes, were \$3 million or 0.5% higher than the estimated/actual projection.
21 This increase was due to higher than projected jurisdictional sales, which
22 were 368,634,241 kWh or 0.4% higher than the estimated/actual projection.

23

1 Q. Does this conclude your testimony?

2 A. Yes, it does.

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**
2 **FLORIDA POWER & LIGHT COMPANY**
3 **TESTIMONY OF KOREL M. DUBIN**
4 **DOCKET NO. 030001-EI**
5 **August 12, 2003**
6
7 **Q. Please state your name and address.**
8 A. My name is Korel M. Dubin and my business address is 9250 West
9 Flagler Street, Miami, Florida 33174.
10
11 **Q. By whom are you employed and in what capacity?**
12 A. I am employed by Florida Power & Light Company (FPL) as
13 Manager, Regulatory Issues in the Regulatory Affairs Department.
14
15 **Q. Have you previously testified in this docket?**
16 A. Yes, I have.
17
18 **Q. What is the purpose of your testimony?**
19 A. The purpose of my testimony is to present for Commission review
20 and approval the calculation of the Estimated/Actual True-up
21 amounts for the Fuel Cost Recovery Clause (FCR) and the Capacity
22 Cost Recovery Clause (CCR) for the period January 2003 through
23 December 2003.

1 **Q. Have you prepared or caused to be prepared under your**
2 **direction, supervision or control an exhibit in this proceeding?**

3 A. Yes, I have. It consists of various schedules included in Appendices
4 I and II. Appendix I contains the FCR related schedules and
5 Appendix II contains the CCR related schedules.

6
7 FCR Schedules A-1 through A-9 for January 2003 through June
8 2003 have been filed monthly with the Commission, are served on all
9 parties and are incorporated herein by reference.

10

11 **Q. What is the source of the actual data that you will present by**
12 **way of testimony or exhibits in this proceeding?**

13 A. Unless otherwise indicated, the actual data is taken from the books
14 and records of FPL. The books and records are kept in the regular
15 course of our business in accordance with generally accepted
16 accounting principles and practices and provisions of the Uniform
17 System of Accounts as prescribed by this Commission.

18

19 **Q. Please describe what data FPL has used as the "baseline" for**
20 **calculating the FCR and CCR true-ups that are presented in your**
21 **testimony.**

22 A. The Commission has approved two mid-course corrections for FPL's
23 FCR factors this year. For FCR, the true-up calculation therefore
24 compares estimated/actual data consisting of actual data for January

1 through June 2003 and revised estimates for July through December
2 2003 with the data that was filed in FPL's midcourse correction filings
3 (consisting of actual data for January through May and estimates for
4 June through December based on FPL's February 17, 2003
5 midcourse correction filing). For CCR the true-up calculation
6 compares estimated/actual data consisting of actuals for January
7 through June 2003 and revised estimates for July through December
8 2003, with the original estimates for January through December 2003
9 filed on November 4, 2002.

10

11 **Q. Please explain the calculation of the Interest Provision that is**
12 **applicable to the FCR and CCR true-ups.**

13 A. The calculation of the interest provision follows the same
14 methodology used in calculating the interest provision for the other
15 cost recovery clauses, as previously approved by this Commission.
16 The interest provision is the result of multiplying the monthly average
17 true-up amount times the monthly average interest rate. The average
18 interest rate for the months reflecting actual data is developed using
19 the 30 day commercial paper rate as published in the Wall Street
20 Journal on the first business day of the current and subsequent
21 months. The average interest rate for the projected months is the
22 actual rate as of the first business day in July 2003.

23

FUEL COST RECOVERY CLAUSE

1

2

3 **Q. Please explain the calculation of the FCR Estimated/Actual True-**
4 **up amount you are requesting this Commission to approve.**

5 A. Appendix I, pages 2 and 3, show the calculation of the FCR
6 Estimated/Actual True-up amount. The calculation of the
7 estimated/actual true-up amount for the period January 2003 through
8 December 2003 is an under-recovery, including interest, of
9 \$344,729,859 (Appendix I, Page 3, Column 13, Line C11).

10

11 Appendix I, pages 2 and 3 also provide a summary of the Fuel and
12 Net Power Transactions (lines A1 through A7), kWh Sales (lines B1
13 through B3), Jurisdictional Fuel Revenues (line C1 through C3), the
14 True-up and Interest Provision for this period (lines C4 through C10),
15 and the End of Period True-up amount (line C11).

16

17 The data for January 2003 through June 2003, columns (1) through
18 (6) reflects the actual results of operations and the data for July 2003
19 through December 2003, columns (7) through (12), are based on
20 updated estimates.

21

22 The true-up calculations follow the procedures established by this
23 Commission as set forth on Commission Schedule A2 "Calculation of
24 True-Up and Interest Provision" filed monthly with the Commission.

1 **Q. Were these calculations made in accordance with the**
2 **procedures previously approved in this Docket?**

3 A. Yes, they were.
4

5 **Q. Please summarize the variance schedule provided as page 4 of**
6 **Appendix I.**

7 A. The variance calculation of the Estimated/Actual data compared to
8 the midcourse correction projections for the January 2003 through
9 December 2003 period is provided in Appendix I, Page 4. FPL's
10 midcourse correction filing dated June 13, 2003 projected Total Fuel
11 and Net Power Transactions to be \$3.1164 billion for January
12 through December 2003 (actual data for January through May and
13 estimates for June through December based on FPL's February 17,
14 2003 midcourse correction filing) (See Appendix I, page 4, Column 2,
15 Line C6). The estimated/actual projected Jurisdictional Total Fuel
16 Cost and Net power Transactions is now projected to be \$3.4699
17 billion for the period January through December 2003 (Actual data for
18 January through June 2003 and revised estimates for July through
19 December 2003) (See Appendix I, Page 4, Column 1, Line C6).
20 Therefore, Jurisdictional Total Fuel Cost and Net Power Transactions
21 are \$353.5 million higher than projected. (See Appendix I, Page 4,
22 Column 3, Line C6)

23

24 Jurisdictional Fuel Revenues for 2003 are \$8.9 million higher than

1 projected (Appendix I, Page 4, Column 3, Line C3) due to higher than
2 projected kWh sales in the month of June 2003. The \$353.5 million
3 of higher costs less the \$8.9 of higher revenues, plus interest, result
4 in the \$345 million under-recovery.

5
6 Please note that the final under-recovery of \$72,467,176 for the
7 period ending December 2002 was included in the midcourse
8 correction that became effective in April 2003 and, therefore, is not
9 reflected in the \$344,729,859 estimated/actual true-up amount to be
10 carried forward to the 2004 fuel factors.

11

12 **Q. Please explain the variances in Total Fuel Costs and Net Power**
13 **Transactions.**

14 **A.** As shown on Appendix I, page 4, line C6, the variance in Total Fuel
15 Costs and Net Power Transactions is \$353.5 million or an 11.3%
16 increase from projections.

17

18 This variance is mainly due to:

- 19 ● A \$303.7 million or 10.9% increase in the Fuel Cost of System
20 Net Generation due primarily to higher than projected residual oil
21 and natural gas costs. Natural gas costs are currently projected
22 to be \$220 million higher than the midcourse correction filing.
23 The unit cost of natural gas in the estimated/actual period is
24 \$6.52 per MMBTU or \$.67 (11.4%) higher than the \$5.85 per

1 MMBTU included in the midcourse correction. Residual oil costs
2 are currently projected to be \$86 million higher than the
3 midcourse correction filing. The unit cost of residual oil in the
4 estimated/actual period is \$4.42 per MMBTU or \$0.16 (3.7%)
5 higher than the \$4.27 per MMBTU included in the midcourse
6 correction.

- 7 • A \$36.1 million increase in Fuel Cost of Purchased Power due to
8 a 9.8% increase in the unit cost paid for energy and 6.3% greater
9 than projected purchases.
- 10 • A \$19.5 million increase in Energy Payments to Qualifying
11 Facilities due to 460,871 MWh or 7.2% greater than projected
12 QF purchases and 7.9% higher unit cost paid for the energy.
- 13 • A \$16.9 million increase in the Energy Cost of Economy
14 Purchases due to 426,077 MWh or 29% greater than projected
15 economy purchases.

16 These amounts are offset by an \$18.8 million increase in Fuel Cost
17 of Power Sold, which is primarily due to selling 184,812 MWh or
18 9.2% more than projected at a 20.7% higher than projected unit
19 cost.

20

21 **Q. Please describe the incremental hedging costs as shown on**
22 **Appendix I, page 4, Lines A1b.**

23 A. Incremental hedging O&M costs for 2003 are currently expected to
24 be \$385,994 or about \$33,554 less than originally projected. Since

1 the Commission's decision in Docket No. 011605-EI, FPL has been
 2 acquiring new systems and personnel for the purpose of expanding
 3 and enhancing its capabilities to implement a more robust hedging
 4 program. Those systems and personnel now are largely in place.
 5 Our hedging plan going forward reflects these incremental
 6 capabilities.

7

8 **Q. What is the appropriate estimated benchmark level for calendar**
 9 **year 2004 for gains on non-separated wholesale energy sales**
 10 **eligible for a shareholder incentive as set forth by Order No.**
 11 **PSC-00-1744-PAA-EI, in Docket No. 991779-EI?**

12 **A.** For the forecast year 2004, the three year average threshold consists
 13 of actual gains for 2001, 2002, and January through June 2003, and
 14 estimates for July through December 2003 (see below). Gains on
 15 sales in 2004 are to be measured against this three year average
 16 threshold, after it has been adjusted with the true-up filing (scheduled
 17 to be filed in April 2004) to include all actual data for the year 2003.

18	2001	\$17,846,596
19	2002	\$ 9,726,487
20	2003	\$13,091,111
21	Average threshold	\$13,554,731

1 **CAPACITY COST RECOVERY CLAUSE**

2

3 **Q. Please explain the calculation of the CCR Estimated/Actual**
4 **True-up amount you are requesting this Commission to**
5 **approve.**

6 A. The Estimated/Actual True-up for the period January 2003 through
7 December 2003 is an over-recovery of \$16,048,425 including interest
8 (Appendix II, Page 3, Column 13, Lines 17 plus 18). Appendix II,
9 Pages 2-3 shows the calculation supporting the CCR
10 Estimated/Actual True-up amount.

11

12 **Q. Is this true-up calculation consistent with the true-up**
13 **methodology used for the other cost recovery clauses?**

14 A. Yes it is. The calculation of the true-up amount follows the
15 procedures established by this Commission as set forth on
16 Commission Schedule A2 "Calculation of True-Up and Interest
17 Provision" for the Fuel Cost Recovery clause.

18

19 **Q. Have you provided a schedule showing the variances between**
20 **the Estimated/Actuals and the Original Projections?**

21 A. Yes. Appendix II, Page 4, shows the Estimated/Actual capacity
22 charges and applicable revenues (January through June 2003
23 reflects actual data and the data for July through December 2003 is
24 based on updated estimates) compared to the original projections for

1 the January 2003 through December 2003 period.

2

3 **Q. What is the variance related to capacity charges?**

4 A. As shown in Appendix II, Page 4, Column 3, Line 13, the variance
5 related to capacity charges is a \$2.1 million (0.3%) decrease. The
6 primary reasons for this variance is a \$12.2 million decrease in
7 payments to non-cogenerators, a \$1.3 million decrease in short-term
8 capacity payments, and a \$1.1 million increase in Revenues from
9 Capacity Sales, offset by a \$6.1 million increase in payments to
10 cogenerators, a \$2.2 million increase in Transmission of Electricity by
11 Others, and \$5.6 million increase in Incremental Power Plant
12 Security Costs.

13

14 The \$12.2 million decrease in payments to non-cogenerators is
15 primarily due to lower than estimated payments to Southern
16 Company and SJRPP. The \$1.3 million decrease in short-term
17 capacity payments is primarily due to lower than estimated Short
18 Term Purchases. The \$1.1 million increase in Revenues from
19 Capacity Sales is due to more than projected Capacity Sales. The
20 \$2.2 million increase in Transmission of Electricity by Others is due
21 to higher than originally projected purchased power. The \$6.1 million
22 increase in payments to cogenerators is primarily due to the
23 implementation of Cedar Bay Amendment No. 1 as approved by
24 Order No. PSC-03-0157-PAA-EI.

1 **Q. What is the variance in Capacity Cost Recovery revenues?**

2 A. As shown on Appendix II, Page 4, Column 3, Line 16, Capacity Cost
3 Recovery revenues, net of revenue taxes, are \$13.5 million higher
4 than originally projected due to higher than projected kWh sales.
5 The \$13.5 million higher revenues plus the \$2.1 million lower costs,
6 plus interest, results in the true-up amount of \$16 million over-
7 recovery (Appendix II, Page 4, Column 3, Lines 17 plus 18). The
8 estimated/actual 2003 over-recovery of \$16 million plus the final 2002
9 over-recovery of \$12.7 million filed on April 1, 2003 results in an over-
10 recovery of \$28.7 million to be carried forward to the 2004 capacity
11 factor.

12

13 **Q. Please describe the \$5.6 million increase in Incremental Power
14 Plant Security Costs as shown on Appendix II, page 4, Line 3.**

15 A. In providing its initial estimate of the expected incremental power
16 plant security costs, FPL indicated that there were significant
17 uncertainties in its projection of these costs in light of the need for
18 FPL to take proactive measures in response to changing threat
19 levels. Further, FPL recognized the potential for additional
20 government-mandated requirements in response to those threats.

21

22 On April 29, 2003, the Nuclear Regulatory Commission (NRC) issued
23 three new security-related orders: Order Nos. EA-03-038, EA-03-039
24 and EA-03-086. These orders require nuclear power plants to further

1 enhance security. They build on the changes required by Order EA-02-
2 026 issued on February 25, 2002, and relate to additional security
3 personnel, training, and equipment. Details on these new security
4 measures cannot be disclosed because such details have been
5 determined to be "Safeguards Information" by the NRC, thereby
6 prohibiting public disclosure of such details. FPL is in the process of
7 complying with the April 29, 2003 orders and will continue
8 implementing its compliance measures into 2004.

9
10 In addition to the new nuclear power plant security costs,
11 approximately \$120,000 of the \$5.6 million variance is attributable to
12 increases in incremental security costs related to the fossil power
13 plants. Originally the fossil power plant security cost estimates only
14 included the cost of security guards at certain locations. The
15 \$120,000 variance is caused by increased security measures for
16 incremental fossil power plant security required by a recent Coast
17 Guard rule and/or recommendations from the Department of
18 Homeland Security authorities. These incremental fossil power plant
19 security expenses include the cost of items such as gates, cameras,
20 and access card readers. Additionally, temporary off-duty police
21 officers were deployed during national threat level increases.

22

23 **Q. Some of the incremental power plant security expenses are for**
24 **the replacement of existing components that do not meet**

1 **present security requirements. When replacements occur, how**
2 **are they accounted for?**

3 A. Under standard accounting practices and consistent with the
4 Property Retirement Unit Catalog (PRUC), these power plant security
5 items are considered to be additions and replacements of “minor
6 items” of property. Consistent with accepted accounting principles,
7 where there is an addition or replacement of a minor item of property
8 but an entire system is not being replaced, the new item is recorded
9 as an O&M expense and no further adjustment is made. This same
10 procedure applies whether recording the expense in base or an
11 adjustment clause recoverable account. Therefore, FPL has
12 included the total cost of these incremental power plant security
13 items in its CCR clause calculation.

14
15 **Q. Are the power plant security costs that FPL has included in its**
16 **CCR calculation incremental costs?**

17 A. Yes. FPL’s incremental power plant security costs are discrete, truly
18 incremental costs. They are tracked and segregated by account
19 524.220 for nuclear power plants and account 506.075 for fossil
20 power plants. The 2002 Minimum Filing Requirements (MFRs) filed
21 in Docket No. 001148-EI do not include any of the incremental power
22 plant security costs as a result of 9/11/01 or other Homeland Security
23 responses that FPL has included for recovery through the capacity
24 clause. On November 9, 2001, FPL filed adjustments to its 2002

1 MFRs to reflect the impact of the 9/11/01 events. However, the
2 footnote on Attachment 1 of this filing stated that the adjustments
3 “Reflects recovery of additional security costs through the fuel clause
4 as filed 11/05/2001 in Docket 010001-EI.” The “additional security
5 costs” reflected in the fuel clause were the initial estimate of the costs
6 of power plant security. Thus, from the outset the incremental power
7 plant security costs as a result of 9/11/01 and other Homeland
8 Security responses have been accounted for and recovered through
9 the adjustment clauses and are not reflected in base rates.

10

11 **Q. Does this conclude your testimony?**

12 **A. Yes, it does.**

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **TESTIMONY OF KOREL M. DUBIN**

4 **DOCKET NO. 030001-EI**

5 **September 12, 2003**

6

7 **Q. Please state your name and address.**

8 A. My name is Korel M. Dubin and my business address is 9250 West
9 Flagler Street, Miami, Florida 33174.

10

11 **Q. By whom are you employed and in what capacity?**

12 A. I am employed by Florida Power & Light Company (FPL) as Manager
13 of Regulatory Issues in the Regulatory Affairs Department.

14

15 **Q. Have you previously testified in this docket?**

16 A. Yes, I have.

17

18 **Q. What is the purpose of your testimony?**

19 A. The purpose of my testimony is to present for Commission review
20 and approval the Fuel Cost Recovery factors (FCR) and the Capacity
21 Cost Recovery factors (CCR) for the Company's rate schedules for
22 the period January 2004 through December 2004. The calculation of
23 the fuel factors is based on projected fuel cost, using the forecast as
24 described in the testimony of FPL Witness Gerard Yupp, and

1 operational data as set forth in Commission Schedules E1 through
2 E10, H1 and other exhibits filed in this proceeding and data
3 previously approved by the Commission. Additionally, my testimony
4 addresses several issues related to security costs and incremental
5 hedging expenses raised by Staff in their Preliminary List of Issues
6 dated July 31, 2003. My testimony also describes the basis for
7 requesting recovery of the cost of additional railcars at the Scherer
8 Plant, presented in the testimony of FPL witness Gerard Yupp,
9 through the Fuel Cost Recovery Clause. I am also providing
10 projections of avoided energy costs for purchases from small power
11 producers and cogenerators and an updated ten year projection of
12 Florida Power & Light Company's annual generation mix and fuel
13 prices.

14

15 **Q. Have you prepared or caused to be prepared under your**
16 **direction, supervision or control an exhibit in this proceeding?**

17 A. Yes, I have. It consists of Schedules E1, E1-A, E1-C, E1-D E1-E,
18 E2, E10, H1, and pages 8-9 and 68-69 included in Appendix II and
19 the entire Appendix III. Appendix II contains the FCR related
20 schedules and Appendix III contains the CCR related schedules.

21

22 **FUEL COST RECOVERY CLAUSE**

23

24 **Q. What is the proposed levelized fuel factor for which the**

1 **Company requests approval?**

2 A. 3.742¢ per kWh. Schedule E1, Page 3 of Appendix II shows the
3 calculation of this twelve-month levelized fuel factor. Schedule E2,
4 Pages 10 and 11 of Appendix II indicates the monthly fuel factors for
5 January 2004 through December 2004 and also the twelve-month
6 levelized fuel factor for the period.

7

8 **Q. Has the Company developed a twelve-month levelized fuel**
9 **factor for its Time of Use rates?**

10 A. Yes. Schedule E1-D, Page 6 of Appendix II, provides a twelve-
11 month levelized fuel factor of 4.081¢ per kWh on-peak and 3.591¢
12 per kWh off-peak for our Time of Use rate schedules.

13

14 **Q. Were these calculations made in accordance with the**
15 **procedures previously approved in this Docket?**

16 A. Yes.

17

18 **Q. What is the true-up amount that FPL is requesting to be**
19 **included in the fuel factor for the January 2004 through**
20 **December 2004 period?**

21 A. FPL is requesting to include a net true-up under-recovery of
22 \$344,729,859 in the fuel factor for the January 2004 through
23 December 2004 period. This \$344,729,859 under-recovery
24 represents the estimated/actual under-recovery for the period

1 January 2003 through December 2003. Please note that the final
2 true-up under-recovery of \$72,467,176 for the period January 2002
3 through December 2002 that was filed on April 1, 2003 was included
4 in the midcourse correction that became effective in April 2003 and,
5 therefore is not reflected in the \$344,729,859 estimated/actual true-
6 up amount to be carried forward to the 2004 fuel factors.

7

8 **Q. What adjustments are included in the calculation of the twelve-**
9 **month levelized fuel factor shown on Schedule E1, Page 3 of**
10 **Appendix II?**

11 A. As shown on line 29 of Schedule E1, Page 3 of Appendix II, the total
12 net true-up to be included in the 2004 factor is an under-recovery of
13 \$344,729,859. This amount divided by the projected retail sales of
14 100,913,607 MWh for January 2004 through December 2004 results
15 in an increase of .3416¢ per kWh before applicable revenue taxes.
16 The Generating Performance Incentive Factor (GPIF) Testimony of
17 FPL Witness Frank Irizarry, filed on April 1, 2003, calculated a
18 reward of \$7,449,429 for the period ending December 2002 which is
19 being applied to the January 2004 through December 2004 period.
20 This \$7,449,429 divided by the projected retail sales of 100,913,607
21 MWh during the projected period results in an increase of .0074¢ per
22 kWh, as shown on line 33 of Schedule E1, Page 3 of Appendix II.

23

24 **Q. Has FPL included any additional costs in its factors for the**

1 **period January 2004 through December 2004 as a result of the**
2 **Hedging Resolution approved in Docket No. 011605-EI?**

3 A. Yes. In Docket No. 011605-EI, the Commission approved the
4 Hedging Resolution which allows for:

5 “Each investor-owned electric utility may recover through the
6 fuel and purchased power cost recovery clause prudently-
7 incurred incremental operating and maintenance expenses
8 incurred for the purpose of initiating and/or maintaining a new
9 or expanded non-speculative financial and/or physical
10 hedging program designed to mitigate fuel and purchased
11 power price volatility for its retail customers each year until
12 December 31, 2006, or the time of the utility’s next rate
13 proceeding, whichever comes first.”

14 As stated in the testimony of FPL witness Gerard Yupp, FPL projects
15 to incur \$427,857 in incremental O&M expenses for FPL’s expanded
16 hedging program. Of this amount, \$400,257 is for three (3)
17 employees who are dedicated full time to FPL’s expanded hedging
18 program. Two of the employees were hired and have been working
19 in 2003 and we expect the third employee to be hired in January
20 2004. These three employees have been (or will be) hired
21 specifically for the expanded hedging program. Their salaries were
22 not included in the MFR filing in Docket No. 001148-EI. In fact, their
23 positions/job functions weren’t even contemplated at the time of
24 FPL’s MFR filing.

1

2

Additionally, FPL's projected 2004 incremental hedging O&M

3

expenses included \$27,600 for computer license fees. This

4

computer model is used for the expanded hedging program by

5

providing a tool for volume forecasting on a continuing basis. The

6

MFR filing contained \$300,000 for projected computer license fees.

7

FPL's total 2004 projections for these license fees is \$327,600,

8

therefore, FPL has included incremental license fees of \$27,600 (the

9

difference between the 2004 projection of \$327,600 and the

10

\$300,000 included in the MFR filing) for recovery through the fuel

11

clause.

12

13

Since the \$427,857 in O&M expenses are for FPL's expanded

14

hedging program and were not included in FPL's MFR filing in

15

Docket No. 001148-EI, FPL has included this \$427,857 in projected

16

incremental hedging expenses in its Fuel Cost Recovery calculations

17

for the period January 2004 through December 2004. This amount is

18

shown on line 3b of Schedule E1, page 3 of Appendix II.

19

20

Q. The following issue has been raised by Staff in its Preliminary

21

List of Issues dated July 31, 2003: "What is the appropriate base

22

level for operation and maintenance expenses for non-

23

speculative financial and/or physical hedging programs to

24

mitigate fuel and purchased power price volatility?" What is

1 **FPL's position regarding this issue?**

2 A. There is no one general base level for O&M expenses that would be
3 appropriate for the expanded hedging program. Each category of
4 cost requested for recovery through the fuel clause has to be
5 evaluated on a case by case, item by item basis to determine what
6 portion, if any, of that category of cost was included in FPL's 2002
7 MFRs. The Commission's direction in Order No. PSC-02-1484-FOF-
8 EI, in Docket No. 011605 is very clear. In the Order, in defining what
9 constitutes "incremental" expenses for the purpose of allowing
10 recovery of incremental operating and maintenance expenses
11 associated with an expanded hedging program, the Commission
12 approved the following procedure:

13
14 "The base period for determining incremental
15 expenses as described above is the year 2001
16 (using actual expenses), except for utilities with
17 rates approved based on Minimum Filing
18 Requirements (MFR) in rate reviews
19 conducted since 2001, in which case the
20 projected rate year is the base period (using
21 projected expenses)...All base year and
22 recovery year FERC sub-account operating
23 and maintenance expense amounts associated
24 with financial and physical hedging activities

1 shall be included in the Fuel Clause Final True-
2 up filing each April during the years 2003
3 through 2007, including the difference between
4 the base year and recovery year expense
5 amounts, then summed, yielding a total
6 incremental hedging amount which may be
7 compared for cost recovery review purposes to
8 the requested cost recovery amount produced in
9 the Projected Filing for the recovery year.”

10 This procedure focuses on the specific accounts where the costs for
11 which recovery is sought are recorded, not on the entire range of a
12 utility’s or business unit’s operations. Thus, where FPL is entitled to
13 recover incremental hedging costs through the fuel clause, the proper
14 focus for evaluating whether the costs proposed for recovery are indeed
15 incremental is on the level of *those particular costs* in the MFRs, in order
16 to be sure that FPL would not be double recovering the costs (*i.e.*,
17 recovering them in both base rates and through a cost recovery clause).

18

19 **Q. Is FPL requesting recovery of costs for additional Plant Scherer**
20 **railcars through the Fuel Cost Recovery Clause?**

21 A. Yes. FPL is requesting the recovery of the return and depreciation of
22 137 new railcars for the Scherer Plant, as described in the testimony
23 of FPL Witness Gerard Yupp, through the Fuel Cost Recovery
24 Clause. The total cost of the railcars is \$7 million. FPL has included

1 \$1.4 million for the return and depreciation of these railcars in the
2 calculation of its 2004 fuel cost recovery factors.

3

4 **Q. What is the basis for requesting recovery of railcars through the**
5 **Fuel Cost Recovery Clause?**

6 A. The Commission in Docket No. 850001-EI-B, Order No. 14546
7 issued July 8, 1985, regarding the charges appropriately included in
8 the calculation of fuel, stated:

9 "As a result of the determination in this proceeding,
10 prospectively, the following charges are properly considered
11 in the computation of the average inventory price of fuel used
12 in the development of fuel expense in the utilities fuel cost
13 recovery clauses: ...4. Transportation costs to the utility
14 system, including detention or demurrage".

15

16 Recovery of the return and depreciation associated with the additional
17 Scherer railcars through the Fuel Cost Recovery Clause is
18 appropriate, because they are transportation costs.

19

20 **CAPACITY COST RECOVERY CLAUSE**

21

22 **Q. Please describe Page 3 of Appendix III.**

23 A. Page 3 of Appendix III provides a summary of the requested capacity
24 payments for the projected period of January 2004 through

1 December 2004. Total Recoverable Capacity Payments amount to
2 \$580,834,356 (line 16) and include payments of \$177,228,528 to
3 non-cogenerators (line 1), Short-term Capacity Payments of
4 \$84,454,210 (line 2), payments of \$350,288,484 to cogenerators (line
5 3), and \$5,073,564 relating to the St. John's River Power Park
6 (SJRPP) Energy Suspension Accrual (line 4a) \$36,180,354 of
7 Okeelanta/Osceola Settlement payments (line 5b), \$13,673,611 in
8 Incremental Power Plant Security Costs (line 6), and \$6,259,386 for
9 Transmission of Electricity by Others (line 7). This amount is offset
10 \$3,852,557 of Return Requirements on SJRPP Suspension
11 Payments (line 4b), by Transmission Revenues from Capacity Sales
12 of \$4,235,810 (line 8), and \$56,945,592 of jurisdictional capacity
13 related payments included in base rates (line 12) less a net over-
14 recovery of \$28,725,148 (line 13). The net over-recovery of
15 \$28,725,148 includes the final over-recovery of \$12,676,723 for the
16 January 2002 through December 2002 period that was filed with the
17 Commission on April 1, 2003, plus the estimated/actual over-
18 recovery of \$16,048,425 for the January 2003 through December
19 2003 period, which was filed with the Commission on August 12,
20 2003.

21
22 **Q. Has FPL included a projection of its 2004 Incremental Power**
23 **Plant Security Costs in calculating its Capacity Cost Recovery**
24 **Factors?**

1 A. Yes. FPL has included \$13,613,611 on Appendix III, page 3, Line 6
2 for projected 2004 Incremental Power Plant Security Costs in the
3 calculation of its Capacity Cost Recovery Factors.

4
5 Of the total \$13,673,611 for 2004 incremental power plant security
6 costs, \$12,194,611 is for nuclear power plant security, which is
7 discussed in the testimony of FPL Witness John Hartzog. In addition
8 to the projection for nuclear power plant security costs, \$1,479,000 of
9 the total \$13,673,611 is for fossil power plant security. This
10 projection includes the costs of increased security measures for
11 incremental fossil power plant security required by a recent Coast
12 Guard rule and/or recommendations from the Department of
13 Homeland Security authorities. These incremental fossil power plant
14 security expenses include the cost of items such as gates, cameras,
15 access card readers and security guards. FPL is in the process of
16 complying with these requirements and will continue implementing
17 these measures into 2004.

18
19 **Q. The following issues have been raised by Staff in their**
20 **Preliminary List of Issues dated July 31, 2003: "What is the**
21 **appropriate period to establish a base line for incremental post-**
22 **September 11, 2001, security expenses?" and "What is the**
23 **appropriate base line for operational and maintenance expenses**
24 **for post-September 11, 2001, security measures?" What are**

1 **FPL's positions on these issues?**

2 A. When comparing incremental power plant security to base costs, the
3 appropriate comparison is to FPL's 2002 MFRs filed in Docket No.
4 001148-EI. The essential purpose of the MFRs in Docket No.
5 001148-EI was to provide information on FPL's *base-rate* revenues,
6 expenses and investment for the test year in question, making it the
7 logical base period for comparing incremental expenses. Consistent
8 with this emphasis on using 2002 MFRs to define what constitutes
9 "incremental" expenses, the Commission has approved in Docket
10 No. 011605 the following definition of base costs:

11
12 "The base period for determining incremental expenses as
13 described above is the year 2001 (using actual expenses),
14 except for utilities with rates approved based on Minimum
15 Filing Requirements (MFR) in rate reviews since 2001, *in*
16 *which case the projected rate year is the base period (using*
17 *projected expenses)*".

18 The 2002 MFRs filed in Docket No. 001148-EI do not include any of the
19 incremental power plant security costs as a result of 9/11/01 or other
20 Homeland Security responses that FPL has included for recovery
21 through the capacity clause. On November 9, 2001, FPL filed
22 adjustments to its 2002 MFRs to reflect the impact of the 9/11/01 events.
23 However, the footnote on Attachment 1 of this filing stated that the
24 adjustments "Reflects recovery of additional security costs through the

1 fuel clause as filed 11/05/2001 in Docket 010001-EI." The "additional
2 security costs" reflected in the fuel clause were the initial estimate of the
3 costs of power plant security. Thus, from the outset the incremental
4 power plant security costs as a result of 9/11/01 and other Homeland
5 Security responses have been accounted for and recovered through the
6 adjustment clauses and are not reflected in base rates.

7

8 **Q. Please describe Page 4 of Appendix III.**

9 A. Page 4 of Appendix III calculates the allocation factors for demand
10 and energy at generation. The demand allocation factors are
11 calculated by determining the percentage each rate class contributes
12 to the monthly system peaks. The energy allocators are calculated
13 by determining the percentage each rate contributes to total kWh
14 sales, as adjusted for losses, for each rate class.

15

16 **Q. Please describe Page 5 of Appendix III.**

17 A. Page 5 of Appendix III presents the calculation of the proposed
18 Capacity Cost Recovery Clause (CCR) factors by rate class.

19

20 **Q. What effective date is the Company requesting for the new FCR
21 and CCR factors?**

22 A. The Company is requesting that the new FCR and CCR factors
23 become effective with customer bills for January 2004 through
24 December 2004. This will provide for 12 months of billing on the

1 FCR and CCR factors for all our customers.

2

3 **Q. What will be the charge for a Residential customer using 1,000**
4 **kWh effective January 2004?**

5 A. The base bill for 1,000 Residential kWh is \$40.22, the fuel cost
6 recovery charge from Schedule E1-E, Page 7 of Appendix II for a
7 residential customer is \$37.50, the Capacity Cost Recovery charge is
8 \$6.25, and the Environmental Cost Recovery charge is \$0.13. These
9 components of the Residential (1,000 kWh) Bill are presented in
10 Schedule E10, Page 66 of Appendix II. The Conservation factor is
11 not scheduled to be filed until September 26, 2003 and, therefore, is
12 not included on Schedule E10.

13

14 **Q. Does this conclude your testimony.**

15 A. Yes, it does.

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **SUPPLEMENTAL TESTIMONY OF KOREL M. DUBIN**

4 **DOCKET NO. 030001-EI**

5 **NOVEMBER 3, 2003**

6 **Q. Please state your name and business address.**

7 A. My name is Korel M. Dubin, and my business address is 9250 West Flagler
8 Street, Miami, Florida, 33174.

9 **Q. By whom are you employed and in what capacity?**

10 A. I am employed by Florida Power & Light Company (FPL) as the Manager of
11 Regulatory Issues in the Regulatory Affairs Department.

12

13 **Q. Have you previously filed testimony in this docket?**

14 A. Yes, I have.

15

16 **Q. What is the purpose of your testimony?**

17 A. The purpose of my testimony is to address the portion of Staff's position on Issue
18 30 that states: "Once the base year costs are determined, the costs would be
19 grossed up (or down) for the growth (or decline) in kWh sold from the base year
20 to the recovery year."

21

22 **Q. Focusing on the first part of Staff's proposal that states "Once the base
23 year costs are determine," do you agree that post-9/11 incremental power**

1 **plant security expenses necessarily need to be compared to a “baseline” to**
2 **determine the appropriate amount to be recorded through the Capacity**
3 **Cost Recovery (CCR)?**

4 A. No, while a “baseline” adjustment might be appropriate in evaluating whether
5 certain types of increased costs are eligible for recovery through the CCR clause,
6 Staff’s “baseline” concept is simply not relevant to the way that FPL accumulates
7 and tracks its incremental power plant security costs. FPL did not include any
8 post-9/11 incremental power plant security expenses in its 2002 MFRs; thus, the
9 base year amount of such expenses is zero. FPL has established separate
10 accounts to record and track its incremental power plant security expenses. FPL
11 only records expenses to those separate accounts if the expenses result from
12 specific, post-9/11 security requirements. Therefore, the full amounts recorded in
13 those accounts are incremental power plant security expenses. There is no need
14 to compare such expenses to a “base line” in order to determine the appropriate
15 amount to be recovered through the CCR Factor.

16

17 FPL’s approach to accumulating and tracking post-9/11 incremental power plant
18 security costs is analogous to what is done with respect to project costs that are
19 recovered through the Environmental Cost Recovery Clause (ECRC). For
20 example, Order No. PSC-94-0044-FOF-EI, dated 1/12/94, states:

21

22 “Upon petition, we shall allow the recovery of costs associated with an
23 environmental compliance activity through the environmental cost recovery factor
24 if the activity is legally required to comply with a governmentally imposed
25 environmental regulation enacted, became effective, or whose effect was

1 triggered after the company's last test year upon which rates are based."

2

3 Typically, there is no "baseline" for the costs of an ECRC project, because the
4 project activities were not needed until the environmental requirement in question
5 became effective. Thus, rather than trying to apply a baseline to evaluate
6 whether the costs of a new ECRC project are recoverable, the project costs are
7 tracked separately from other environmental activities. The focus of the ECRC
8 review is then on whether or not these separately tracked costs are indeed
9 required to comply with the relevant environmental requirement. This is the
10 same concept that FPL is using for its post-9/11 incremental power plant security
11 costs in this docket.

12

13 **Q. If a baseline were to be established for FPL, would Staff's proposal to make**
14 **an adjustment to reflect revenues in the calculation of incremental costs by**
15 **grossing up the expense in the base year by the growth rate in energy sold**
16 **be appropriate?**

17 A. No. If a baseline other than "zero" were to be established for FPL, Staff's
18 proposal to adjust that baseline annually for increased kWh sales would be
19 inappropriate. Such an adjustment would improperly interject the issue of base-
20 rate revenue growth into the adjustment clause proceeding. And it would do so
21 by unfairly looking at only one side of the revenue-expense relationship.

22 A sales-growth adjustment would be especially inappropriate for FPL because of
23 the current Settlement and Stipulation that was approved by the Commission in
24 Docket No. 001148-EI. That settlement reduced FPL's base rates by \$250
25 million per year from the level anticipated by the 2002 MFRs filed in that docket,

1 yet Staff suggests no downward adjustment to the initial baseline to reflect that
2 revenue reduction. Moreover, the settlement contains a revenue-sharing
3 mechanism that provides additional refunds to FPL's customers if base-rate
4 revenues exceed prescribed thresholds. The settlement states that the revenue-
5 sharing mechanism "will be the appropriate and exclusive mechanism to address
6 earnings levels." Staff's proposal to increase baseline costs (and hence
7 decrease recoverable security expenses) proportionately to increased kWh sales
8 amounts to an indirect adjustment to earnings, which would be inconsistent with
9 this provision of the settlement.

10
11 The revenue-sharing mechanism represented a compromise on revenue sharing
12 that was acceptable to all of the settlement signatories. They agreed that this
13 compromise would apply for calendar years 2003, 2004 and 2005. The
14 compromise did not contemplate making additional adjustments such as the one
15 that Staff suggests, which would have the effect of changing the balance of
16 revenue sharing away from what the parties had agreed to accept.

17

18 **Q. Does that conclude your rebuttal testimony?**

19 **A.** Yes it does.

1 BY MR. BUTLER:

2 Q Please summarize your testimony.

3 A Okay. The purpose of my testimony is to present for
4 Commission review and approval the fuel cost-recovery factors
5 and the capacity cost-recovery factors for the company's rate
6 schedules for the period January 2004 through December 2004.
7 Additionally, my direct testimony addresses several issues
8 related to setting a baseline for incremental post-9/11 power
9 plant security costs and incremental hedging expenses that were
10 raised by staff.

11 Regarding incremental hedging O&M expenses, FPL's
12 expanded hedging program has required use of consultants, new
13 reporting systems, and three additional employees that were not
14 included in FPL's MFR filing. There is no one general base
15 level of O&M expenses that would be appropriate for the
16 expanded hedging program. Each category of costs requested for
17 recovery through the fuel clause has to be evaluated on a
18 case-by-case, item-by-item basis to determine what portion, if
19 any, of that category of cost was included in FPL's 2002 MFRs.

20 Regarding a baseline for post-9/11 incremental power
21 plant expenses, FPL did not include any post-9/11 incremental
22 power plant security expenses in its 2002 MFRs. Therefore, the
23 base year amount of such expense is zero. FPL has established
24 separate accounts to record and track its incremental power
25 plant security expenses, and FPL only records expenses in those

1 separate accounts if the expenses result from specific
2 post-9/11 security requirements. Therefore, the full amounts
3 recorded in those accounts are incremental power plant security
4 expenses.

5 On November 3rd, I filed supplemental testimony that
6 addresses the portion of staff's position on Issue 30 that
7 states, "Once the base year costs are determined, the costs
8 will be grossed up or down for a growth or decline in kWh sold
9 from the base year to the recovery year." FPL believes that
10 this adjustment is inappropriate because it is inconsistent
11 with the current rate settlement agreement. The settlement
12 contains a revenue-sharing mechanism that provides additional
13 refunds to customers if base revenues exceed prescribed
14 thresholds. The settlement states that the revenue sharing
15 mechanism, quote, will be the appropriate and exclusive
16 mechanism to address earning levels, unquote. Staff's proposal
17 to increase base line costs and, hence, decrease recoverable
18 clause expenses proportionately to increase kWh sales amounts
19 to an indirect adjustment to earnings which will be
20 inconsistent with the provisions of the settlement.

21 Furthermore, the revenue sharing mechanism
22 represented a compromise on revenue sharing that was acceptable
23 to all of the settlement signatories. They agreed that this
24 compromise would apply for calendar years 2003, 2004, and 2005.
25 The compromise did not contemplate making additional

1 adjustments such as the one that staff suggests, which would
2 have the effect of changing the balance of revenue sharing away
3 from what the parties had agreed to accept.

4 This concludes my summary.

5 MR. BUTLER: I tender Ms. Dubin for cross
6 examination.

7 CHAIRMAN JABER: Thank you. Mr. Vandiver, have you
8 agreed upon an order of questioning?

9 MR. VANDIVER: Yes. We have no questions.

10 MS. KAUFMAN: I have no questions, Chairman.

11 CHAIRMAN JABER: Mr. Twomey, I'm assuming you have no
12 questions?

13 MR. TWOMEY: (Indicating no.)

14 CHAIRMAN JABER: And I will assume that, by the way,
15 if you're not at a microphone, okay? All right.

16 Staff.

17 MR. KEATING: Staff has no questions.

18 CHAIRMAN JABER: Well, who had questions of Ms.
19 Dubin?

20 COMMISSIONER DEASON: I have a question.

21 CHAIRMAN JABER: Well, Commissioner, go right ahead.

22 MR. BUTLER: We knew that.

23 COMMISSIONER DEASON: I'm trying to understand the
24 gross-up issue on the security costs, the post-9/11 security
25 costs. As I understand your testimony, there were no such

1 costs included in your MFR filings, you have a separate
2 accounting system, and therefore whatever accounts, whatever
3 amounts are in those accounts, by definition they are
4 incremental. Did I understand that testimony correct?

5 THE WITNESS: Yes, Commissioner.

6 COMMISSIONER DEASON: Okay. So does the gross-up
7 issue effect you, does it effect you in terms of dollars or
8 just in terms of policy?

9 THE WITNESS: Just in terms of policy, Commissioner.
10 The baseline or the amount that we have included in the MFRs
11 for the power plant security cost is zero.

12 COMMISSIONER DEASON: If you gross-up zero, it is
13 zero?

14 MS. DUBIN: Exactly.

15 CHAIRMAN JABER: Mr. Butler, you have no rebuttal.
16 Redirect?

17 MR. BUTLER: I have no redirect.

18 CHAIRMAN JABER: Okay. Ms. Dubin, thank you for your
19 testimony. And without objection, Composite Exhibit 13 is
20 admitted into the record.

21 (Exhibit 13 admitted into the record.)

22 MS. DUBIN: Thank you.

23 CHAIRMAN JABER: According to my list, the next
24 witness is Mr. Portuondo.

25 MR. McGEE: Madam Chairman, the parties have had some

1 ongoing discussion about Progress Energy's specific Issue 13E,
2 the waterborne transportation issue, and we would ask that that
3 portion of Mr. Portuondo's testimony be deferred now and taken
4 out of order after we have had a chance to conclude our
5 discussions which, in effect, would mean that Mr. Portuondo
6 would be subject to cross-examination on Issues 30 and 31A. If
7 I have missed any other issues that are not included within 30
8 and 31A --

9 CHAIRMAN JABER: Let me see if I understand. You
10 want an opportunity to talk further about 13E, which may make
11 his testimony not necessary for 13E?

12 MR. McGEE: That's correct. That's the portion of
13 his September 12th testimony from Pages 15 through 24.

14 CHAIRMAN JABER: But if you don't have a stipulation,
15 then we would have to bring him back up on the stand to take up
16 13E?

17 MR. McGEE: Yes, ma'am.

18 CHAIRMAN JABER: How about for the sake of efficiency
19 we skip him?

20 MR. McGEE: That's acceptable to us.

21 CHAIRMAN JABER: Good.

22 TECO, is it Mr. Whale?

23 MR. BEASLEY: That's correct. Call Mr. Whale.

24 CHAIRMAN JABER: Mr. Beasley, I was just asking
25 Commissioner Baez if you agreed to taking up direct and

1 rebuttal at the same time.

2 Parties, have you reached agreement on whether direct
3 and rebuttal may be taken up at the same time?

4 MR. BEASLEY: We haven't. And we would like to keep
5 the order of witnesses as they are stated.

6 CHAIRMAN JABER: All right. So this is just for
7 direct, then?

8 MR. BEASLEY: That's correct.

9 WILLIAM T. WHALE

10 was called as a witness on behalf of Tampa Electric Company
11 and, having been duly sworn, testified as follows:

12 DIRECT EXAMINATION

13 BY MR. BEASLEY:

14 Q Mr. Whale, would you please state your name, your
15 business address, and your position with Tampa Electric
16 Company?

17 A Yes. My name is William T. Whale. My business
18 address is 702 North Franklin Street, Tampa, Florida 33602.
19 I'm employed by Tampa Electric as Vice-president of Energy
20 Supply Operations.

21 Q Mr. Whale, did you prepare and cause to be submitted
22 in this proceeding a document entitled, "Projection Testimony
23 of William T. Whale," that was filed on September 12th, 2003?

24 A Yes, I did.

25 Q Do you have any corrections or changes to make to

1 that testimony?

2 A No, I do not.

3 Q If I were to ask you the questions contained in that
4 testimony, would your answers be the same?

5 A Yes, they would.

6 MR. BEASLEY: Madam Chairman, I would ask that Mr.
7 Whale's testimony be inserted into the record.

8 CHAIRMAN JABER: The prefiled direct testimony of
9 William T. Whale shall be inserted into the record as though
10 read.

11 BY MR. BEASLEY:

12 Q Mr. Whale, did you also accompany that testimony with
13 an exhibit designated Exhibit WTW-1?

14 A Yes, I did.

15 Q Was that prepared under your direction and
16 supervision?

17 A Yes, it was.

18 MR. BEASLEY: I would ask that Mr. Whale's Exhibit
19 WTW-1 be marked for identification.

20 CHAIRMAN JABER: WTW-1 shall be marked as Exhibit
21 Number 14.

22 MR. BEASLEY: Thank you.

23 (Exhibit 14 marked for identification.)

24

25

1 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

2 PREPARED DIRECT TESTIMONY

3 OF

4 WILLIAM T. WHALE

5
6 **Q.** Please state your name, address, occupation and employer.7
8 **A.** My name is William T. Whale. My business address is 702
9 North Franklin Street, Tampa, Florida 33602. I am employed
10 by Tampa Electric Company ("Tampa Electric" or "company")
11 as Vice President, Energy Supply - Operations.12
13 **Q.** Please provide a brief outline of your educational
14 background and business experience.15
16 **A.** I received a Bachelor of Science degree from the United
17 States Merchant Marine Academy in 1978, and a Master's of
18 Business Administration from Florida Institute of
19 Technology in 1986. I began my career with Tampa Electric
20 in 1979 as a Boiler Engineer in the Production Department.
21 From 1979 through 1991 I held various engineering and
22 management positions within the Production Department. In
23 1991 I transferred to TECO Power Services and from 1991
24 through 1996 I held various position of increasing
25 responsibility and oversight of power plant operations.

1 In 1996 I transferred to TECO Transport and Trade and from
2 1996 through 2000 I held various management positions. In
3 March 2000 I transferred back to Tampa Electric and became
4 Vice President, Energy Supply. I am responsible for
5 oversight of the operations and maintenance of Tampa
6 Electric's power plants.

7
8 **Q.** What is the purpose of your testimony?

9
10 **A.** The purpose of my testimony is to describe the obligations
11 that Tampa Electric has under the Consent Decree ("CD")
12 entered into with the United States Environmental
13 Protection Agency and Department of Justice and the
14 Consent Final Judgment ("CFJ") entered into with the
15 Florida Department of Environmental Protection as they
16 relate to Gannon Station. I will also discuss the various
17 factors that influenced Tampa Electric's shutdown schedule
18 of the Gannon Units 1 through 4.

19
20 **Q.** Have you prepared an exhibit to support your testimony?

21
22 **A.** Yes. Exhibit _____ (WTW-1), consisting of one document,
23 was prepared under my direction and supervision. Document
24 No. 1 is titled "Gannon Station Performance and
25 Reliability."

1 Q. Please describe Tampa Electric's obligations under the CFJ
2 and the CD as they relate to Gannon Station.

3
4 A. Under the CFJ, signed December 6, 1999, and the CD, signed
5 February 29, 2000, Tampa Electric must cease operating its
6 coal-fired generation at Gannon Station by December 31,
7 2004. Specifically, the CD requires Tampa Electric to
8 repower coal fired generating capacity at Gannon of no
9 less than 200 megawatts ("MW") by May 1, 2003. As a
10 result, Gannon Units 5 and 6 are being repowered from coal
11 to natural gas fired Bayside Units 1 and 2, respectively.
12 The shutdown schedules for Gannon Units 5 and 6 are driven
13 by the in-service dates of Bayside Units 1 and 2.

14
15 Q. Given the obligation under the CD and CFJ, what is Tampa
16 Electric's conversion schedule?

17
18 A. To achieve the required May 1, 2003 in-service date for
19 Bayside Unit 1, Gannon Unit 5 was shut down on January 30,
20 2003 to convert its steam turbine generator to the Bayside
21 Unit 1 combined cycle configuration. Due to the planned
22 January 15, 2004 in-service date for Bayside Unit 2, the
23 shutdown date for Gannon Unit 6 will occur around
24 September 30, 2003. Gannon Units 3 and 4 will be shut
25 down around October 15, 2003 so that Bayside Unit 2 can

1 utilize the transmission facilities currently used for the
2 operation of Gannon Unit 4. The existing transmission
3 facilities cannot accommodate the operation of both
4 Bayside Unit 2 and Gannon Unit 4; therefore, it will be
5 necessary for Gannon Unit 4 to cease operations to allow
6 for the tie-in and testing of Bayside Unit 2 prior to its
7 commercial operation.

8
9 **Q.** Please provide a description of the Gannon units.

10
11 **A.** Gannon Station has been operational for over 46 years.
12 Gannon Unit 1 was commissioned in 1957 and, prior to being
13 shut down and placed on long-term reserve standby, had a
14 net capacity rating of 94 MW. Gannon Unit 2 was
15 commissioned in 1958 and, prior to being shut down and
16 placed on long-term reserve standby, had a net capacity
17 rating of 100 MW. Gannon Unit 3 was commissioned in 1960
18 and has a net capacity rating of 155 MW. Gannon Unit 4
19 was commissioned in 1963 and has a net capacity rating of
20 100 MW. Each of the Gannon units has one boiler supplying
21 steam to one steam turbine generator.

22
23 **Q.** Please provide a description of the Bayside units.

24
25 **A.** Bayside Unit 1 consist of three General Electric ("GE")

1 7FA gas turbines and three heat recovery steam generators
2 ("HRSGs") supplying steam to one steam turbine generator;
3 it reused the Gannon Unit 5 steam turbine generator and
4 associated equipment. It went into commercial operation
5 April 24 of this year. Bayside Unit 2 will consist of
6 four GE 7FA gas turbines and four HRSGs that supply steam
7 to one steam turbine generator unit; it will reuse the
8 Gannon Unit 6 steam turbine generator and associated
9 equipment. The unit is expected to be in service January
10 15, 2004. Bayside Unit 1 has a net capacity of 690 MW and
11 779 MW in the summer and winter, respectively. Bayside
12 Unit 2 will have a net capacity of 908 MW and 1,022 MW in
13 the summer and winter, respectively.

14
15 **Q.** Please describe the process of converting coal-fired
16 Gannon Units 5 and 6 to natural gas-fired Bayside Units.

17
18 **A.** The process to bring each Bayside unit on line is similar
19 in scope. Construction of the Bayside units has taken
20 place while the existing Gannon units have continued to
21 operate. This has significantly increased the complexity
22 of bringing the units on line.

23
24 Bayside construction can only be completed up to a certain
25 point with the respective Gannon Units 5 and 6 operating.

1 At that point, the respective Gannon unit must be removed
2 from service to allow the final construction tie-ins to
3 take place. When the tie-in is complete, the start-up or
4 commissioning phase begins. Systems are checked out;
5 construction is verified; design is validated; and control
6 systems are tuned. This is a dynamic process because the
7 exact issues to be addressed are not known in advance.
8 Scheduling the activities is primarily based upon
9 experience with similar units.

10
11 The gas turbines are fired individually to verify turbine
12 integrity. The combustion system of each turbine is tuned
13 to ensure emission performance. After all turbines have
14 been tested and tuned, the steam section of the unit is
15 put into service. This includes verification of control
16 logic, construction correctness, steam piping hanger
17 design, plant water balance and piping system expansion.
18 Also, in this step the unit condenser, condensate and
19 boiler feedwater systems are checked out and commissioned.

20
21 The next step is to admit steam to the steam turbine.
22 This step verifies that modifications to the steam turbine
23 work as planned.

24
25 Once the unit is producing electricity from both the gas

1 turbines and steam turbine in combined cycle mode, final
2 tuning and testing is done. The final step is to run the
3 unit performance and emission test to verify compliance.
4 Upon completion of the aforementioned tests, the unit is
5 released to operations and declared in service.

6
7 **Q.** How has the company evaluated the schedule of shutting
8 down the coal fired Gannon Units?

9
10 **A.** Although the CFJ and CD require that all coal fired
11 operations cease by December 31, 2004, the company never
12 anticipated or planned for the shutdown of the units to
13 occur exactly on December 31, 2004. Since the CD and CFJ
14 were signed, the company has continued to evaluate various
15 conditions in determining when the Gannon coal fired units
16 would be shut down. These considerations include, but are
17 not limited to, the engineering and construction of the
18 repowered Gannon Units 5 and 6 to Bayside Units 1 and 2,
19 respectively, the reliability and safety of Gannon Units 1
20 through 4, necessary maintenance costs and planned outage
21 time for acceptable levels of unit availability, employee
22 redeployment and retraining schedules, reserve margin
23 requirements, outage schedules (statewide and system-wide)
24 and transmission constraints. Over time, the status of
25 these conditions has been and continues to be monitored

1 and updated.

2
3 In late January and early February of this year, the
4 company was in a position to further refine the dates for
5 ceasing operation of Gannon Units 1 through 4. At that
6 time, the company determined that the shutdown of Gannon
7 Units 1 and 2 should occur around March 15, 2003 and the
8 shutdown of Gannon Units 3 and 4 should occur in September
9 2003 to coincide with the Bayside Unit 2 tie-in
10 activities. Due to necessary modifications to the
11 company's outage schedule and unforeseen system and
12 statewide operational issues, the company continued
13 operating Gannon Units 1 and 2 beyond the previously
14 scheduled mid-March 2003 shutdown. Once Bayside Unit 1
15 produced energy reliably, generating units returned from
16 outages and system conditions warranted, Tampa Electric
17 finalized the dates to shut down Gannon Units 1 and 2.

18
19 **Q.** What have been the primary parameters affecting the
20 decision on when to shut down the Gannon units?

21
22 **A.** Since signing the CFJ and CD, Tampa Electric has worked
23 with an engineering, construction, and shutdown schedule
24 that has consisted of legal and operational parameters.
25 The legal parameters have been primarily driven by

1 obligations under the CFJ and CD. The primary operational
2 parameters have been the engineering, construction, and
3 testing schedules for Bayside Units 1 and 2, the
4 reliability and availability of the Gannon Station units,
5 the safety concerns for operating personnel and an optimal
6 schedule for reassigning and retraining employees
7 currently working at Gannon Station for other positions
8 within the company. The company has always considered
9 this process to be fluid, recognizing there would be
10 matters that would arise that would require flexibility.

11
12 **Q.** What considerations ultimately influenced Tampa Electric's
13 selection of appropriate shutdown dates for Gannon Units 1
14 through 4?

15
16 **A.** As I previously stated, the company never anticipated or
17 planned for the shutdown of Gannon Units 1 through 4 to
18 occur exactly on December 31, 2004. In fact, Tampa
19 Electric made a determination that it would attempt to
20 keep the units running as long as reliably possible
21 without incurring significant expenditures given the age
22 of the units, the short remaining life and the associated
23 outage time necessary for any planned maintenance work.

24
25 The maintenance process became more deliberate and defined

1 as the construction of Bayside Units 1 and 2 advanced.
2 Forced outages became and continue to be more frequent due
3 to equipment issues such as weakened boiler cyclone and
4 furnace tubes. The weakened tubes have caused external
5 tube failures and gas leaks which have resulted in
6 decreased reliability and availability as well as an
7 increased potential for safety incidents. In light of
8 Tampa Electric's obligations to cease coal-fired
9 generation at the station and the age of the units, the
10 company determined that the most prudent approach to
11 maintenance was to use a "patch and go" approach which
12 required limited investment with minimal planned outage
13 time. The performance decline has impacted the company's
14 ability to plan and execute optimal operational strategies
15 that serve customers in the most cost-effective manner.

16
17 By the summer of 2002, Tampa Electric began to perform
18 detailed evaluations, considering numerous options, for
19 possible shutdown dates for Gannon Units 1 through 4 given
20 the successful implementation of the Bayside construction
21 schedule, Gannon units' declining reliability, the
22 potential for safety incidents and decreased output of the
23 units. The company ran multiple scenarios to evaluate
24 ratepayer impacts (including fuel and purchased power
25 costs), operation and maintenance ("O&M") impacts, and

1 wholesale sales opportunities for off-system sales.
2 Although the scenarios provided estimated dollar impacts
3 given various shutdown dates, the company remained
4 cognizant of the fact that the exact shutdown dates would,
5 to a certain extent, remain flexible.

6
7 By late 2002, it became apparent that the units needed to
8 be shut down in 2003. This realization was driven
9 primarily by four factors: the declining availability and
10 reliability of the units; the significant expenditures
11 that would need to be incurred in an effort to keep the
12 units running reliably; the potential for safety
13 incidents; and, the short window of time until the units
14 would be required to shut down under the CFJ and CD,
15 regardless of how much the company might invest in an
16 effort to keep them operating.

17
18 A formalized plan was developed that took into account all
19 of these considerations. On February 6, 2003, Tampa
20 Electric notified its employees that it planned to shut
21 down Gannon Units 1 and 2 on March 15, 2003 and Gannon
22 Units 3 and 4 in September 2003. On February 7, 2003, the
23 company notified the Florida Department of Environmental
24 Protection, the Environmental Protection Agency, and the
25 Department of Justice of its refined plans. On February

1 24, 2003 the company filed a petition for a fuel mid-
2 course correction, which included the shutdown of the
3 Gannon Units 1 through 4 as part of its system operations
4 plan for 2003.

5
6 **Q.** What are the safety concerns that have prompted early
7 closure of the Gannon units?

8
9 **A.** The majority of the operational and equipment concerns,
10 such as structural steel fatigue, boiler cyclone and
11 furnace tube deterioration, gas duct and boiler casing
12 deterioration that impact the units' reliability and
13 availability are directly related to the equipment age and
14 hours of service. As operational restrictions and
15 equipment failures have increased, the company has become
16 more concerned with potential safety incidents. For
17 example, all four units have experienced increased boiler
18 cyclone and furnace tube failures. Increased occurrences
19 of boiler furnace tube separation have led to external
20 leaks, which have increased the potential for harmful
21 gases such as SO₂, NO_x and carbon monoxide to be released
22 into work areas. Two of the units have experienced
23 external tube leaks, thereby increasing the potential for
24 exposure to steam leaks. In addition, boiler casing and
25 duct damage have the potential to expose asbestos

1 insulation. The company has taken steps to modify
2 operating parameters in an attempt to reduce the potential
3 for safety incidents while keeping the equipment
4 operating.

5
6 **Q.** On a unit-by-unit basis, what are the relevant reliability
7 concerns that have prompted the decision to shut down
8 Gannon Units 1 through 4?

9
10 **A.** As I have stated, the age of the equipment and hours of
11 operation are key factors impacting the units' performance
12 and reliability. Even though the company has taken steps
13 to modify operating parameters, boiler cyclone and furnace
14 tube failures pose significant reliability concerns for
15 the company. Over the last calendar year, boiler cyclone
16 and furnace tube failures have increased 300 percent at
17 Gannon Station. These failures along with equipment
18 fatigue and structural damage have resulted in significant
19 lost generation due to unplanned outages and have resulted
20 in the company modifying the operating parameters for each
21 unit.

22
23 Gannon Unit 1 was commissioned with a boiler design header
24 pressure of 1,750 pounds per square inch ("psi"). Prior
25 to being shut down, this unit operated at 1,200 psi to

1 reduce the likelihood of tube failures due to material
2 degradation and thinning, which reduces the boiler tubes'
3 ability to withstand pressure ("tube metal safety
4 factor"). Tube failures increased 1,025 percent from 2001
5 to 2002.

6
7 Gannon Unit 2 was commissioned with a boiler design header
8 pressure of 1,750 psi. Prior to being shut down, this
9 unit only operated at 1,000 psi to increase tube metal
10 safety factor. Tube failures increased by 832 percent
11 from 2000 to 2002. Another reliability concern was the
12 deteriorated condition of the last stage turbine blades,
13 which resulted in the tips of blades breaking off in
14 service. The third point feedwater heater had over 30
15 percent of its tubes plugged and the tube leaks presented
16 operational problems. Additionally, due to age, the
17 control wiring insulation at the turbine front standard
18 was in poor condition and continued to lead to electrical
19 grounds and problems with resetting the turbine prior to
20 startup.

21
22 Gannon Unit 3 was commissioned with a boiler design header
23 pressure of 2,175 psi. Currently the unit operates at
24 1,800 psi to increase tube metal safety factor. Tube
25 failures increased 1,450 percent from 2000 to 2002 and

1 boiler casing leaks have resulted in reduced generating
2 load because of carbon monoxide gas leaks in work areas
3 over the last three years. Also, the third point
4 feedwater heater has holes in the shell due to
5 deterioration and internal erosion.

6
7 Gannon Unit 4 was commissioned with a boiler design header
8 pressure of 2,250 psi. Currently the unit operates at
9 1,000 psi of pressure to increase tube metal safety
10 factor. Tube failures have increased 1,188 percent over
11 the last three years. The water walls and nose arch have
12 permanent internal hydrogen damage. Boiler casing leaks
13 have resulted in reduced generating load because of carbon
14 monoxide gas leaks in work areas and the third and fourth
15 point feedwater heaters are continually experiencing tube
16 failures which increase the risk of water induction damage
17 to the steam turbine. The fifth point heater has holes
18 through the shell that have resulted in water leaking into
19 the condenser. In addition, the last stage turbine blades
20 are in poor condition due to long-term erosion from
21 moisture in the steam.

22
23 Document No. 1 of Exhibit ____ (WTW-1) are graphs which
24 illustrate the aforementioned increasing number of tube
25 repairs, gas leak outages and structural work orders due

1 to material fatigue and erosion by unit.

2

3 **Q.** What are the estimated necessary expenditures to keep
4 Gannon Units 1 through 4 operating through 2004?

5

6 **A.** Given the current condition of these units, Tampa Electric
7 estimates that it would need to incur additional O&M
8 expense of approximately \$57 million to try to keep Gannon
9 Units 1 through 4 operating somewhat reliably beyond the
10 actual and currently planned shutdown dates and through
11 2004. Even this significant level of investment is not a
12 guarantee that Gannon Units 1 through 4 would operate at
13 planned availability levels due to the age of the units
14 and the performance declines that have been experienced,
15 as previously described.

16

17 **Q.** Are there additional costs that would need to be incurred
18 to keep the units running through 2004?

19

20 **A.** Yes. To the extent that the performance of the units
21 continues to decline despite investment in repairs and
22 maintenance, there would be additional costs incurred to
23 replace power during forced unplanned outages.

24

25 **Q.** Is there any flexibility in the planned shutdown schedule

1 for the units?
2

3 **A.** While the planned dates are relatively precise, the
4 company continues to recognize the need for the exact
5 shutdown dates to remain flexible to the extent that is
6 possible. For example, if there is a significant failure
7 of a unit prior to the planned shutdown of that unit, the
8 company will evaluate the failure and determine whether it
9 is prudent to make the necessary repairs. Similarly, if
10 the units are running and there are system or statewide
11 operational concerns that should be considered, the
12 company will reevaluate its decisions and may refine the
13 dates if appropriate.

14
15 **Q.** What action was taken or will be taken regarding the
16 employees at the various Gannon Station units?
17

18 **A.** Employees at Gannon Station are in International
19 Brotherhood of Electrical Workers ("IBEW") covered
20 operating positions. The Gannon/Bayside employee
21 transition plan involves employees located at Gannon
22 Station, Big Bend Station and TECO Stevedoring because
23 IBEW contractual agreements govern seniority and position
24 reclassification. Therefore, the company has entered into
25 an agreement with the IBEW to facilitate the

1 Gannon/Bayside staffing transition of covered employees.
2 Based on the required number of positions needed after the
3 transition, early retirement offers, voluntary separation
4 offers and re-deployment of employees into positions
5 within the company, there are no plans for lay-offs.
6

7 Q. Does this conclude your testimony?
8

9 A. Yes it does.
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 BY MR. BEASLEY:

2 Q Mr. Whale, would you please summarize your direct
3 testimony?

4 A Yes, I will.

5 Good morning, Commissioners. My name is Bill Whale,
6 and I'm Vice-president of Energy Supply Operations at Tampa
7 Electric. My direct testimony explains Tampa Electric's
8 decision to shut down the Gannon Units in 2003. My testimony
9 provides a description of Tampa Electric's decision-making
10 process, and describes the factors that form the basis for the
11 company's decision. Tampa Electric is obligated by the consent
12 decree with the EPA and a consent final judgment with the
13 Florida DEP to cease operating its coal-fired generation and
14 repower its units at Gannon Station.

15 Specifically, the consent decree requires Tampa
16 Electric to repower coal-fired generating capacity at Gannon
17 Station of no less than 200-megawatts by May 1st, 2003, as the
18 first phase of the repowering. To accomplish this and to meet
19 Tampa Electric's current and future generating capacity needs,
20 the company is repowering Gannon Station to clean-burning
21 natural gas-fired Bayside Station.

22 Tampa Electric determined that Gannon Units 5 and 6
23 would be repowered and has maintained a flexible schedule for
24 shutting down Gannon Units 1 through 4. Gannon Unit 5's steam
25 turbine generator and its associated auxilliary equipment,

1 together with three new combustion turbines and three new heat
2 recovery steam generators became Bayside Unit 1 and began
3 commercial operations on April 24th, 2003.

4 The Unit Number 6 steam turbine generator and its
5 associated auxilliary equipment, together with four new
6 combustion turbines and four new heat recovery steam generators
7 will become Bayside Unit 2 and will begin commercial operations
8 on January 15th, 2004.

9 Additionally, Bayside Unit 2 will also utilize
10 equipment from Gannon Unit 4. Therefore, the shutdown dates
11 for Gannon Units 4, 5, and 6 were driven by the repowering
12 construction activities. Bayside Units 1 and 2 will have a net
13 capacity of 1,598 megawatts in the summer, and 1,801 megawatts
14 in the winter. This provides a net 579-megawatt capacity
15 increase in the summer, and a net 758-megawatt capacity
16 increase in the winter when compared to Gannon Station.

17 Units 1 through 3, the other three units at Gannon
18 Station, had a combined total capacity of 349-megawatts prior
19 to shutdown. Tampa Electric made the determination, given the
20 age of the units and the fact that they must be shutdown, the
21 company would attempt to keep the units running as long as
22 reliably and safely possible without making large investments
23 in them. It's important to keep in mind that these units have
24 been operating for a long time and that they could no longer
25 burn coal due to the consent decree and consent final judgment.

1 Gannon Unit 1 was commissioned in 1957, Gannon Unit 2 was
2 commissioned in 1958, Gannon Unit 3 was commissioned in 1960,
3 and Gannon Unit 4 was commissioned in 1963. During 2002,
4 forced outages at Gannon Station became and continue to be more
5 frequent due to equipment issues, such as boiler tube failures,
6 feed water tube failures, boiler casing leaks, structural steel
7 deterioration, and steam turbine problems.

8 To address the operational and reliability issues
9 that Tampa Electric experienced at Gannon Station, the company
10 adopted a patch and go maintenance strategy. The benefits of
11 this strategy were two-fold. The first benefit was greater
12 availability of the units because they would be not taken
13 off-line for extended planned outages that would have been
14 required for substantial repairs and component replacements.

15 The second benefit was that Tampa Electric was able
16 to invest in other units that would be able to continue
17 operating in the future. The needed improvements to the Gannon
18 units, if made, would have had expected service lives of ten
19 years or more, and therefore those investments that would have
20 been made would have been lost with the required near-term
21 shutdown of the Gannon units.

22 In the second half of 2002, the company began
23 evaluating time frames to shut down the units. There were
24 several primary factors that when viewed collectively required
25 that the units should be shut down in 2003. The declining

1 availability and reliability of the units, the significant
2 expenditures that would be required to keep the units running
3 reliably, the potential for safety incidents, the short window
4 of time until the units would be required to be shut down by
5 the consent decree and the consent final judgment, and a need
6 for a smooth transition with our work force. Tampa Electric
7 evaluated a number of scenarios to determine the best shutdown
8 schedule that took into account safety, reliability, other
9 operational factors, and the estimated impact to its customers.

10 From an employee standpoint, the Gannon Station
11 employees are covered by the International Brotherhood of
12 Electrical Workers. Due to the number of positions required at
13 Bayside after the transition, Tampa Electric entered into an
14 agreement with the union to facilitate the Gannon/Bayside staff
15 transition. The transition plan included early retirement
16 packages, voluntary separation offers, displacing contractors,
17 using overtime for existing employees, and movement of
18 employees to different departments or stations within Tampa
19 Electric. These actions resulted in there being no need for
20 layoffs to accomplish the employee transition.

21 Although the EPA consent decree and the DEP consent
22 final judgment required Gannon Station to cease burning coal by
23 December 31st, 2004, the company never intended that Gannon 1
24 through 4 would operate right up until midnight of that night.
25 In fact, the consent decree and consent final judgment used the

1 language on or before December 31st, 2004. Tampa Electric's
2 actions have been diligent and prudent as the company carefully
3 considered all the factors that I have described, and has
4 finalized the Gannon-to-Bayside transition plan.

5 That concludes my summary.

6 MR. BEASLEY: We tender Mr. Whale for questions.

7 CHAIRMAN JABER: Thank you, Mr. Beasley. Mr.
8 Vandiver.

9 CROSS EXAMINATION

10 BY MR. VANDIVER:

11 Q Good afternoon, Mr. Whale.

12 A Good afternoon.

13 Q Mr. Whale, on Pages 3 and 8 of your direct testimony
14 you discuss the shutdown dates for Gannon Station, I believe,
15 sir?

16 A Was that Page 3?

17 Q Yes, sir. Page 3 and Page 8. And I just want to pin
18 down the exact dates that Gannon 1, and 2, and 3, and 4 were
19 shut down, sir. If we could start with 1 and 2?

20 A That would be fine. Gannon 1 and 2 were shut down on
21 April 7th, Gannon 2 was shut down on April 9th, Gannon 4 was
22 shut down on the 12th of October, Gannon 3 was shut down on the
23 24th of October.

24 Q All right, sir. And then on Page 8, starting on Line
25 22 you described your agreements with EPA and DEP that required

1 you to replace 200 megawatts of coal-powered generation at
2 Gannon by May 1st, 2003?

3 A That's correct.

4 Q And that was the sole requirement for gas powered
5 generation under the consent decree, is that correct?

6 A There was a requirement of December 31st of 2004 to
7 have 500 megawatts repowered.

8 Q Yes, sir. And did you comply with that requirement
9 by converting Gannon 5 to gas in early 2003?

10 A Yes.

11 Q And the other major requirement under the consent
12 decree was to cease coal operations at Gannon Station no later
13 than December 31st, 2004?

14 A On or before, yes.

15 Q Okay. And on Page 9, starting at Line 18, you state
16 that it was your goal to keep Gannon Units 1 through 4 running
17 as long as reliably possible, is that correct?

18 A That's correct. Without incurring significant
19 expenditures, correct.

20 Q I want to hand you a document now. This was provided
21 to us in our request for production of documents. This is
22 Bates stamped 2644 and 2645. I'm going to give it to the
23 Commissioners and the parties and let you take a look at it,
24 sir. Who is Chuck Hemrich?

25 A Chuck Hemrich was the engineering manager at Gannon

1 Station.

2 Q And who is Karen Sheffield?

3 A Karen Sheffield was the plant manager.

4 Q This is dated August 10th, 2002?

5 A The date of this is August 7th, 2002.

6 Q Thank you. And did you receive a copy of this memo?

7 A It's addressed to me, I don't remember the memo.

8 Q Okay. And this memo is an evaluation of the budget
9 needs for Tampa Electric regarding Gannon Station maintenance
10 for 2003/2004?

11 A It's listed in the discussion of 2003/2004 O&M.

12 Q Okay. And I direct your attention to the first two
13 lines of the second page. And does that outline the
14 maintenance and budget needs to prepare Gannon Station for an
15 18-month run with minimal cost clean-up in 2004 on each unit?

16 A It states the cost for an 18-month run clean-up, yes,
17 it does.

18 Q All right. And so I know that you were looking at a
19 lot of scenarios at this point in time, were you not?

20 A That is correct.

21 Q And so this particular scenario was to run Gannon 1
22 through 4 well into 2004, was it not?

23 A For 18 months at the time. Yes, that would be --
24 from August 7th there that would be into 2004.

25 Q Okay. I would like to go back to your testimony now,

1 but, again, the reference here, I just want to direct your
2 attention now, the outage work here, the outage work here
3 needed for repair of cyclones, duct work, screen, what kind of
4 cost are we looking at there, sir?

5 A According to this document it says the cost of the
6 2003 outage is \$4 million.

7 Q All right, sir.

8 A According to this document.

9 Q Thank you. And that was an August 2002 estimate?

10 A That's correct.

11 Q I would like to go back to your testimony now, sir.

12 And I would direct your attention to Page 10, Lines 9 through
13 13. And you state you decided the best way to achieve your
14 goal was patch and go, sir?

15 A That's correct.

16 Q Can you please describe the patch and go strategy for
17 maintenance?

18 A The patch and go strategy for maintenance was if a
19 unit came down, we would do the repairs necessarily to get the
20 unit turned around as soon as possible. It was not a strategy
21 of going in and keeping the unit down for long planned outages
22 and do major change-outs. We found that that strategy was
23 going to provide a higher availability of the unit on a
24 short-term basis versus a longer-term basis. So we adopted the
25 patch and go strategy for that time period.

1 Q And the patch and go strategy, as I understand it,
2 would necessarily -- or would it involve deferring planned
3 outages?

4 A The patch and go strategy would help as far as
5 avoiding long planned outages. It was work that could be done
6 during forced outages when the units came off. Due to the
7 frequency of those forced outages, we would do that work at
8 that time and avoid those major planned outages.

9 Q Okay. And on Pages 11 through 15 you state all of
10 the reliability, availability, and safety factors that
11 influenced your decision to shut down Gannon Station earlier
12 than originally planned, is that correct?

13 A Correct.

14 Q And then on page -- specifically on Page 13 you speak
15 of reliability, is that correct?

16 A Reliability, yes.

17 Q Okay. And there are several measurements that you
18 used to measure reliability and availability, is that correct?

19 A We primarily use EAF, which is equivalent
20 availability factor of the unit. That is the primary one.

21 Q All right. And on-peak availability is one of those
22 measurements, is it not?

23 A On-peak availability is really a measure of how
24 reliable the units are for a particular peak when the native
25 load of Tampa Electric exceeds 2,900. It is a new measure that

1 we have used.

2 MR. VANDIVER: Okay. I'm going to hand you another
3 document, sir. Now, I need to preface this with an explanation
4 to the Commission. This identical chart is shown in Mr.
5 Zaetz's testimony at Page 9 of 45. And that is a confidential
6 document. The document that I am handing out is not
7 confidential. This was given to us in our production of
8 documents by Tampa Electric Company. This is Bates stamped
9 2479, and, Mr. Beasley, this is a white page. It is identical
10 to what is in Mr. Zaetz's testimony.

11 And I am going to have Mr. Poucher give you a copy of
12 Mr. Zaetz's testimony, Mr. Whale, and let you compare these two
13 and just assure yourself that they are the same piece of paper.

14 But, again, Commissioners, this is not a confidential
15 document.

16 And, Mr. Beasley, this was in the white pieces of
17 paper that you produced to me, and it is not confidential. So
18 just for walking around and talking about it here, I thought it
19 would be easier for our discussion to refer to a
20 nonconfidential piece of paper.

21 MR. BEASLEY: Sure, I will take your word for it. We
22 will be glad to do that.

23 MR. VANDIVER: Okay. Thank you.

24 MR. BEASLEY: We produced probably about 16,000
25 pages, I assume this was in that somewhere.

1 MR. VANDIVER: In the rush of the thing, I thought it
2 would be a lot easier for hearing purposes to talk about
3 something that was nonconfidential. We have several of these
4 that we are going to walk through, and I just thought it would
5 be easier for the Commission to look at something that was not
6 confidential instead of having to refer to X and all of that.

7 CHAIRMAN JABER: Thank you, Mr. Vandiver.

8 MR. VANDIVER: Thank you.

9 BY MR. VANDIVER:

10 Q And I just wanted to give you a second, Mr. Whale, to
11 look at Mr. Zaetz's there and satisfy yourself that that is, in
12 fact, the same document. And if you look at WMZ-1, Page 9 of
13 45, and compare that to this page, and just satisfy yourself
14 that that is, in fact, identical. I think the date up there in
15 the right-hand corner may be different, but I think we looked
16 at them and satisfied ourselves of it.

17 A Yes.

18 Q Okay, sir. We are going to have to do this one more
19 time, but --

20 A That's fine.

21 Q Now, Mr. Whale, do you recognize this document, this
22 OPA document?

23 A Yes, I do.

24 Q And is it a normal document prepared by -- is it a
25 document prepared by Tampa Electric Company in its normal

1 course of business?

2 A We track OPA. This particular document is a specific
3 one the general manager prepared for that particular station at
4 that time.

5 Q Okay. And is this chart part of the Gannon 2003
6 business plan?

7 A Yes, it was.

8 Q With that introduction, Mr. Whale, could you tell me
9 what the peak availability percentage for Gannon was in 2001?

10 A This graph is for Gannon Station proper, so it has
11 got Gannon 5 and 6 embedded into this particular graph. This
12 is not a graph of 1 through 4, so we need to keep in mind that
13 we are looking at a Gannon Station proper, not 1 through 4.

14 Q So it is all six units?

15 A This is all six units displayed here.

16 Q Okay. And I guess the analysis down there reflects
17 that -- reflects that the drop in OPA is due to the decreasing
18 O&M and capital budgets, and is that a reflection -- is that
19 one side of the coin of the patch and go that you referenced
20 earlier?

21 A The patch and go maintenance practice did avoid
22 spending major capital investments and replacing components
23 that would not be -- again, we would be shutting down and those
24 components would not have the useful life utilized for them.
25 The patch and go was more of a maintenance cost, but kept the

1 availability of the units during the short time period that we
2 saw them running.

3 Q Okay. Now, I think you are going to disagree with
4 this statement. Isn't OPA the most important indicator,
5 important measure for plant performance and reliability?

6 A No, it is just one of many. Again, as far as total
7 availability of the units, EAF, which is equipment availability
8 factor, is the most important of the availability factors. OPA
9 just gives us a measure of when the peaks are coming in, how we
10 are addressing the peaks.

11 Q Who is Buddy Maye?

12 A Buddy Maye is the president and general manager of
13 Bayside and Gannon.

14 Q And Mr. Maye told me in his deposition that he has
15 worked at Gannon for about the past 20 years, isn't that
16 correct?

17 A A long time, yes.

18 Q Yes, sir. I'm going to hand you a copy of Mr. Maye's
19 deposition, and I am going to refer you to a section of that.
20 Specifically, Page 37. And take a look at Lines 15 and 16
21 there. Can I get Mr. --

22 MR. VANDIVER: In fact, Commissioners, I have been
23 rather remiss thus far in my cross. I need to get all of these
24 things marked as an exhibit, Madam Chairman, if I could. I
25 think the next number was 14. I have not done a very good job

1 of getting these things marked.

2 CHAIRMAN JABER: Okay. Let me have a short title,
3 Mr. Vandiver, on the -- what looks like an e-mail cover page
4 from Mr. Hemrich.

5 MR. VANDIVER: Yes. That would be the -- let's call
6 that the Hemrich memo. However you pronounce this gentleman's
7 name. Maybe you could help me, Mr. Whale. Chuck Hemrich?

8 THE WITNESS: I'm sorry, repeat the question.

9 MR. VANDIVER: How do you pronounce Mr. Hemrich's
10 name?

11 THE WITNESS: H-E-M-R-I-C-H.

12 MR. VANDIVER: And that would be Exhibit Number 14, I
13 believe.

14 CHAIRMAN JABER: The August 7th, 2002 Hemrich is
15 Exhibit 15.

16 MR. VANDIVER: And then I believe the next one was
17 the OPA, which would be 16.

18 CHAIRMAN JABER: Okay. The on-peak availability
19 document dated March 12th, 2003 --

20 MR. VANDIVER: Would be Number 16.

21 CHAIRMAN JABER: -- is identified as Exhibit Number
22 16.

23 MR. VANDIVER: And now the Buddy Maye deposition
24 would be Number 17.

25 CHAIRMAN JABER: You didn't want the EAF document?

1 MR. VANDIVER: Not yet. It's next.

2 CHAIRMAN JABER: And the date of the deposition is
3 what, Mr. Vandiver?

4 MR. VANDIVER: I believe it is May 13th. May 13th.

5 CHAIRMAN JABER: May 13 deposition transcription of
6 Buddy Maye, M-A-Y-E --

7 MR. VANDIVER: M-A-Y-E.

8 CHAIRMAN JABER: -- will be identified as Exhibit
9 Number 17.

10 (Exhibits 15 through 17 marked for identification.)

11 MR. VANDIVER: Thank you, Madam Chairman.

12 BY MR. VANDIVER:

13 Q And there back at Mr. Maye's deposition, I believe I
14 asked him -- I asked him what he thought the most important
15 reliability factor was, and he opined that it was, in fact,
16 OPA, did he not?

17 A Yes, he has. In his deposition he said OPA, on-peak
18 availability.

19 Q And that was Mr. Maye's opinion?

20 A That's correct.

21 Q And I believe in your deposition that we just did
22 earlier this week, I asked you the identical question, did I
23 not?

24 A I don't remember.

25 Q Okay. Can we get Mr. Whale a copy of his deposition,

1 please, and I believe that would be number --

2 CHAIRMAN JABER: I will worry about the numbers, you
3 worry about getting me the documents.

4 MR. VANDIVER: Yes, ma'am. It's coming.

5 BY MR. VANDIVER:

6 Q And if we could take a look at your deposition, I
7 think that is on Page 36 at Line 22. I asked you the identical
8 question, and you opined that EAF was the most important one.

9 A Repeat that page again.

10 Q Yes, sir. Page 36 at Line 22. I asked you the same
11 question. I said almost the identical question.

12 A It starts on Page 35, not 36.

13 Q I apologize.

14 A Yes, I've got it.

15 CHAIRMAN JABER: Mr. Vandiver, let me get caught up
16 with you.

17 MR. VANDIVER: Yes, ma'am.

18 CHAIRMAN JABER: The transcript you just handed out,
19 the deposition transcript of Mr. Whale, did you want that
20 identified as an exhibit?

21 MR. VANDIVER: Yes, ma'am.

22 CHAIRMAN JABER: Okay. The October 28th, 2003, depo
23 transcript for William Whale is identified as Exhibit Number
24 18.

25 (Exhibit 18 marked for identification.)

1 CHAIRMAN JABER: Now, I confess I didn't hear your
2 question, so I need you to repeat your question.

3 MR. VANDIVER: Okay.

4 BY MR. VANDIVER:

5 Q I asked Mr. Whale, I said in your deposition you
6 stated that you thought the equivalent availability factor, or
7 EAF, was the most important factor, is that correct?

8 A That is correct.

9 Q Okay.

10 MR. VANDIVER: And at this juncture, Commissioners, I
11 know we are putting in a lot of paper, but this is the last one
12 for awhile. I wanted to introduce the EAF chart and go to
13 that, since we were on this subject. And I guess the next
14 number --

15 CHAIRMAN JABER: Okay. The equivalent availability
16 factor document dated March 12th, 2003 will be identified as
17 Exhibit Number 19.

18 MR. VANDIVER: Thank you.

19 (Exhibit 19 marked for identification.)

20 BY MR. VANDIVER:

21 Q And do you have that document, Mr. Whale? I know it
22 is a lot of paper at one time.

23 A Bates stamped 1817.

24 Q Yes, sir.

25 A Okay.

1 MR. VANDIVER: And, Mr. Beasley, for your
2 information, there is an identical thing in Mr. Zaetz's exhibit
3 Page 3 of 45. And, again, that is a confidential exhibit.

4 MR. BEASLEY: That's fine. We will agree to the same
5 thing you did on the earlier one.

6 MR. VANDIVER: Fair enough. This is not
7 confidential, but it is contained in his confidential exhibit,
8 again. There was a lot of paper flying around with our
9 production of documents.

10 CHAIRMAN JABER: Okay.

11 BY MR. VANDIVER:

12 Q And, again, Mr. Whale, except for the dates and Bates
13 stamped pages, do you believe these pages to be identical?

14 A Yes.

15 Q Okay, thank you. Now, this chart is also a part of
16 the Gannon business plan and prepared in the normal course of
17 business by Tampa Electric employees?

18 A That's correct.

19 Q Okay. And you recognize this chart, as well, do you
20 not?

21 A Yes, I do.

22 Q And at the bottom of this page, does the analysis
23 reflect that the equivalent availability factor is 3.5 percent
24 better than last year and 1.1 percent better than the five-year
25 average?

1 A Yes, it says that.

2 Q Okay. And this, in your mind, is the most important
3 reliability factor and it reflects an improving Gannon Station,
4 does it not?

5 A Yes. This document is a Gannon Station -- again,
6 this is not -- this has got all the units, Gannon 1 through 6
7 involved in it. And the improvement in 2002 -- now, the 2002
8 is a 9 plus 3, so it has got three months of projection. But,
9 again, it was due to the patch and go was working as far as
10 keeping the units available versus the planned outages. This
11 is really the whole station. If you have the interrogatories,
12 you will see that there are specifics on Gannon 1 through 4
13 that shows them down into the 60s.

14 Q Okay. Mr. Maye suggested that the dip in 2000 was
15 due to the after effect of the Gannon 6 explosion, do you
16 agree?

17 A Repeat that question.

18 Q Yes, sir. The dip in 2000 there, Mr. Maye suggested
19 that that was due to the after effect of the Gannon 6
20 explosion. Do you agree with that?

21 A The Gannon 6 explosion occurred in the earlier part.
22 The 2000 dip was primarily due to a generator issue on Gannon
23 Number 6.

24 Q Okay. If we could go to Page 16 of your testimony,
25 please, sir. You state that it would cost 57 million, I think

1 it is 57.4 to keep Gannon 1 through 4 operating somewhat
2 reliably, is that correct?

3 A That's correct.

4 Q And I think we established in your deposition that
5 somewhat reliably meant an EAF this same -- this equivalent
6 availability factor of 80 to 85 percent, is that correct?

7 A Correct.

8 Q Okay. Now, at this time I would like to refer you to
9 Mr. Majoros' testimony, if I could, sir, because this EAF
10 factor is a very important thing and it is used throughout the
11 testimony. And specifically I would like to go to -- I think
12 it is MJM-6. And the MJM-6, I believe -- this document, the
13 MJM-6 document, this is a Tampa Electric document, is it not,
14 sir?

15 A Yes, it is.

16 Q Okay. And this 80 to 85 percent reliability on Bates
17 stamped 2289 and the next page, the 60 percent availability,
18 that is also the EAF number, is it not?

19 A That is correct.

20 Q Okay, sir. Now, do you think it is realistic to
21 expect Gannon 1 through 4 to perform at an EAF of 80 to 85
22 percent?

23 A Yes, I do. Gannon Station had performed at an 80
24 percent availability. As far as Gannon 1 through 4, they have
25 done it before.

1 Q When did they do it?

2 A In 1999, Gannon 1 was 83.5, Gannon 2 was 88.5, Gannon
3 was 86.0. Gannon 4 did not do it, it was 69.5 that
4 particular year. The '95 to '98 average for Gannon 4 was 97.9.

5 Q Could we go to Page 80 of the deposition of Buddy
6 Maye, please, sir.

7 A Page 80 of my deposition?

8 Q No, sir, of Buddy Maye's deposition.

9 A All right.

10 Q Now, we are referencing there -- I think we need to
11 start on Page 79, sir. And if you look at the bottom of Page
12 79 at Lines 22 through 25. Are you with me, sir?

13 A Yes, I am.

14 Q Okay. And do you see the question there?

15 A Yes, I do.

16 Q Okay. And following on the next page?

17 COMMISSIONER BRADLEY: The question that you are
18 referring to, is that on Line 21?

19 MR. VANDIVER: Yes, sir. Where I say okay, sir, yes.
20 And following on to the next page.

21 BY MR. VANDIVER:

22 Q And following on to the next page there at Line 22 on
23 Page 80, how realistic is it for the Gannon units to run at 85
24 percent capacity today.

25 A Yes, I see that.

1 Q And what was Mr. Maye's answer there?

2 A "It is not very realistic. And really that's what
3 this document represents. It comes at a significant price."

4 Q And could you read the next question and answer,
5 please.

6 A "Right. And do you believe it to be, in your expert
7 opinion to be cost-effective to run Gannon units at 85 percent
8 availability?"

9 Q Could you read the answer, please.

10 A "At this point in time only being permitted in any
11 shape or form not to run past December 31st of 2004, it is not
12 a wise investment."

13 Q And the next question and answer, please.

14 A "It wouldn't be cost-effective, and you wouldn't
15 recommend it to anyone to run them at 85 percent capacity and
16 to spend this money?"

17 Q And the answer.

18 A "No."

19 Q Okay. And you disagree with that, sir?

20 A No, I don't disagree with it. The units can run at
21 85 percent, but you would have to have the investment that we
22 stated to reach that 85 percent.

23 Q Okay. So, I guess my question is the -- your
24 testimony says to get these units operating somewhat reliably
25 it would cost \$57.4 million, and to try and keep them operating

1 beyond the actual current planned shutdown dates, and you agree
2 that it would not be a wise investment?

3 A The investment that would be required on the
4 particular units, the patch and go repairs were only going to
5 get to a certain point to where we could not continue to do the
6 patch and go repairs, and that is where we were going to have
7 to go into major component change-outs, which is going to be a
8 large capital investment.

9 And at that point you are having to make that
10 investment. And for the time period that the units would be
11 available to run, it wouldn't be a wise investment. One,
12 because there would be a substantial planned outage required of
13 which we would have to work into the outage schedule which
14 would mean purchasing power. Two, there would be at least a
15 six-month procurement process, if we could obtain the tubes
16 domestically.

17 And today where there is not a lot of suppliers, we
18 would have to go international to obtain the tubes. And that
19 is just to address the cyclones. That is not addressing the
20 other issues associated with the units, and that would be an
21 impractical approach.

22 Q Okay. Now, the significant difference, looking at
23 Mr. Majoros' testimony, the significant difference, and as I
24 understand it, we talked about it a little bit in your
25 deposition, the difference between the 80 to 85 percent

1 availability that was prepared here in Mr. Majoros' testimony
2 in March, and the 57 million which I understand was prepared in
3 September -- I don't want to get into your rebuttal, but that
4 was prepared in September.

5 A Right.

6 Q Is basically the difference between the 80 to 85
7 percent on 2289 and 2290 is the cyclones, is that correct?

8 A That's correct. That is the bulk of it is replacing
9 the cyclones.

10 Q Yes, sir. And as I understand of the cyclone issue,
11 there is a total of 14 cyclones in the four Gannon units, is
12 that correct?

13 A Thirteen; not 14, 13.

14 Q Thank you.

15 CHAIRMAN JABER: Mr. Vandiver, when you get to the
16 point where it makes sense to take a break, we will go ahead
17 and break for lunch.

18 MR. VANDIVER: Okay. Maybe we can break after this
19 cyclone deal. Madam Chairman, I hope you are keeping track of
20 the numbers.

21 CHAIRMAN JABER: Yes.

22 MR. VANDIVER: Good. I will wait until Mr. Poucher
23 has finished handing this out.

24 CHAIRMAN JABER: Mr. Beasley, do you have a copy of
25 the exhibit now?

1 MR. BEASLEY: I do.

2 CHAIRMAN JABER: Okay.

3 THE WITNESS: Commissioners, let me make a change.
4 There are 14 cyclones. I was confused. Gannon Number 3, I
5 thought, had three cyclones; it has four.

6 MR. VANDIVER: If we can get a copy to Mr. Maye.

7 CHAIRMAN JABER: Mr. Beasley, you said you have a
8 copy of the last document handed out?

9 MR. BEASLEY: Yes, ma'am.

10 CHAIRMAN JABER: Okay. The March 3rd, '03, e-mail,
11 it looks like, from Mr. Edwards to Mr. Maye and others will be
12 identified as Exhibit Number 20.

13 (Exhibit 20 marked for identification.)

14 BY MR. VANDIVER:

15 Q Mr. Whale, I have given you an e-mail from Gene
16 Edwards to Buddy Maye, to himself, John Knight, and Tim Panoff.

17 A That's correct.

18 Q You were copied on it, sir?

19 A Yes, I am.

20 Q A long time ago?

21 A Uh-huh.

22 Q March of '03. Can you identify this for me, please,
23 sir?

24 A Yes. It is an e-mail from Gene Edwards to Buddy
25 Maye, himself, John Knight, and Tim Panoff.

1 Q And this is the underlying -- this is about cyclone
2 repair, is it not, sir?

3 A That is correct.

4 Q And this references that there are, in fact, 14
5 cyclones at the four units, is that correct?

6 A That's correct.

7 Q And it is my understanding that this is the
8 underlying basis for the \$21 million figure?

9 A I don't know that for a fact.

10 Q But is it your testimony that each one -- well, there
11 is 14 cyclones at 1.5 million per cyclone to repair them, that
12 would come out to about \$21 million?

13 A If you say it adds up. I don't have a calculator
14 here with me.

15 Q I don't, either. I'm just kind of eyeballing it.
16 I'm curious as to did all 14 cyclones wear out at the same
17 time?

18 A All four units were experiencing problems with
19 cyclone issues. The cyclones, themselves, were wearing; they
20 had a different rate of wearing. I see on here that it says
21 the cyclones were last replaced in the 1993/'94 time period.
22 That is incorrect. Gannon 1 and 2 were changed out in 1976.

23 Q So Units 1 and 2 were replaced in '76. Do you know
24 when Units 3 and 4 were replaced?

25 A Units 3 and 4 were changed out in 1991 and 1994.

1 Units 3 and 4 had a different wear rate it appears. In '76 to
2 '85, the units were experiencing oil conversion of which the
3 cyclones were changed out, and oil conversion doesn't -- when
4 you're burning oil in the cyclones, it is not as wearing as
5 coal is. And when we changed them over to coal, that is when
6 the wear starts taking on them, and that was done in '85. The
7 cyclones on 3 and 4, for whatever reason, didn't last as long,
8 and they had to change it out in '91, and then we experienced
9 the same problems with them rolling into 2000.

10 Q So it is your testimony that all 14 -- you had no
11 alternative but to replace all 14 of them at a cost of \$21
12 million, correct?

13 A To obtain the reliability that we needed, yes, that
14 is correct. The cyclones, it reached a point where we had so
15 many tube leaks in them that we were not able to sustain fire
16 in the cyclone. We had several cases where the tube leaks were
17 actually blowing the flames out, and we couldn't hold it on
18 line. So you reach a point where when you can't even hold the
19 water and hold the flame, you have got to take the unit off and
20 go in and do a patch and go. And that is a technique called
21 pad welding.

22 CHAIRMAN JABER: What part of the unit is the
23 cyclone? Remind me what it looks like.

24 THE WITNESS: The cyclone is in the front of the
25 unit. These are different than the Riley turbos that have a

1 fire from both sides and are spinning. These are right on the
2 front. The coal drops in, it spins the coal in that particular
3 component, and completes combustion, and then blows out into
4 the furnace, and then out through the convection pass.

5 CHAIRMAN JABER: Is there a standard period of time
6 they are supposed to operate without replacement or any sort of
7 patch work?

8 THE WITNESS: You look 10 to 15 years on a boiler
9 component to last. Different ones will go a little longer or a
10 little less, depending on whether some other mechanisms come
11 into play. On these particulars we had the wear of the coal,
12 but we also started having issues of pluggage. These tubes are
13 very old, and the material inside is getting into the water
14 circuits which plugs the tube, and then when you have it hot on
15 the outside and it is plugged and it doesn't have the water to
16 cool it, and then the tube fails.

17 We also had another issue called hydrogen
18 embrittlement enter into it, and that is because of the
19 condensers that were leaking, and it was disrupting the border
20 chemistry and causing problems there. So we had some multiple
21 mechanisms giving us problems with the cyclones.

22 CHAIRMAN JABER: And forgive my ignorance on this
23 issue, are cyclones readily available in the industry or did
24 you have to be on a waiting list?

25 THE WITNESS: No, Chairman, those are special order

1 components. They have to fabricate them. Nobody has those
2 sitting on stock. They are rather large. They are about 200
3 foot in diameter, and they have to be manufactured and
4 assembled.

5 CHAIRMAN JABER: So did you have to preorder them
6 well in advance to be able to replace all 14?

7 THE WITNESS: Yes, you do. You have to order them
8 well in advance. Again, one, you have just got to find
9 somebody that has these tubes available. Let me give you maybe
10 a visual help. This is a brand new cyclone tube. You can see
11 that it has got studs on it. You can see it is rather thick
12 because of the pressures that it is dealing with, and it
13 doesn't have a large area for water to flow which causes the
14 pluggage problem.

15 CHAIRMAN JABER: You didn't just preorder the cyclone
16 tubes, you ordered the entire unit?

17 THE WITNESS: You order the entire units.

18 CHAIRMAN JABER: And how far in advance did you have
19 to preorder?

20 THE WITNESS: We did not make this order because of
21 the fact of knowing how long it would take. We look at a
22 minimum of six months just to get the order in. That is not
23 the outage period to install them, which would be much longer.

24 CHAIRMAN JABER: And how much longer?

25 THE WITNESS: That would be least a 7 to 8 week

1 planned outage. Forty-nine days is what we kind of estimated.
2 That is a very aggressive schedule.

3 These are the cyclone tubes out of Gannon 4 that we
4 cut out. If you will notice, one, there is an immense amount
5 of erosion on the top of them. If you will also look, these
6 massive metal humps where you would normally have studs is
7 where the welders have gone in and tried to patch that. If you
8 will notice there is a major crack going through there. And
9 what we do is just go in and weld there versus trying to cut
10 all these tubes out in this large diameter and replace the new
11 one.

12 CHAIRMAN JABER: Mr. Whale, let me interrupt you,
13 because I know I'm about to get an objection. I just wanted to
14 know for the sake of going forward what the cyclone unit looks
15 like. Let me let your attorney do that stuff on redirect, if
16 it is necessary. You are going outside the scope of my
17 question. And you stand between us and lunch.

18 Mr. Vandiver, go ahead.

19 MR. VANDIVER: Okay.

20 BY MR. VANDIVER:

21 Q So you had no alternative but to replace all 14?

22 A We had reduced header pressure. As we started having
23 tube failures with these units, we went into the patch and go,
24 but we also went into a technique of reducing the header, which
25 is reducing the internal steam pressure within the tubes, to

1 try to buy some more safety margin. We had dropped -- there is
2 only a certain point that you can do that. That also provided
3 us a safety margin for some of the tube failures that we were
4 experiencing on the external side of the boilers.

5 We had gotten down as far as we could go in reducing
6 that header pressure, and the pad welds as far as we had gone
7 with that, and we were left with really no other alternative
8 than to say we are going to just either start it up and run it
9 for 24 hours, come back down, and send a bunch of welders in
10 and pad weld it, start it back up and come back down. And it
11 wasn't working anymore.

12 Q I'm curious as to your 85 percent call. Looking at
13 the EAF, it looks to me like Gannon for the past five years was
14 nowhere close do 85 percent. And it looks like now all of a
15 sudden we are trying to run Gannon at 85 percent. And I'm
16 curious as to why all of a sudden we are trying to run Gannon
17 at 85 percent.

18 A Again, that system graph, that is a system graph that
19 has Gannon 1 through 6 in it. Gannon 1 through 4 had ran at
20 the 83 and 88 percent. Again, that had Gannon 5 and 6 in it
21 which was major problems as far as those units, and those are
22 the reasons we repowered them. Gannon 1 through 4 had run at
23 the 80 percent availability.

24 The other trick about the 80 percent availability is
25 that gives a high confidence factor in planning what we are

1 going to do as far as the system. When we are taking these
2 units and saying that we are going to depend on them and they
3 are not there, then we end up having to go out and purchase
4 power on the spot market and those things, which is not in
5 the -- it really creates a lot of problems in the planning
6 process.

7 Q Aren't Gannon 5 and 6 the newest of the units? I
8 mean, 1 and 2 were built first, right, then 3 and 4, then 5 and
9 6?

10 A Correct.

11 Q It seems contraindicated that 5 and 6 would be the
12 worst.

13 A Gannon 5 and 6 are a different designed boiler.
14 Those are Riley turbo-fired boilers, and those particular
15 boilers had different mechanisms that cause problems with them.
16 They had much higher capacity. And when those things went off,
17 that really impacted the availability of Gannon because of the
18 fact the equation is based on both the megawatts and the
19 availability. Gannon 6 is a 360-megawatt machine. When that
20 one came off, that was like 2 or 2-1/2 of Gannon 1 and 3. So
21 it did impact the availability of the units.

22 Q Back to the Exhibit Number 14 or 15, the Chuck
23 Hemrich memo where you were looking at the \$4 million estimate,
24 to do some of this cyclone repair work for \$4 million?

25 A That was repairs to cyclone duct work, screen weld

1 equipment. That was some general line items that they had just
2 identified for those dollars.

3 Q So things really changed a lot in the six-odd months
4 between August and March?

5 A During 2002, again, they were looking at -- we were
6 trying to evaluate what is the best place to put money along
7 with several other factors. We had the safety, we had the
8 reliability, we had the construction issues, and our employee
9 issues to deal with. This was just one piece of it.

10 We went into those looking at the outages, doing the
11 best that we could within the 28 days. We also had the
12 problems in those years of trying to fit these outages in at
13 the same time that we got the Big Bend outages. As a choice
14 between doing work on Big Bend or doing work on Gannon, the Big
15 Bend units had much more capacity on them and much more as far
16 as time and life. So we were going to address the Big Bend
17 units versus the Gannon units, if there was a choice of that
18 outage time period.

19 CHAIRMAN JABER: Mr. Vandiver, we are going to stop
20 right here and come back at 2:15. Thank you.

21 MR. BADDERS: If I may, we actually would like to
22 waive other cross-examination on Issue 30, of the witnesses on
23 Issue 30, and I would ask to be excused.

24 CHAIRMAN JABER: Mr. Badders, remind me. Issue 30
25 you wanted to initially stick around because you weren't sure

1 if there would be a stipulation reached?

2 MR. BADDERS: Actually we were thinking we may have
3 some questions on cross-examination for some of the witnesses,
4 but we will not.

5 CHAIRMAN JABER: Okay. You are excused from the
6 hearing. Thank you.

7 (Lunch recess.)

8 (The transcripts continues in sequence with
9 Volume 3.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF FLORIDA)

: CERTIFICATE OF REPORTER

COUNTY OF LEON)

I, JANE FAUROT, RPR, Chief, Office of Hearing Reporter Services, FPSC Division of Commission Clerk and Administrative Services, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorney or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 24th day of November, 2003.



JANE FAUROT, RPR
Chief, Office of Hearing Reporter Services
FPSC Division of Commission Clerk and
Administrative Services
(850) 413-6732