


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 070098-EI

In the Matter of:

PETITION FOR DETERMINATION OF NEED
FOR GLADES POWER PARK UNITS 1 AND
2 ELECTRICAL POWER PLANTS IN GLADES
COUNTY, BY FLORIDA POWER & LIGHT
COMPANY.



ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 9

Pages 1195 through 1384

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN LISA POLAK EDGAR
COMMISSIONER MATTHEW M. CARTER, II
COMMISSIONER KATRINA J. MCMURRIAN

DATE: Thursday, April 26, 2007

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: JANE FAUROT, RPR
Official FPSC Reporters
(850) 413-6732

APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER - DATE

03604 APR 27 2007

FPSC-COMMISSION CLERK

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESSES

NAME:

PAGE NO.

STEVEN R. SIM

Continued Cross Examination by Ms. Brubaker	1198
Redirect Examination by Mr. Anderson	1250

WILLIAM H. DAMON, II

Prefiled Direct Testimony Inserted	1260
------------------------------------	------

HECTOR J. SANCHEZ

Prefiled Direct Testimony Inserted	1294
------------------------------------	------

JOSE COTO

Prefiled Direct Testimony Inserted	1327
------------------------------------	------

GERALD YUPP

Prefiled Direct Testimony Inserted	1367
------------------------------------	------

CERTIFICATE OF REPORTERS

1384

EXHIBITS

1	EXHIBITS		
2	NUMBER:	ID.	ADMTD.
3	185 (Late-filed) Corrected Numbers to Interrogatory Number 94	1217	
4	186 Schedule 6.2, Progress and TECO's 2007 Ten-Year Site Plan	1239	1258
5			
6	187 Example of Operations	1244	1258
7	188 SRS-1 with Additional Information	1244	1258
8	189 Excerpt of TECO 2007 Ten-Year Site Plan	1251	1258
9			
10	46-60		1257
11	182		1257
12	183		1258
13	63-72		1259
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

P R O C E E D I N G S

(Transcript continues in sequence from Volume 8.)

STEVEN R. SIM

continues his testimony under oath from Volume 8:

CONTINUED CROSS EXAMINATION

Q Exhibit 155, Page 2. And this is taken from FPL's response to Staff Interrogatory 82. I want you to have a chance to look at it, or if you are ready to answer questions, we will move on.

A I'm familiar with it.

Q Okay.

MR. GUEST: Madam Chairman, I think I may want to interpose an objection to the introduction of this exhibit.

MS. BRUBAKER: Madam Chairman, the exhibit has already been identified. I'm not seeking to move it into the record. It is used for the purpose of administrative ease in discussing information with the witness.

MR. GUEST: It looks to me like it's a summary exhibit.

MS. BRUBAKER: That's correct.

MR. GUEST: With summary exhibits you have to provide the underlying data and a reasonable opportunity to check it.

MS. BRUBAKER: And actually that information has been provided. The complete response is provided in staff's composite exhibit, which you have stipulated to.

1 MR. GUEST: Well, I guess my deeper objection, if I
2 might be heard, is that this looks like advocacy of FPL's
3 position. This looks like a repeat of what is in their
4 petition itself. You had asked me before when -- the reason I
5 am raising this is that I had sought to recross at one point in
6 the past, and you had said that you don't generally do that.

7 CHAIRMAN EDGAR: But I allowed.

8 MR. GUEST: You did. And what you directed me to do
9 was to articulate objections at the time of the questioning.

10 CHAIRMAN EDGAR: Yes, I did.

11 MR. GUEST: I'm doing that here. And what I had
12 raised then at the time was that, well, it is not really
13 cross-examination if what you are doing is bolstering or
14 supporting the witness' testimony. And if you are doing
15 something like that, it doesn't feel like cross, it feels like
16 direct. And if it's direct, then we should get one shot at
17 responding to every piece of the direct. And that was the
18 question I raised with you. And your response was that I
19 should really raise it at the time. Well, it's the time and
20 I'm raising it.

21 CHAIRMAN EDGAR: I understand. Mr. Harris.

22 MR. HARRIS: My initial response is staff has never,
23 to my knowledge and time at the Commission, been perceived as a
24 party who would be asking questions to bolster the testimony of
25 one side or the other. The purpose of staff's questions, as I

1 understand them, is to clarify points in the record to allow
2 staff to explore issues that either are raised by the parties
3 and staff believes requires further fleshing out in order to
4 draft the recommendation or to address areas that the parties
5 have failed to bring up.

6 I suppose that we need to ask Ms. Brubaker if she
7 intends for these questions to bolster FPL's case in chief. If
8 her answer is no, that she needs it in order to obtain
9 information that staff will use to prepare the recommendation
10 to you, then I think that it is appropriate for you to allow
11 that line of questioning. That is the role of your staff,
12 which is to seek information that they believe is relevant in
13 making a recommendation to you. So I believe the correct
14 inquiry would be to ask Ms. Brubaker if she believes that she
15 is attempting some kind of friendly support for a case, or if
16 she is seeking information that staff will use to prepare a
17 recommendation.

18 CHAIRMAN EDGAR: Ms. Brubaker, are your questions
19 intended to advocate one position or another?

20 MS. BRUBAKER: They are certainly not. They are not
21 meant to bolster any party's position. Staff always has its
22 responsibility, in its professional judgment, to look at those
23 issues that it believes needs clarification, or have not been
24 explored previously. And honestly in light of the preceding
25 cross-examination for Doctor Sim, I think pretty much that

1 qualifies all of my questions.

2 MR. GUEST: May I have an opportunity to respond?

3 CHAIRMAN EDGAR: You may.

4 MR. GUEST: Well, I don't think that one person's
5 perception or another should really control about what it is or
6 what it isn't. I think that is a decision for the Chairperson.
7 And, so, I think it is; staff doesn't think it is. I think
8 that one can look objectively and make a decision. What is in
9 play, one of the contests here is what is practical doing DSM.

10 CHAIRMAN EDGAR: I'm sorry.

11 MR. GUEST: Demand-side -- is there a way that you
12 could enhance demand-side management. And as you know from the
13 prefiled testimony, there are other places that have a much
14 larger investment in DSM than Florida, dramatically larger
15 investments that produce much higher yields, and that is the
16 substance of our testimony. So what we have here is we have a
17 summary exhibit that is basically taking the advocated position
18 of FPL about how far they can go and what the maximums are and
19 then saying that that's what it is. And that is as if we don't
20 have a case here.

21 CHAIRMAN EDGAR: Okay. As you said, one sometimes
22 can have different perceptions, and my perception is not as you
23 have just described it. So, with that, I'm going to allow the
24 questioning. I have no problem with you raising the objection,
25 of course, and with you reminding me of my previous rulings.

1 However, I'm going to allow the questioning, and at the
2 appropriate time we will take up whether the documents are to
3 be entered or not.

4 MR. GUEST: Thank you.

5 CHAIRMAN EDGAR: Thank you.

6 BY MS. BRUBAKER:

7 Q Doctor Sim, if I could have you please refer to
8 Exhibit 155, Page 2. This is taken from FPL's response to
9 Interrogatory Number 82, and if you could look at that second
10 table appearing on that page, the one titled information
11 regarding firm purchased contracts with changes in this time
12 period, please. Now, is it correct that this indicates that
13 FPL currently has 1,087 megawatts of firm capacity contracts
14 that are due to expire during the period of 2009 through 2012?

15 A That's correct.

16 Q And of this amount, 143 megawatts are from municipal
17 solid waste facilities, is that correct?

18 A That's correct, the Broward South, Broward North, and
19 Palm Beach Solid Waste is shown in this table.

20 Q And in FPL's response to Staff Interrogatory Number
21 82 -- and if you would like to look at that page, it appears on
22 the Blue 156 Exhibit, hand-numbered Number 7. And my question
23 is it is indicated in that response there that FPL has
24 contacted, had contact discussions with representatives from
25 the Palm Beach County Solid Waste Authority, is that correct?

1 A That's correct.

2 Q And that would be regarding a contract extension of
3 their municipal solid waste energy project expiring in 2010?

4 A That's correct.

5 Q Were the other two MSW facilities not contacted
6 regarding renewals of their contracts?

7 A I do not know.

8 Q Do you have any knowledge whether FPL intends to
9 pursue renewing these types of contracts?

10 A I have no direct knowledge, but my understanding is
11 that the parties would be approached and a potential new
12 agreement may be discussed.

13 Q What avoided cost are you using to evaluate the
14 cost-effectiveness of renewing these types of renewable
15 contracts?

16 A At present, to my knowledge, we are not doing
17 analysis on evaluating the cost-effectiveness of these
18 contracts.

19 Q Is it correct that FPL has submitted a proposed
20 standard offer contract that would be made available to these
21 renewable waste-to-energy plants?

22 A That's my understanding, yes.

23 Q And in that standard offer contract filing, is it
24 indicated that FPL would be willing to negotiate a coal-based
25 contract with these renewable generators?

1 A I don't deal with the standard offer contract. I
2 believe Mr. Silva, among our witnesses, would be the best one
3 to ask that question of.

4 Q Okay, thank you. Now, FPL didn't issue an FPL for
5 the Glades units, is that correct?

6 A Could you repeat the question, please.

7 Q Certainly. FPL did not issue an RFP, a request for
8 proposal for the Glades units, is that correct?

9 A That is correct. We came before the Commission and
10 requested a waiver versus an RFP, and it was granted by the
11 Commission.

12 Q In brief, what was the reason for requesting the
13 waiver?

14 A In brief, it was to facilitate the implementation of
15 coal-based capacity and energy on our system to maintain and
16 enhance system fuel diversity.

17 Q So fuel diversity was the primary driving factor?

18 A I would say the speed with which we could implement
19 coal-based capacity in order to maintain system fuel diversity
20 would be the reason, yes.

21 Q If I could again refer you, please, to Exhibit 155,
22 Page 1 of that exhibit.

23 A Okay.

24 Q And specifically I'm going to be discussing the
25 middle table that appears there, estimated impact on FPL's

1 summer reserve margin due to purchased power contracts to
2 expire. And then let me just kind of briefly walk you through
3 that table. Some of that information is -- well, specifically
4 it's the second table there, reserve margin without FGPP
5 assuming purchased power contracts renewed. And there are some
6 calculations there that I prepared, and let me just kind of
7 walk you through how I got to those calculations. And in order
8 to do that I would like to refer you, please, to your Prefiled
9 Direct Exhibit SRS-1.

10 A Okay.

11 Q Now, on SRS-1, if you will look at the table -- there
12 are two tables listed there, one says summer and one says
13 winter, and it is a discussion of the projection of FPL's 2007
14 through 2015 capacity needs without new resource additions.
15 That's the title of that exhibit. Specifically, I started with
16 Column 7, and for summer of 2013, the forecast of summer
17 reserves, that number is 3,421 megawatts, correct?

18 A Yes.

19 Q Now, I added in on a hypothetical the 1,087 megawatts
20 of purchased power, which we previously discussed, to get a sum
21 total of 4,508, and then I divided that amount by the firm peak
22 forecast in Column 6, which for 2013 for summer is
23 23,074 megawatts. And I resulted in 19.5 percent and so on for
24 years 2014 and 2015 as shown on Exhibit 155.

25 Now, we understand that it's a hypothetical of adding

1 in the 1,087 megawatts, but would it be correct that the
2 percentages that are shown on the reserve margin without FGPP
3 assuming purchased power contracts renewed appearing in the
4 center of Page 1 of Hearing Exhibit 155, is it correct that
5 those would be the resulting reserve margins if the 187
6 megawatts of firm capacity contracts were extended through the
7 year 2015?

8 A You mentioned 187; you mean 1,087?

9 Q I'm sorry, 1,087.

10 A Assuming your math is correct, yes, those would be
11 the percent reserve margins.

12 Q Okay. If one were to accept what the numbers show
13 here for the sake of argument, do the numbers also show or
14 indicate that FPL's need might shift one year to 2014?

15 A I think I would have to say no, because I would
16 disagree with the premise of the question for a couple of
17 reasons. If I may?

18 Q Certainly.

19 A Turning back to Page 2, which has the table of the
20 expiring contracts. There are two contracts there, the third
21 and fourth labeled Progress Energy Ventures and Williams, which
22 FPL attempted to extend beyond the current expiration date, but
23 was unable to do so. The reason for that is these contracts
24 are based on excess capacity for co-ops in Georgia for which
25 that capacity bubble, so to speak, was ending near the term of

1 these contracts, and the parties were unwilling to extend the
2 contracts, therefore, beyond the time frame. So the
3 105 megawatts and 106 megawatts, or 211 megawatts would,
4 therefore, not be available to FPL and, therefore, could not be
5 counted even hypothetically in the calculation you did on
6 Page 1.

7 Now, if we take that for a moment and go back to Page
8 1 and look at your first year of 2013, where you have
9 calculated a 19.5 percent reserve margin. As a rule of thumb,
10 FPL has about a 200-megawatt level which brings the reserve
11 margin up or down about a percentage point. So, subject to
12 check, this 19-1/2 would move down to about 18-1/2. So,
13 therefore, physically we could not do this.

14 And I think there is a second reason why we couldn't
15 do it, because we would then be at an 18-1/2 percent reserve
16 margin. And I refer you to the Commission order in the
17 Hines 3 case in 2003. And if I may, let me read the
18 appropriate points. It's discussing the stipulation reached
19 between the three IOUs back in 1999 regarding setting a
20 20 percent reserve margin. And I quote, "By approving the
21 stipulation proposed by the IOUs and issuing the above order,
22 we have already determined that 20 percent is the appropriate
23 reserve margin criteria, and the IOUs are required to utilize
24 this criteria unless modified in a subsequent proceeding."

25 It then goes on to say that, "The proper forum to

1 address what minimum reserves are necessary should be in a
2 generic docket as was previous done and not in a particular
3 utility's power plant need determination docket." Therefore,
4 based on that, FPL is required to use a 20 percent margin.
5 Since the highest we could do, even assuming that you could
6 sign up all of the rest of these parties other than Williams
7 and Progress, the closest we could come is approximately 18-1/2
8 percent.

9 Now, if we move beyond the question of could we do
10 this, I think the question is should we do this in regard to or
11 in relation to comparing it to FGPP. And my answer would be no
12 for a couple of reasons. If you go back to the table on Page
13 2 of Exhibit 155, you will see, as was pointed out, that there
14 are 143 megawatts of the waste-to-energy facilities which will
15 bring some fuel diversity to our system. Of the 1,087 megawatt
16 total, that equates to roughly 13 percent of the total capacity
17 would bring fuel diversity to our system, which means that the
18 remaining 87 percent, even assuming you could get them, is
19 fossil fuel, primarily combustion turbine and oil-fired units.
20 Therefore, in comparison to FGPP, we would be bringing a very
21 small amount of fuel diversity to our system, certainly much,
22 much less than 2,000 megawatts of highly efficient coal
23 technology.

24 The second question moving beyond fuel diversity is
25 cost-effectiveness. These capacity contracts on Page 2,

1 several of them, the Indian River, the second item, which makes
2 up the bulk of the 1,087 megawatts of 576 megawatts to be
3 specific, as well as the Progress Energy Venture and Williams
4 were signed due to this 2005 very high load that I mentioned
5 earlier. Therefore, they were economical as short-term stopgap
6 measures, but may not and probably will not be cost-effective
7 on a longer term basis compared to something like FGPP.

8 To showcase that a bit, I will take a look at Indian
9 River, which as I mentioned makes up the bulk of the
10 1,087 megawatts. It is a short-term contract. It is an
11 oil-fired unit, well over a 10,000 heat rate, and the capacity
12 factor at which it was operated on in FPL's system last year
13 was approximately 5 percent. So it operates like a combustion
14 turbine. Oleander down below, a combustion turbine.

15 So what we are seeing is fairly inefficient, very low
16 capacity, and nonfuel diversity options here that would not be
17 cost-effective on FPL's system in the long-term in my opinion.
18 So, in trying to sum up this lengthy answer, I would say that
19 two of these projects simply are not available. The Commission
20 order requires us to use a 20 percent reserve margin criteria
21 in our planning, and without those two projects the closest we
22 could get is 18-1/2, so we couldn't satisfy the Commission
23 requirement.

24 These would do very little to bring any fuel
25 diversity on our system. These would almost certainly not be

1 cost-effective in the long-term. In fact, as an analogy the
2 only thing I could think of that -- maybe not the only thing,
3 but one of the things on a simplified example basis that might
4 even be worse than this would be if we were to satisfy all of
5 this with combustion turbine capacity, which would do nothing
6 for our fuel diversity. It certainly would not be
7 cost-effective on our system, and, therefore, would be
8 something that would be analogous to this extension of --
9 hypothetical extension of the purchased power contracts.

10 Q And you referenced a 20 percent reserve margin that
11 you use for your projected reserve margin, correct? And that
12 is based on a Commission order for FPL, Progress, and TECO, if
13 I remember correctly?

14 A That's correct.

15 Q And that was pursuant to a stipulation by various
16 parties in that docket, the agreement to use the 20 percent,
17 correct?

18 A And approved by the Commission.

19 Q And approved by the Commission, of course. Do you
20 recall at your deposition we had some discussion about that
21 order, and I had asked whether you were aware to your knowledge
22 whether FPL or any other party involved in that docket had
23 performed a report, or study, or cost analysis of the use of
24 the 20 percent reserve margin value; do you recall that?

25 A Generally, yes.

1 Q And your answer at deposition was that to your
2 knowledge no such study, or report, or analysis was done?

3 A I am certainly not aware of any that has been brought
4 forward by the other utilities, that's correct.

5 Q Are you aware of any such studies being conducted or
6 performed since the approval of that stipulation? In other
7 words, since the time the stipulation has been approved, to
8 your knowledge has FPL specifically made any assessment
9 regarding cost-effectiveness or the effective reliability of
10 using a 20 percent reserve margin?

11 A I'm sorry, what was the last part of your question?

12 Q I'm sorry. Actually let me back that up. Let me lay
13 a little foundation for the question. FPL is a member of the
14 FRCC, correct?

15 A Yes.

16 Q And what reserve margin do they use for their
17 planning purposes?

18 A For planning purposes, the FRCC uses a 15 percent
19 reserve margin.

20 Q With that in mind, since the time the 20 percent
21 stipulation was approved by the Commission, has FPL to your
22 knowledge done any analysis or study about the appropriateness
23 of the 20 percent versus the 15 percent reserve margins?

24 A We have completed no such analyses.

25 Q Okay. Now, with regard to the FRCC reserve, if I

1 could refer you, please, to Page 1 of Exhibit Number 155?

2 A I'm sorry, which page?

3 Q The first page. And if I could refer you, please, to
4 the last table on that page, the one titled estimated impact on
5 FRCC summer reserves. Now, the source for that information
6 comes from FPL's response to Staff Interrogatory Number 9, and
7 if you would like to refer to that, it's Attachment 1 to that
8 response. It is the first two columns, summer reserve margin
9 projection. If you are willing to take those numbers subject
10 to check, I am happy to move on, or if you would like to see
11 the source, I'm happy to --

12 A Subject to check, we will accept them, yes.

13 Q Very good. Now, is it correct that the information
14 shown on this last table on Page 1 of Exhibit 155 shows that
15 the projected reserves for the Florida Reliability Coordinating
16 Council, FRCC, are at or above 20 percent during the period
17 2010 through 2013?

18 A That's what it shows. Again, pointing out that this
19 does not reflect units that the utilities are committed to, it
20 merely -- especially the longer one goes out in this time frame
21 it reflects projections of the utilities that were circa about
22 a year ago when the utilities did their planning and reported
23 to the FRCC.

24 Q Now, you mentioned units in the FRCC region that are
25 not committed to being built during this period. Could you

1 identify for me, if you know, what units those are?

2 A I would say any unit that was identified in each
3 individual utility's site plan or submittal to the FRCC which
4 has not received a determination of need, those would be the
5 units. They would be far too numerous to mention here.

6 Q Now, we have already discussed the FRCC uses a
7 15 percent reserve margin planning criteria, correct?

8 A Yes.

9 Q To your knowledge, do you know whether that
10 15 percent reserve margin was based on any study, report, or
11 analyses performed either by or through the FRCC? In other
12 words, how that number, 15 percent, was arrived at?

13 A The number has been in place for a fair number of
14 years, and I don't recall exactly how it was created. I don't
15 recall a specific study that was designed to create the
16 15 percent. There have been what I will say complementary
17 analyses that the FRCC has done from time to time, both on
18 loss-of-load probability as well as on what I will call an
19 early warning system, or a trip wire to LOLP that looks
20 annually at megawatt-weighted forced outage rates for the
21 Peninsular Florida utilities, as well as megawatt-weighted
22 availability. And what those have shown is from an LOLP basis
23 and what these trip wire studies are designed to do is to show
24 whether it may be necessary to do an LOLP study because it is
25 so time-consuming and so exhaustive an exercise to do an LOLP

1 study for the entire peninsula. Those have shown that from an
2 LOLP or probabilistic basis that Peninsular Florida, as a
3 whole, is reliable.

4 Q Let me ask one more question, if I could, about the
5 units that aren't committed for the FRCC region up through the
6 2013 period. I'm going to name some units, and if you would,
7 you say you don't know specifically, but if it rings any bells
8 that these might be some of the noncommitted units, if you
9 would let me know, please. Glades, the FGPP project?

10 A I would say FPL is committed to it, and upon approval
11 by the Commission and site certification application will
12 absolutely be a committed unit.

13 Q The Taylor County project that is co-sponsored by the
14 City of Tallahassee, JEA, FMPA, and Reedy Creek?

15 A I think, in general, I would put in the same category
16 as the Glades unit.

17 Q What about Gainesville's Deerhaven 3 Unit?

18 A Not familiar with the status of it.

19 Q TECO's IGCC?

20 A Not familiar with the status of it.

21 Q Progress' coal unit?

22 A Subject to check, I don't recall that unit showing up
23 in this year's ten-year site plan for Progress, therefore, I
24 would say that is definitely not a committed unit.

25 Q Thank you.

1 If I could refer you, again, to Exhibit Number 155,
2 Page 3 of that exhibit. And the table there is titled
3 comparison of FPL's generation alternatives. And I'll identify
4 for you the source of that information. It comes from Appendix
5 H of the need study. Specifically, Page H-1 of 1, and the
6 second is FPL's response to Staff Interrogatory Number 94.

7 So if you're willing to look at those numbers subject
8 to check, we will move on, or I would be happy to show you the
9 source documents?

10 A I believe there's a couple of corrections that would
11 need to be made. I looked at this before.

12 Q And certainly on the first day of the hearing I did
13 mention that on the third column, 2012 gas CC, the 750 that is
14 located there, it is the first number appearing on the
15 right-hand side, should be 734. And if you are aware of
16 others, please go ahead and identify them.

17 A On the third column, the 1,115 megawatt in the
18 subtitle, I believe, should be 1,219 megawatts. And on the
19 first row, the total installed cost without the AFUDC, I
20 believe the 4,197 for IGCC is with AFUDC and not without. And
21 I might note that the table does omit several important program
22 costs or performance characteristics here, but, subject to
23 check, the rest of it appears to be accurate.

24 Q Now, you mentioned the 4,197 number, that is without
25 AFUDC. Do you happen to know the number with?

1 A No. I believe what I said is that number is with
2 AFUDC, and I don't know off the top of my head what the AFUDC
3 number is that you would need to subtract to get a without
4 AFUDC number.

5 Q Okay. With regard to the number that appears in the
6 column 2013 USCPC, the 2,796, can I get confirmation that is
7 without AFUDC?

8 A You are correct, that is without AFUDC.

9 MS. BRUBAKER: If I could take just a second.

10 CHAIRMAN EDGAR: Ms. Brubaker and others, it is about
11 that time. I would like a stretch. Let's take about a
12 ten-minute break and then we will come back and proceed.

13 (Recess.)

14 CHAIRMAN EDGAR: Okay. We'll go back on the record.

15 Ms. Brubaker.

16 MS. BRUBAKER: I will do the best I can with this.

17 BY MS. BRUBAKER:

18 Q Doctor Sim, I'm referring to Interrogatory Number 94,
19 FPL's response to that. If you could look in Exhibit 156,
20 that's the hand-numbered Page 12.

21 A Okay.

22 Q And I'm looking specifically at the row titled
23 construction grand total cost in-service year with AFUDC, and
24 the number there, 4,197,440. Would it be possible to get as a
25 late-filed exhibit what the appropriate number there would be

1 without AFUDC?

2 A Yes.

3 MS. BRUBAKER: I would like to have that identified.
4 (Phone ringing.)

5 CHAIRMAN EDGAR: I would note for the record that was
6 Mr. Harris and not my child. (Laughter.)

7 MS. BRUBAKER: Madam Chairman, I would move Mr.
8 Harris out of order.

9 MR. HARRIS: Sustained.

10 CHAIRMAN EDGAR: Okay. So we will have 185, which
11 will be a late-filed amendment to correct numbers contained
12 within Exhibit 155.

13 MS. BRUBAKER: Well, if we could make it the
14 Interrogatory Number 94.

15 CHAIRMAN EDGAR: Okay.

16 MS. BRUBAKER: That would be fine.

17 CHAIRMAN EDGAR: And, again, that would be 185.

18 MS. BRUBAKER: And that will be late-filed.

19 (Late-filed Exhibit 185 marked for identification.)

20 BY MS. BRUBAKER:

21 Q If I could next refer you, Doctor Sim, to Exhibit
22 Number 155, again, Page 3.

23 A Okay.

24 Q Specifically, I'm looking at the emission rates that
25 are indicated at the lower half of that table. Now, is it

1 correct that the information indicates that SO₂, NO_x, and CO₂
2 are comparable for the Glades project versus an IGCC plant?

3 A Yes, that is what the data on this page knows.

4 Q Were you present during Mr. Hicks' cross-examination?

5 A I was present during portions of it.

6 Q Do you recall he was asked some questions regarding
7 SO₂ and CO₂ values that are shown here?

8 A I don't recall that discussion, no.

9 Q He indicated you might be able to answer a question. It
10 appears that those numbers are identical for the USCPC and
11 IGCC. Can you explain to me why that's the case?

12 A In part, I'll try. The numbers were handed to us by
13 FPL's engineering and construction group, and to my knowledge,
14 the emission rate numbers for the ultra-supercritical were
15 based on the numbers that were filed in our site certification
16 application. In regard to the IGCC, my understanding is that
17 those numbers were selected to be representative of IGCC
18 filings or projections that were around the country, those
19 units that have been projected, not currently built.

20 Q If I could refer you next, please, to Page 4 of
21 Exhibit 155. And just for clarity sake, this has been
22 excerpted from FPL's response to Staff Interrogatory Number
23 93, Attachment 1. And is it correct this table shows the total
24 cost and total differentials for the 16 scenarios discussed in
25 your testimony?

1 A That's correct. It shows those costs for the two
2 resource plans. It does not include the cost for the plan
3 without coal of the comparable LNG gas storage.

4 Q Now, this table indicates that FGPP is not always the
5 most cost-effective option as compared to a plan without coal,
6 is that correct?

7 A That's correct, and that was expected before we even
8 started the analysis.

9 Q And why is that?

10 A Because when we're looking at different types of
11 units, such as coal and gas-fired units that have significantly
12 different capital costs, significantly different heat rates,
13 and depend upon entirely different fuels, when you are looking
14 at fuel forecasts over the time period, as well as
15 environmental compliance costs forecasts over 16 scenarios, it
16 would be very surprising, to say the least, where you have got
17 one technology that was a winner in all of the scenarios. So
18 it was expected that you would get some scenarios in which one
19 resource plan won and some scenarios in which another resource
20 plan won.

21 Q Now, the scenarios you discussed in your testimony,
22 they offer a range of years. I think it is 2006 to 2054, is
23 that correct?

24 A I believe that's is correct.

25 Q Forty years from basically the in-service date?

1 A Correct.

2 Q And the table here on Page 4, that indicates that
3 there is a fair range of net savings, approximately
4 2.8 billion, or 1.7 percent of total system cost to a net cost
5 of 4 billion, or 3.8 percent of total system cost, correct?

6 A That's what the table shows, yes.

7 Q Would you agree that in weighing and evaluating these
8 16 scenarios discussed in your testimony that a lot would
9 depend on what one believes will happen regarding the price of
10 fuel and environmental compliance costs?

11 A I'm sorry, can you repeat the first part of the
12 question?

13 Q Certainly. When one is to weigh and evaluate the
14 different 16 scenarios about what is likely to happen about
15 what one might put forward as the most likely scenario?

16 A I would think one would view the total data involved
17 and should recognize, as FPL did, that no one knows what the
18 fuel forecasts are going to be over this time frame, and no one
19 knows what the environmental compliance costs are going to be
20 over this time frame. Furthermore, there is uncertainty as to
21 how the environmental compliance costs will impact the fuel
22 costs over the time period. So we have uncertainty in fuel, we
23 have uncertainty in environmental compliance costs, and then we
24 have the impact of the compliance costs on the fuel costs, and
25 essentially uncertainty compounding upon itself.

1 And that's why FPL took the view that this was a
2 scenario analysis. It wasn't the type of analysis where we
3 said here is the most likely set of forecasts and we will work
4 sensitivities off of that. FPL was very careful to say
5 correctly that the correct way to look at this is through a
6 scenario analysis.

7 Now, what this shows to me is you are getting roughly
8 an even split of cases in which the case with coal is the
9 economic winner versus the case without coal. And, again,
10 these set of costs for the resource plan without coal do not
11 account for the approximately 1.4 billion CPVRR cost of
12 comparable gas storage which would allow these two plans to be
13 truly comparable both in terms of reliability for reserve
14 margin as well as reliability of fuel supply.

15 Another item I would mention is that -- well, before
16 I leave that one, the addition of those costs as indicated in
17 Mr. Silva's testimony would change it from a case of, I
18 mentioned before, 7 out of 16 cases with coal being the
19 economic winner to 10 out of 16 being the economic winner.

20 Furthermore, in those cases in which the plan without
21 coal is the economic choice, you typically are looking at very
22 low natural gas prices; and that is shown, Commissioners, in
23 Columns 3 and 4 here. As you look at these in terms of, say,
24 blocks of four rows each, you will see that the first set of
25 costs start at 159 and 162 and then those are with the Fuel

1 Forecast 1, Scenario 1A, 1B, 1C, 1D. That is the high gas/coal
2 differential forecast.

3 As you drop down -- well, let me back up. Before
4 leaving this 1A, 1B in all of those cases coal was the winner,
5 recognizing that with high gas costs, coal is clearly the
6 economic choice. If you take the other extreme and go down to
7 the bottom four rows, and take the lowest gas/coal differential
8 case, the 4A, 4B through 4D, you see that the 159 and 160,000
9 numbers drop significantly to a total cost of 87 to, say,
10 110,000 in this view, which means that FPL's customers would be
11 exceedingly better off in regard to total cost due to low gas
12 costs.

13 So even with the FGPP units on its system, if you
14 take the differential it is roughly on the order of \$70 billion
15 CPVRR moving from high gas forecasts to low gas forecasts, and
16 yet the differential on Column 5, the highest penalty, so to
17 speak, for the coal units is only on the order of \$4 billion.
18 So FPL's customers would receive the benefits of the low gas
19 due to the significant number of gas units on our system on the
20 order of \$70 billion versus a \$4 billion penalty. And we view
21 that as showing that the coal units are a very effective
22 economic hedge against gas prices, because FPL's customers will
23 still be significantly well off due to -- well, benefit
24 significantly from low gas prices if they were to occur.

25 Q In your direct testimony you state that FPL's plan

1 with coal acts as a hedge or insurance against higher natural
2 gas costs, correct?

3 A That is correct.

4 Q And would you agree that FGPP could be characterized
5 as a capital intensive project?

6 A Yes. I would say any coal project, for that matter
7 any nuclear project would be a capital intensive project
8 compared to other generating alternatives such as combustion
9 turbines or combined cycles.

10 Q Is it correct to say that over time FPL expects that
11 there will be fuel savings associated with the FGPP project?

12 A Most definitely. Significant fuel savings.

13 Q And is it also correct to say that given a capital
14 intensive project, like FGPP, that it may take a certain amount
15 of time to allow those fuel savings to offset those increased
16 capital costs?

17 A Yes, that's fair to say. And that is not unexpected.
18 In fact, if you look at virtually any resource comparison you
19 are going to see more often than not the more capital intensive
20 projects take a number of years before the fuel savings kick in
21 and result in a net cumulative savings. And we see that not
22 only in power plants. We see delays in one project being more
23 cost-effective than another on a rolling cumulative basis. For
24 example, when we view DSM versus generating units, DSM must be
25 signed up, for example, over a number of years before it can

1 reach a stage where it is of a size to avoid or defer a block
2 of capacity.

3 We are incurring costs for DSM in all of those early
4 years and it is only after the avoided unit would have gone in
5 service, and typically several years after that before the net
6 savings from DSM overcome the initial upfront cost of it. So,
7 it's not unusual. And, in fact, it's to be expected that it
8 will take a number of years before one resource decision,
9 especially a capital intensive one, the cost disadvantage is
10 made up for with the fuel savings.

11 Q Now, if the fuel cost differential between natural
12 gas and coal should become very small, or if environmental
13 costs should become very high, is it correct or would you agree
14 that fuel savings may never necessarily offset the capital cost
15 of coal units?

16 A I view that as two questions. I would agree with the
17 first and not the second. And let me try to explain. If
18 natural gas prices compared to coal remain very low for an
19 extended time period, then with perfect hindsight one can look
20 back and say the coal unit was not the economic choice.
21 However, we don't know that today.

22 The second part of your question is high
23 environmental costs. It is FPL's contention, and I think those
24 of several of our witnesses that the likelihood of high
25 environmental compliance costs and low gas prices just isn't

1 going to happen. That the higher the environmental compliance
2 costs goes, the more demand there will be for natural gas and,
3 therefore, the price of natural gas will be driven up.

4 For example, in this table I have in front of me,
5 Page 4, I think what that would say is the last four rows, or
6 at least several of the last four rows, the 4D, 4C, and 4B I
7 would view as very unlikely to occur simply because they have
8 the highest environmental compliance costs and yet assume low
9 natural gas prices. I just don't think that's a likely
10 occurrence.

11 Q Do you recall during your deposition we had a few
12 questions regarding looking at the difference in CPVRR between
13 the plan with coal and the plan without coal through the year
14 2027?

15 A Yes.

16 Q And is it correct that only two of the 16 scenarios
17 explored show a positive net benefit for the FGPP through that
18 period 2027?

19 A I think our discussion focused on the plan with coal
20 and the plan without coal without adding the LNG natural gas
21 storage. I think that analysis, which we would term a somewhat
22 incomplete picture of the total cost, would show what you
23 indicated. But I think as some of our later filed exhibits and
24 interrogatory responses showed that when you include the LNG
25 storage cost that the length of time it takes before, we will

1 call it, crossover of the coal plan and the natural gas plan is
2 shortened considerably.

3 Q By how much, do you know?

4 A I don't have the document in front of me. I think we
5 filed that as a late-filed exhibit.

6 Q Okay. Those two scenarios I was referring to, to
7 your memory are they Scenarios 1A and 1B?

8 A If you could show me the document, I would be happy
9 to take a look at it.

10 Q Well, I can either refer you to your deposition
11 transcript if you would like, or --

12 A I don't have my deposition transcript.

13 Q That's all right. I can refer you to the
14 interrogatory.

15 MS. BRUBAKER: What I'm passing out is a copy, it is
16 a full copy of FPL's response to Interrogatory Number 25. It
17 is part of Staff's Composite 2.

18 MR. GUEST: Madam Chairwoman.

19 CHAIRMAN EDGAR: Mr. Guest.

20 MR. GUEST: I have seen Advil bottles with larger
21 type than this. And maybe it's my age, but the top line
22 appears to have writing on it.

23 CHAIRMAN EDGAR: The one that's darker?

24 MR. GUEST: Yes.

25 CHAIRMAN EDGAR: Let's see, fuel cost forecast.

1 MS. BRUBAKER: I can read that for you, Madam
2 Chairman. It's Fuel Forecast 1, and that actually is the
3 column I will be referring to.

4 CHAIRMAN EDGAR: So going across it's Fuel Cost
5 Forecast 1, Fuel Cost Forecast 2, then 3, then 4.

6 MS. BRUBAKER: That is correct.

7 CHAIRMAN EDGAR: Does that help, Mr. Guest?

8 MS. BRUBAKER: It basically serves to cross-reference
9 the four fuel scenarios with the four environmental scenarios.
10 The columns are 1, 2, 3, and 4 for the fuel cost; and it is
11 cross-referenced with the row below it, Environmental
12 Compliance Scenarios A, B, C, D; A, B, C, D.

13 MR. GUEST: Is there a unit that is shown here for
14 what these numbers are? I mean, are they -- oh, they are in
15 millions of dollars.

16 MS. BRUBAKER: Yes.

17 CHAIRMAN EDGAR: 2006.

18 BY MS. BRUBAKER:

19 Q Doctor Sim, have you had a chance to review the
20 interrogatory response?

21 A To the extent I could read it, yes.

22 Q My apologies for the eye strain. Again, I'm just
23 looking for confirmation. This was something we had discussed
24 in the deposition. Looking for the period 2006 through 2007,
25 is it correct that -- or, I'm sorry, 2027 -- is it correct that

1 the two scenarios, and the only two scenarios of the 16 listed
2 here that show a positive benefit for the plan with coal are
3 Scenarios 1A and 1B?

4 A I'm sorry, could you repeat the question?

5 Q Certainly. Looking at the various 16 scenarios
6 listed here, is it correct that the two scenarios, and it is
7 the only two scenarios for the period 2006 through 2027 that
8 show a positive benefit for the plan with coal are Scenarios 1A
9 and 1B?

10 A Subject to check, I'll accept that. I'm having a
11 tough time reading it myself.

12 Q Again, my apologies. Is it correct that Scenarios 1A
13 and 1B both represent a high fuel cost differential and low
14 environmental costs?

15 A Yes, a high gas/coal differential and low net
16 environmental compliance costs.

17 MS. BRUBAKER: Thank you.

18 If I may, I would like to go ahead and hand out two
19 documents. I have the source documents if anybody wishes to
20 refer them, but rather than put the entire Progress and TECO
21 2007 year site plan into the record, I was hoping that the
22 parties would be willing to consider an excerpt. However, I do
23 have those full documents available if that is the preference.

24 What they consist of is Schedule 6.2 from, again,
25 Progress and TECO's 2007 year site plans. And the reason I'm

1 passing them out is those items were not previously entered
2 into the record through staff's composite exhibit, so I just
3 wanted to make sure everybody had a clear source.

4 BY MS. BRUBAKER:

5 Q Now, Doctor Sim, if I could, please, refer you to
6 Page 5 of Exhibit 155.

7 A Okay.

8 Q And this page we have captioned as system fuel mix
9 projections, and the source for this information, again, comes
10 from Schedule 6.2 for Progress Energy and TECO's Ten-Year Site
11 Plan for 2007, and it is also pulled from information in your
12 Exhibit SRS-15, Page 1 of 1. And, again, if you would like to
13 look at those sources, that's fine, or if you are willing to
14 take the numbers subject to check, we can move on with the
15 question.

16 A We'll assume they are correct.

17 Q I'm sorry?

18 A We'll assume they are correct.

19 Q Thank you. Now, does this page indicate that FPL's
20 fuel mixes is more heavily dependent on natural gas than either
21 Progress or TECO?

22 A Yes, definitely.

23 Q And for the time frame that is represented here, 2012
24 through 2016, is there a substantial difference in FPL's
25 relative fuel mix between coal and petcoke, natural gas,

1 whether you are looking at FPL's plan with or without FGPP? In
2 other words, looking at the first two tables, FPL with Glades
3 plant, FPL without Glades plant, looking at the relative
4 distribution between coal and petcoke and natural gas, is there
5 a significant large difference in the percentages shown there
6 in those two tables?

7 A Yes.

8 Q What I'm looking at is, for instance, the year 2012
9 and the coal/petcoke column. They both represent 11.5, so I
10 see no difference there. And I'm looking at a maximum
11 difference in 2016, 60.4 percent with natural gas, 71.1 percent
12 with natural gas, and that is with Glades plant and without
13 Glades plant. Do you consider that roughly 11 percent to be a
14 substantial difference?

15 A On a system the size of FPL, absolutely. Both in
16 terms of the energy that is produced and in terms of the system
17 reliability that is engendered by the addition of coal on the
18 system.

19 Q If I could refer you next, please, to Page 6 of
20 Exhibit 155. And for the sake of reference, this is Attachment
21 1 from FPL's response to Staff Interrogatory Number 79. Now,
22 this chart shows the average residential electric price versus
23 the percentage of net energy load for natural gas, correct?

24 A That's correct.

25 Q Now, looking at the year 1990 when the percentage of

1 NEL from gas was around 18 percent, FPL's residential rate was
2 approximately 8 cents per kilowatt hour, correct?

3 A That's what it shows, yes.

4 Q And if I could have you next look at the year 1995,
5 and it looks like FPL's generation from gas was approximately
6 30 percent at that time, correct?

7 A Yes.

8 Q And the residential rate was still approximately 8
9 cents per hour, maybe just a tad less, correct?

10 A Yes, roughly equivalent.

11 Q Okay. Would you agree that according to this graph
12 residential rates didn't really start to increase or climb
13 until the percent of NEL from gas reached about the 40 percent
14 mark?

15 A I would agree that's what the graph shows. I think
16 there are two factors here. Number one is a greater reliance
17 in terms of the percentage of energy supplied by natural gas as
18 well as a significant run-up in the cost of natural gas during
19 the same time period.

20 Q Doctor Sim, do you have a copy of the need study, and
21 more specifically the appendices to the need study available to
22 you?

23 A I have a copy of the need study itself. I do not
24 have a copy of the appendix with me. I'm sure we could get
25 one.

1 MS. BRUBAKER: With counsel's permission, I'm happy
2 to pass out the single page I am interested in.

3 CHAIRMAN EDGAR: Okay.

4 MS. BRUBAKER: We will go ahead and do that then.
5 What I am handing out is a page from Appendix M of the need
6 study. Specifically, it's Page 1-13. I will go ahead and let
7 everybody get a copy of that and, Doctor Sim, give you a chance
8 to review.

9 BY MS. BRUBAKER:

10 Q Just so we are clear, this is a study performed by
11 Black & Veatch comparing solid fuel technologies, correct?

12 A I believe it was performed by Black & Veatch in
13 collaboration with FPL. And I might point out that I believe
14 that Mr. Hicks is sponsoring the Appendix M in the need study
15 and he might be a more appropriate person to ask these
16 questions.

17 MS. BRUBAKER: With counsel's indulgence, the
18 questions aren't so much on the particular information, but how
19 these types of analyses are typically used.

20 THE WITNESS: Okay.

21 BY MS. BRUBAKER:

22 Q And if, as I question, it seems like it should be
23 deferred, I am happy to accept that.

24 Now, the graph that is shown here is a typical
25 screening curve used in electrical generation expansion plans,

1 correct?

2 A I would clarify slightly not in terms of expansion
3 plans. It's what's called a screening curve of resource
4 options is more typically used, and it is typically used to
5 screen out options that would operate in similar capacity
6 factors on a utility's system by trying to clearly identify
7 which units are the economic winners or losers within a select
8 group of resource options.

9 Q Okay. Now, in your time and experience with FPL,
10 have these types of screening curves been used for an
11 appreciable length of time?

12 A They have been used since I have been in the planning
13 department, probably 15 years or so off and on, yes.

14 Q And is it correct that this type of screening curve
15 is commonly used by utilities to compare the like technologies
16 before you perform a more detailed system revenue requirement
17 analysis?

18 A Yes, that's generally how they are used.

19 Q And a similar screening process would be used, would
20 be done for other types of technologies, such as gas-fired
21 combined cycle or peaking capacity additions, correct?

22 A Yes. For example, we might look at different
23 combined cycle units in which the turbines were supplied by GE,
24 Mitsubishi, et cetera, in different configurations, and we
25 would use a screening curve analysis to compare the competing

1 combined cycle options or the similar peaking capacity options.

2 Q Does a base load unit typical run at full capacity
3 whenever it's available to run?

4 A Yes. Generally to the extent of its availability it
5 will typically run.

6 Q And does this mean that the capacity factor and
7 availability factor for these units are similar?

8 A They are pretty close, if not identical, yes.

9 Q Is it correct looking at this, the graph that I
10 provided you that it also shows that a USCPC unit is more
11 cost-effective than IGCC?

12 A That's correct through all of the capacity factors
13 shown on the graph.

14 Q And that is true then even at the lower availability
15 and capacity factors levels, then?

16 A At the lower capacity factor levels, yes.

17 Q Lastly, I'm hoping you have this available to you.
18 Do you have at your station, it's been identified as Exhibit
19 161? It's FPL's supplemental response to Staff's Fifth Set of
20 Interrogatories, Number 112?

21 A Does it have a cover on it?

22 Q It is an odd lavenderish gray cover. We will
23 provider an extra copy. And when you have had a chance to
24 review, Doctor Sim, if I could refer you specifically to the
25 last page of that. I believe it is numbered Page 11.

1 A Okay.

2 Q Now, I am looking at -- from going from Appendix M to
3 this discovery response, can you explain for me what this
4 discovery response, this page, Page 11 signifies, what it
5 demonstrates?

6 A Yes. It's a screening curve analysis comparing the
7 advanced technology coal, which is the lower line on the graph,
8 to various perspectives of IGCC units. The 50/50 or
9 0/100 refers to the mix of fuel. The first number refers to
10 the percentage of the fuel mix that is coal. The second number
11 is that of petcoke, so the 50/50 is 50 percent coal, 50 percent
12 petcoke. The 0/100 is 100 percent petcoke.

13 There are also variations in regard to emission
14 rates, and those emission rates were examined, I believe, in
15 regard to Mr. Hicks' deposition in which there was a question
16 or two in regard to the emission rates chosen for the IGCC. So
17 in response to a request for a late-filed exhibit, we went back
18 and reexamined IGCC with several different emission rates and
19 the different fuel forecasts or fuel mixes that you see here.

20 MS. BRUBAKER: Okay. And with that staff has no
21 further questions.

22 CHAIRMAN EDGAR: Doctor Sim, earlier you answered
23 some questions regarding the reserve margin. Has that
24 20 percent proven to be efficient?

25 THE WITNESS: It has certainly proven to be

1 effective.

2 CHAIRMAN EDGAR: That was going to be my next
3 question, actually.

4 THE WITNESS: Okay. And let me try to explain, Madam
5 Chairman. FPL's system has certainly evolved from, say, ten
6 years or so ago when we were operating at a 15 percent reserve
7 margin. And I think there are two aspects of that that I could
8 touch on. Number one is we have a much larger number of units
9 on our system than we had before, and back about ten years or
10 so ago we had, I think, four advanced combustion turbines on
11 our system as part of a couple of combined cycle units at
12 Martin and Fort Lauderdale. Excuse me, eight advanced
13 combustion turbines. And those combustion turbines are
14 different than the old traditional steam generating units in
15 that they must come out for maintenance at very specific times.
16 At a number of run hours you have to take them out or you will
17 have catastrophic failures of the turbines.

18 Today, looking at where we will be at the end of even
19 2011 with the West County Units coming in, we will have shifted
20 from eight of those advanced combustion turbines to 42 advance
21 combustion turbines, which makes it much more difficult to
22 schedule maintenance for those units due to the fact that there
23 are very well-defined lines of running hours over which those
24 units can only go before you have to take them out. So it is
25 more difficult to schedule maintenance.

1 The 20 percent reserve margin has assisted us in
2 finding time to do maintenance for those and other units. It
3 has also allowed us to add more fuel efficient capacity on our
4 system, which has allowed us to back off of some of our older
5 conventional less efficient units and decrease their run times
6 thus resulting in fuel savings.

7 CHAIRMAN EDGAR: I think in response to one of the
8 questions from Ms. Brubaker you answered something along the
9 lines of a comprehensive analysis on that 20 percent not having
10 been done, and I guess that leads me to my next question.
11 Realizing that that order approving the stipulation was issued
12 prior to my being on the Commission, was there then or has
13 there since been analysis, or thinking, or exploration -- let
14 me begin again, I'm sorry.

15 Why 20 percent rather than 17 or 18 or 19 or some
16 other number between 15 and 20 or between 15 and 25?

17 THE WITNESS: It's a question that I think it is safe
18 to say FPL has considered. And let me go back to my earlier
19 explanation of the very high load forecasts or load that we
20 experienced in 2005. We have taken or had taken some steps to
21 begin an analysis of reserve margin back in those time frames,
22 but I guess the flow of our thinking and the flow of our
23 analysis was kind of brought to a halt when we experienced that
24 very significant load.

25 Frankly, we have only had one summer since then in

1 which to look at an additional data point and try to see how
2 much of an aberration that 2005 was. For us to feel
3 comfortable in going forward with an analysis of what the
4 appropriate reserve margin was, frankly, the most recent and
5 significant data point is that 2005 load which showed how much
6 uncertainty there was in our load forecast.

7 For that reason and for others, FPL believes it is
8 certainly appropriate to hang onto the 20 percent reserve
9 margin. In regard to analysis we have done, I believe Mr.
10 Silva has introduced in his rebuttal testimony a simple but
11 powerful example of why a 15 percent reserve margin simply does
12 not work for FPL, and I will be happy to discuss that now if
13 you would like.

14 CHAIRMAN EDGAR: Could you do it briefly?

15 THE WITNESS: We have an example on a handout. If we
16 could show you that, I could walk through it pretty quickly, I
17 believe.

18 MS. BRUBAKER: May I take advantage of the brief lull
19 while we are putting up information? My apologies, Madam
20 Chairman, I had meant to ask to have the Schedule 6.2 for
21 Progress and TECO identified as Exhibit 186. May I do so at
22 this time? My apologies for the interruption.

23 CHAIRMAN EDGAR: Let me get there. Okay. So that
24 will be 186. And, I'm sorry, a title for me again, if you
25 would?

1 MS. BRUBAKER: Certainly. Schedule 6.2, Progress and
2 TECO's 2007 Ten-Year Site Plan.

3 CHAIRMAN EDGAR: Okay.

4 (Exhibit 186 marked for identification.)

5 THE WITNESS: I will try to walk through this
6 quickly. What this document examines is going back as a
7 starting point to my Exhibit SRS-1 where we looked at what
8 would happen in 2013 in regard to our capacity needs and
9 reserve margin if we did not add FGPP. The reserve margin I
10 showed in that exhibit was a 14.8 percent reserve margin. So
11 we are looking roughly at a 15 percent reserve margin for 2013.
12 And what it shows in the first row is identical to what I have
13 presented in SRS-1.

14 It shows that we had no units in Column B out on
15 planned maintenance in August as scheduled. It showed in
16 Column E, how much of our total reserves were generating
17 capacity reserves, which is 905 megawatts, which would
18 represent a reserve margin generator only of 3.5 percent. So
19 instead a 14.8 percent reserve margin, we would be down a
20 3.5 percent reserve margin counting only generation options.

21 Column F shows the DSM that is available, and none of
22 it would be needed because we would have generation available
23 on that date. And our total reserves are over on the last
24 column of 3,421. So what the first row basically shows is of a
25 14.8 reserve margin in that year our generation reserves are

1 3.5 percent reserve margin.

2 Now, the point that was made in Mr. Silva's testimony
3 is that we are uncertain in regard to both the timing of when
4 our loads occur, they can occur not only in August, but also in
5 June and July. And we are also uncertain of the magnitude of
6 our load. As I mentioned earlier, in 2005 we saw such an
7 unexpectedly high load.

8 So Row 2 says what happens if that exact same load
9 that we projected for August were to occur in June. Now, in
10 June, as shown in Column B, we do have scheduled maintenance,
11 so we would be taking out 799 megawatts in June, which would
12 reduce in Column E our generation capacity reserves from the
13 905 minus 799 down to 106. So we would be essentially at a
14 zero percent generation reserves on our system if that were to
15 occur. Again, in the last three columns we still have DSM
16 available. Slightly less in June than we do in August because
17 of the monthly accumulation of sign-ups, but essentially the
18 same number.

19 And Column 3 shows what would happen if not only the
20 peak load occurred in June, but that the peak load was
21 significantly higher than what was projected. And in this
22 example we have used the percent variance that we observed over
23 the last three years, which is almost 11 percent and have
24 increased the load in Column D. What that would show is if you
25 look at generation only in Column E, we would have a deficit of

1 generation available to serve the load of 2,676 megawatts. And
2 even if you applied all of the 2,500 megawatts in Column F of
3 DSM, our total reserves would be a negative 176.

4 So, therefore, without even assuming forced outages
5 or breakages of units, without talking about fuel supply
6 interruptions, transmission interruptions, or providing any
7 assistance to another utility that was experiencing a high load
8 on that date, a 15 percent reserve margin simply does not
9 protect FPL from variances in both the timing and the magnitude
10 of the load forecast. So, this example is a very good one that
11 shows that a 15 percent reserve margin is simply viewed as
12 unsuitable for FPL's system in order to provide reliable
13 service.

14 CHAIRMAN EDGAR: Commissioners? Commissioner Carter.

15 COMMISSIONER CARTER: Madam Chairman, I would like to
16 make a comment. Is that okay?

17 CHAIRMAN EDGAR: You may.

18 COMMISSIONER CARTER: I went back because for awhile
19 I thought maybe I was on another planet here.

20 CHAIRMAN EDGAR: I can't imagine why.

21 COMMISSIONER CARTER: And I went back to the
22 beginning on this need determination at the basic positions of
23 the parties, and I see where FPL has requested for the Glades
24 Power Park Units 1 and 2, 1960 megawatts on this 4900-acre site
25 in Glades County. And I see where they have taken into

1 consideration DSM, gone with the solid fuel as opposed to
2 natural gas. I looked at OPC's position, and they are saying
3 that in order to determine whether or not ultra-supercritical
4 pulverized coal plants are the most cost-effective alternative
5 available you need to take into account the very high
6 probability of carbon dioxide emission regulation during the
7 lives of the plant. They also say that there is a significant
8 probability of this occurring.

9 I looked at the position of the Sierra Club and
10 others, and they are saying that while they are against any
11 kind of coal plant whatsoever, but certainly if one is built it
12 should be an IGCC, and said also that FPL could be expected to
13 intensify and accelerate their efforts with DSM and would,
14 therefore, not require additional generation.

15 And what I'm trying to say, Madam Chairman, and
16 Mr. Krasowski is saying that based upon the population
17 projections in Florida there are some questions, and those
18 questions are until there is a clear understanding of all the
19 energy options being achieved, that no single project of the
20 magnitude of this should be accomplished. And I'm just kind of
21 thinking aloud of where I am looking for the parties that made
22 these representation to stick to the issues that they have
23 announced here. And I think we are getting way, way beyond the
24 position of the parties. Either they meant what they said when
25 they applied or they did not mean that.

1 So just from a point of reference, Madam Chairman,
2 that I think that it would be helpful to all of us concerned,
3 we have given additional time, and I think that the time should
4 be spent on the issues that were raised instead of obfuscation,
5 walks in the park, and things of that nature. And I just
6 wanted to raise that just as a statement. Thank you.

7 CHAIRMAN EDGAR: Are you saying that my questions are
8 too far afield?

9 COMMISSIONER CARTER: I would never say that your
10 questions are -- in fact, your questions actually made sense
11 based upon the positions of the parties, Madam Chair.

12 CHAIRMAN EDGAR: Thank you. I hear you, Commissioner
13 Carter.

14 Commissioner McMurrin, questions?

15 COMMISSIONER McMURRIAN: Thank you.

16 Actually, I, too, have looked back at the prehearing
17 order and was looking at FPL's position with regard to Issue 1,
18 and within that there is a statement about approximately
19 76 percent of the reserves in 2013 would be supplied by DSM
20 megawatts and approximately 88 percent of the reserves in 2014
21 would be supplied by DSM megawatts. This means that load
22 control would be exercised frequently.

23 And at the risk of asking you something that is
24 somewhere elsewhere in the record, I wanted to get a handle on
25 what the current situation is. So can you tell me what the

1 percent of reserves, what percent of reserves are supplied by
2 DSM currently, or some kind of number that gets us close to
3 current?

4 THE WITNESS: Yes, Commissioner. In fact, we have
5 another handout which walks you through that calculation, if
6 you would care to see it.

7 COMMISSIONER McMURRIAN: Sure.

8 THE WITNESS: And while this is being handed out, let
9 me explain that the handout is based, again, on my Exhibit
10 SRS-1 which calculated reserve margins without FGPP; and SRS-4,
11 which calculated them with FGPP. And I have added a couple of
12 columns to the right-hand side of that exhibit which answers
13 your question.

14 MR. ANDERSON: Madam Chairman, while things are being
15 passed out, could we mark the first document we looked at? I
16 think it is 187. And the one that is coming around, 188, I
17 think.

18 CHAIRMAN EDGAR: These are not in previous exhibits?

19 MR. ANDERSON: That's correct.

20 CHAIRMAN EDGAR: Okay. All right. Then the document
21 example of operations that Doctor Sim just discussed will be
22 187, and this document that is headed SRS-1 with additional
23 information will be 188.

24 (Exhibit 187 and 188 marked for identification.)

25 COMMISSIONER McMURRIAN: I think Mr. Sim was going to

1 walk us through what this shows in response to my question,
2 which I believe I had posed originally to Mr. Brandt and they
3 told me to save it for you.

4 THE WITNESS: Let me first state that Columns
5 1 through 9 are identical to what was in SRS-1. That is the
6 top series of calculations. And then at the bottom of the page
7 1 through 9 is identical to what was presented in SRS-4.

8 So, to try to explain the calculation, if you look in
9 Column 8 at the top for 2007, you see a 22.6 percent reserve
10 margin. Now, that includes both generation as well as DSM. So
11 what I have done, Commissioner, is I have essentially removed
12 or zeroed out Column 5 to take away all of the DSM. And then I
13 have recalculated what our forecast of summer reserves are
14 without DSM. That appears in Column 10. Using that lower
15 reserves, generation only reserves, I calculated what the new
16 summer reserve margin is without DSM, and that is 12.8 percent.

17 Then, I look at the original 22.6 percent of reserves
18 with generation and DSM, look at the 12.8 percent reserve
19 margin without DSM, and then calculate what the complementary
20 reserve margin is that DSM contributes, which in this case is
21 43 percent. So, in other words, the 12.8 percent reserve
22 margin is 43 percent of the original 22.6.

23 COMMISSIONER McMURRIAN: So that means the 43.1
24 percent is the current percent of reserves supplied by DSM and
25 can be compared to what, at least in the position statement, I

1 believe it is --

2 THE WITNESS: Yes, we will come to the position
3 statement momentarily.

4 COMMISSIONER McMURRIAN: Okay.

5 THE WITNESS: You had asked what it was currently and
6 that is what we show in 2007. If you go down to 2013, the same
7 calculation on the far right column, Number 12, shows that
8 DSM's percentage contribution to FPL's total reserve margin is
9 76.1 percent, and for the next year, 2014, it would be
10 88.3 percent.

11 COMMISSIONER McMURRIAN: Okay. That's helpful. And
12 with respect to the sentence that reads this means that load
13 control will be exercised frequently, I guess a similar
14 question. How frequently is load control being used today, or
15 in 2007?

16 THE WITNESS: It is being used relatively
17 infrequently, which is, I think, another advantage of the
18 20 percent reserve margin. Because with the 20 percent reserve
19 margin we have a reasonable amount of generating reserves which
20 allows us not to call on load control except under conditions
21 in which we have an unexpected number of units out for
22 maintenance, both planned and forced, or the load is
23 significantly higher than what would otherwise be expected on
24 that day.

25 COMMISSIONER McMURRIAN: Thank you. And I had one

1 other question that was a follow-up to a question, I think, Ms.
2 Brubaker was asking you. And it was within the Exhibit
3 155 with the yellow sheet, and I believe Ms. Brubaker was
4 asking you about the comparison of the SO2 numbers with respect
5 to USCPC versus the IGCC. And I think she asked about why
6 those numbers were identical, and I believe your answer -- and
7 I don't want to mischaracterize it, so correct me, was that the
8 IGCC part was representative of IGCC filings with projected SO2
9 amounts.

10 THE WITNESS: That's my understanding, yes.

11 COMMISSIONER McMURRIAN: Okay. Could you tell me
12 what the number would be if it was based on current IGCC
13 projects and the SO2 numbers that they show, or is that
14 somewhere elsewhere in the record?

15 THE WITNESS: Give me just a moment. I thought we
16 had that in our answer to Interrogatory 112, but I don't seem
17 to find that in front of me at the moment. But I'm sure we can
18 provide that as a late-filed exhibit if after checking it's not
19 the numbers that you're requesting.

20 MR. ANDERSON: We would also indicate, Commissioner,
21 that either Mr. Jenkins or Mr. Kosky would be able to provide
22 that information on current SO2 emissions for IGCC.

23 CHAIRMAN EDGAR: Ms. Brubaker.

24 MS. BRUBAKER: Whatever your preference,
25 Commissioners. We could either defer the question to the

1 appropriate witness, or if you prefer to have it as a
2 late-filed. I don't know that I see it in the answer to 112,
3 but then it was a very brief scan of the document.

4 CHAIRMAN EDGAR: Okay. Then how about we wait until
5 the next witness, Commissioner, that you would like to pose
6 your question to, or more than one, and if not at that point we
7 can do a late-filed then if it is still needed.

8 COMMISSIONER McMURRIAN: That's perfectly fine. That
9 was all my questions.

10 CHAIRMAN EDGAR: Okay. Mr. Anderson, about how much
11 do you have on redirect?

12 MR. ANDERSON: Probably 20 minutes.

13 CHAIRMAN EDGAR: Mr. Guest.

14 MR. GUEST: Well, of course, that creates timing
15 issues now because we had had fantasies yesterday about
16 finishing today.

17 CHAIRMAN EDGAR: Actually, my fantasy initially was
18 that we were going to get done with Mr. Sim yesterday.

19 MR. GUEST: Yes, that's true. Well, we had had a
20 representation that we were going to have about 20 minutes of
21 questions. It is over an hour now, and we flew Mr. Plunkett in
22 in the wee hours of the morning, and he has to leave, of
23 course, today. I think if we can get through him today, things
24 are going to work out. But we really need a commitment to try
25 to do that.

1 I, in response to your suggestion, had foregone a
2 number of questions about emission controls even though that
3 came up, and about a number of other items that also came up.
4 But I think since there is another witness coming up on
5 rebuttal, I'm going to heed your suggestion and narrow my
6 questions to one person whenever possible. And would hope that
7 we would get the same courtesy on redirect here, that if these
8 are questions that can be asked of another witness we won't
9 replot the same ground.

10 CHAIRMAN EDGAR: I will expect mutual courtesies.

11 MR. GUEST: Thank you.

12 CHAIRMAN EDGAR: Does that mean, Mr. Guest, that your
13 reference is to take up Mr. Plunkett before Mr. Furman?

14 MR. GUEST: Most definitely.

15 CHAIRMAN EDGAR: And, Mr. Anderson, I think you
16 indicated yesterday that you were amenable to that.

17 MR. ANDERSON: That's fine. Thank you.

18 CHAIRMAN EDGAR: Okay. Then at some point we will
19 need to take a lunch break. We can take an abbreviated one.
20 I'm going to look to make sure, Commissioners, that works for
21 each of your schedules, we take an abbreviated lunch. Okay.

22 Mr. Anderson, I can go either way. Since you are up
23 next, I'm going to look to you first. We can push through now
24 or we can take a short lunch break now and come back with you.

25 MR. ANDERSON: If it's all right, let's just ask our

1 witness how he's feeling. If he wants to --

2 CHAIRMAN EDGAR: Absolutely.

3 THE WITNESS: Twenty minutes, let's finish, please.

4 MR. ANDERSON: We will do our best together.

5 REDIRECT EXAMINATION

6 BY MR. ANDERSON:

7 Q Mr. Sim, you were given a document by Mr. Guest
8 entitled Exhibit 183, future options for generation of
9 electricity from coal?

10 A That's correct.

11 Q He asked you some questions about certain portions of
12 that document. Are there any other portions of that document
13 that you would like to provide information concerning?

14 A Yes. Having had a chance to review the document a
15 little bit more thoroughly, I find that there are two pages
16 upon which there is information that was not included in the
17 question and answer session. The first of those has to do
18 with, again, the gentleman, Mr. Black, the president of Tampa
19 Electric, stating that barriers to IGCC units include, quoting,
20 higher capital costs and higher operations and maintenance
21 costs.

22 I note that that is certainly consistent with the
23 document that we were discussing earlier where we were looking
24 at the three columns of Staff's Exhibit 155 or 156, in which we
25 had the ultra-supercritical and the IGCC side-by-side. And

1 even after adjusting for the AFUDC being included on the
2 capital cost side of the IGCC, my estimate is we are going to
3 see capital costs about 40 percent higher, we are going to see
4 operating cost numbers on that page about 40 percent higher, as
5 well. Which, again, is consistent with Mr. Black's paper here
6 on Page 6.

7 The other thing that I noted is that on Page 4, the
8 first line of Mr. Black's document, he quotes the efficiency of
9 Polk's IGCC unit or heat rate is approximately 9,500 Btu per
10 kilowatt hour. And I will note that that is also consistent
11 with the analyses numbers that FPL has been using. In fact, we
12 have been generous to IGCC in using a heat rate of 9,400
13 instead of the higher 9,500. And that, again, points out the
14 advantage of the ultra-supercritical unit with our heat rate of
15 8,800.

16 Q Very good. Mr. Guest was asking you some questions
17 concerning comparative dollars per kW and asserting that there
18 is about \$2,600 per kW capital costs for the proposed TECO
19 plant. Could you please take a look at this document which
20 will be delivered to you.

21 MR. ANDERSON: If we could mark this, please. I
22 think we are up to 189 now.

23 CHAIRMAN EDGAR: Yes.

24 (Exhibit 189 marked for identification.)

25 BY MR. ANDERSON:

1 Q Doctor Sim, we heard yesterday that the TECO plant is
2 not even in a preliminary design stage, and cost estimates
3 haven't been done, and all of that homework to figure out
4 actual costs, but what is Document 189, and what does it show
5 as being reported with respect to dollars per kW?

6 A The document is an excerpt from Tampa Electric's
7 2007, its most recent Ten-Year Site Plan, and it is showing
8 Schedule 9 on which the utilities are required to report their
9 best projections for future units. And what it shows down in
10 Row 13, the third row there, total installed cost in-service
11 year of \$3,180 per kW with a footnote. And the footnote says
12 that this is a preliminary cost estimate subject to change
13 based on overnight construction cost of 1.6 billion.

14 The way I would interpret that is not only is this
15 number of almost \$3,200 a kW significantly higher than the
16 number that we were discussing in my cross-examination earlier,
17 it is probably a low number and will be revised upward as the
18 preliminary costs are tightened up.

19 Q Doctor Sim, Ms. Brubaker discussed reserve margin,
20 and we talked about the Hines 3 order. Did the Hines 3 order
21 also address the effect of greater reliance on load control for
22 meeting reserves?

23 A Yes, it did. In fact, I will read the appropriate
24 portion. FPC has relied heavily in the past on demand-side
25 management, DSM, to meet its reserve requirements. FPC cannot

1 use DSM as often or with the same duration as physical
2 generation without eventually affecting customer participation
3 levels, as was demonstrated by FPC's customer attrition from
4 its DSM programs in 1998 and 1999. The record indicates FPC's
5 DSM programs are becoming less cost-effective compared to the
6 cost of generation. For these reasons, FPC is attempting to
7 build up its physical reserve percentage.

8 Q There were some questions about the FRCC reserve
9 margins. Do you remember those?

10 A Yes.

11 Q Should FPL rely on the FRCC reserve margin?

12 A No, it shouldn't. The FRCC margin really has nothing
13 directly to do with FPL's reserve margin. FPL is obligated to
14 serve its customers reliably and, therefore, needs to develop
15 plans and reserves to do just that. Whether the FRCC other
16 member utilities are operating at a particular reserve margin
17 or not, and the state and the peninsular as a whole is
18 operating at a particular reserve margin has no direct effect
19 upon FPL and its projected reserves.

20 I also note going back to the document that was put
21 in front of me that we showed the FRCC was showing or
22 projecting reserves of significantly higher than 20 percent.
23 And what that would indicate to me, based on my knowledge of
24 the contribution of the three IOUs to the Peninsular Florida,
25 which is roughly in the 75 to 80 percent contribution level for

1 the peninsular as a whole, is that if FPL, TECO, and Progress
2 Energy Florida all were exactly at 20 percent, and each of the
3 other member utilities was at 15 percent, we would see an FRCC
4 reserve margin of 19 percent. What we are seeing on that
5 document are reserve margins of 22 to 25 percent in many years,
6 which indicates to me that a number of the member utilities
7 which are required by the FRCC to operate at a 15 percent
8 reserve margin, believe that a 15 percent reserve margin isn't
9 sufficient for them. And, therefore, they are projecting
10 reserve margins significantly higher than 15 percent. It would
11 have to be so in order to get Peninsular Florida reserve
12 margins in the 22 to 25 percent range.

13 Q Ms. Brubaker asked you about the capital costs
14 associated with the FGPP. If in the future an opportunity
15 arose where FPL was able to spread the fixed costs of FGPP over
16 a greater number of billing determinants, what would the effect
17 of that be on the cost-effectiveness of FGPP?

18 A I'm sorry, what was the end of the question, please?

19 Q What would the effect be on the cost-effectiveness of
20 FGPP?

21 A I think I would answer in two parts. I'm not sure it
22 would effect the cost-effectiveness of the unit one way or
23 another in regard to any other type of technology, but it would
24 result in a lower electric rate impact to our customers if it
25 were spread over a greater number of units.

1 MR. ANDERSON: We may be done even quicker. Let me
2 just consult with my colleague for a moment.

3 BY MR. ANDERSON:

4 Q Doctor Sim, what do you think would happen if the
5 reserve margin were reduced to 15 percent as it relates to
6 reliance on DSM and load control for maintaining adequate
7 reserves?

8 A I think there are two things that would happen. I
9 think, number one, if FPL were directed to go to a 15 percent
10 reserve margin, despite our belief that that is not the
11 adequate level of reserves for our company, and we followed
12 through with a 15 percent reserve margin, we would have to
13 examine the need for all resources, whether they are generation
14 or DSM, because DSM competes with generating resources.

15 We would clearly be adding less resources to our
16 system. We may well end up that the most cost-effective thing
17 to do is to reduce the DSM that we are currently planning on
18 implementing. We may end up with less generation than what we
19 are currently planning, but there is no guarantee that we would
20 stay with the same level of either generation or DSM.
21 Something would have to give, we are not sure which. It would
22 have to be analyzed in order to determine which would be the
23 most cost-effective move to make in terms of reducing
24 resources.

25 In regard to the existing load control programs that

1 we have, I think it is safe to say that the frequency of usage
2 of those programs would have to increase as the exhibit that we
3 discussed earlier showed in regard to having enough capacity
4 on-line in order to perform maintenance.

5 Q Did the Hines 3 order that you looked at a minute ago
6 also discuss load control?

7 A Yes, it did. And I think I read the relevant
8 passage. In the Commission's order they were referring to
9 cannot use DSM. I take that to mean dispatchable DSM, which
10 would be load control. And it stated that they cannot use DSM
11 as often or with the same duration as physical generation.

12 Q Would use of a 15 percent reserve margin effect the
13 company's reliance on DSM, and what do you think the effect
14 would be on customer participation in DSM?

15 A We would certainly be relying more on the usage of
16 load control than we do now. If the frequency of that usage
17 got to the point where it did for Progress Energy Florida in
18 1998 and 1999, in which 70,000 of their residential load
19 control participants bailed out of the program almost overnight
20 due to an overreliance of it over a summer, we could experience
21 similar, if not even greater, dropout rates. And that would
22 also make it exceedingly difficult to sign up replacement or
23 new customers if word got out that FPL was pushing the button
24 with much greater frequency than they had before.

25 Q So what we are really talking about is the difference

1 between having operating generating reserve to provide power
2 versus the ability to basically push a button, interrupt
3 service, have people stop using electricity, right?

4 A Yes. Each has its role, and I don't think anyone
5 would operate a system in which there was a heavy reliance upon
6 interruption of customers even though it were a voluntary
7 sign-up for those customers, because you could quickly reach
8 the point, as Progress Energy Florida did, where they simply
9 begin losing those customers in large blocks.

10 MR. ANDERSON: That's all we have. Thank you.

11 CHAIRMAN EDGAR: Okay. Let's take up exhibits. We
12 will start with Exhibits 46 through 60. Seeing no objection,
13 46 through 60 will be entered into the record.

14 (Exhibit 46 through 60 admitted into the record.)

15 CHAIRMAN EDGAR: Exhibit 182 was the need study and
16 appendices. Seeing no objection, we will enter that into the
17 record.

18 (Exhibit 182 admitted into the record.)

19 CHAIRMAN EDGAR: Which brings us to 183 and 184,
20 which were put forth by Mr. Guest. Any objection?

21 MR. ANDERSON: We are fine with 183. We would ask
22 that 184 be taken up with Mr. Jenkins before a ruling. That
23 was the one that was the subject of extensive discussion.

24 CHAIRMAN EDGAR: Okay. 183 will be entered into the
25 record and we will discuss 184 later in the proceeding.

1 (Exhibit 183 admitted into the record.)

2 CHAIRMAN EDGAR: And 185 was going to be late-filed.
3 186 was offered by Ms. Brubaker.

4 MS. BRUBAKER: Yes, and I would move both 185 and
5 186 into the record.

6 CHAIRMAN EDGAR: You have received 185?

7 MS. BRUBAKER: Well, you're right, no. My apologies.

8 CHAIRMAN EDGAR: Okay. 185 to be late-filed, and
9 186 to be entered into the record. And then 187 and 188 were
10 passed out, Mr. Anderson. Any objection? And 189. Seeing no
11 objection, 187, 188, and 189 entered into the record. The
12 witness is excused.

13 Thank you, Doctor Sim.

14 (Exhibits 186 through 189 admitted into the record.)

15 CHAIRMAN EDGAR: Okay. The next four witnesses were
16 stipulated. Let's go ahead and take up entering that testimony
17 and exhibits into the record so that we will know where we are
18 then, I think, for the next few steps.

19 Ms. Brubaker, am I correct that the next thing we
20 need to do is enter the prefiled testimony of Witness Damon?

21 MS. BRUBAKER: That is correct. It would be
22 Witnesses Damon, Sanchez, Coto, and Yupp. We could take up Mr.
23 Damon first.

24 CHAIRMAN EDGAR: Any objection?

25 MR. GUEST: No objection.

1 CHAIRMAN EDGAR: Okay. Then we will enter the
2 prefiled testimony of Witness Damon into the record.

3 MS. BRUBAKER: And I would notice that Mr. Damon does
4 not have any prefiled direct exhibits.

5 CHAIRMAN EDGAR: With no exhibits, thank you. And
6 Witness Sanchez. We will enter the prefiled direct testimony
7 of Witness Sanchez into the record, and Exhibits 63 through 66.
8 Seeing no objection, those exhibits will be entered into the
9 record, as well.

10 Which brings me to Witness Coto. The prefiled
11 testimony of Witness Coto will be entered into the record, as
12 well as Exhibits 67 through 72.

13 (Exhibits 63 through 72 admitted into the record.)

14 MS. BRUBAKER: That is correct.

15 CHAIRMAN EDGAR: And Witness Yupp's prefiled
16 testimony will be entered into the record. I see no exhibits,
17 is that correct?

18 MS. BRUBAKER: That is correct.

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **DIRECT TESTIMONY OF WILLIAM H. DAMON III**

4 **DOCKET NO. 07 _____-EI**

5 **JANUARY 29, 2007**

6

7 **I. INTRODUCTION AND CREDENTIALS**

8

9 **Q. Please state your name and business address.**

10 A. My name is William H. Damon, III. My business address is Cummins &
11 Barnard, Inc., 5405 Data Court, Ann Arbor, Michigan, 48108.

12 **Q. By whom are you employed and what is your position?**

13 A. I am employed by Cummins & Barnard, Inc. ("C&B") as the Chief Executive
14 Officer (CEO).

15 **Q. Please describe your duties and responsibilities in that position.**

16 A. Currently as CEO, I am primarily focused on our strategic consulting and
17 Owner Engineering business for industrial and utility clients in addition to
18 managing the business operations of the firm. This includes leading the
19 Owner Engineering assignments presently on two coal-fired projects: the We
20 Energies 2 x 615 MW Elm Road Generation Project and the E ON U.S. 750
21 MW Trimble County Unit 2 Project.

1 **Q. Please describe your educational background and business experience as**
2 **it relates to your testimony.**

3 A. I received a Bachelors of Science Degree in Mechanical Engineering from
4 Michigan State University in 1975 and have taken graduate level courses in
5 engineering and business administration from both Michigan State and the
6 University of Michigan. I am a registered professional engineer in 6 states
7 and am certified with the National Council of Examiners for Engineering and
8 Surveying. Additionally, I am a member of the American Society of
9 Mechanical Engineers as well as the National Society of Professional
10 Engineers.

11

12 I began my career with an electric utility, Consumers Power Company in
13 Jackson, Michigan as a mechanical engineer in the Corporate Management
14 Development Program with a broad range of assignments in the design,
15 construction and startup of utility power plants. This included startup and
16 commissioning of the 500 MW oil-fired D.E. Karn Unit 4 and Lead
17 Mechanical Engineer for the 770 MW coal-fired J.H. Campbell Unit 3 Plant
18 from design development through commercial operation. I subsequently spent
19 8 years with an international consulting engineering firm,
20 Gilbert/Commonwealth, Inc. with my primary assignment being Manager of
21 Advanced Engineering and Mechanical Staff. I managed and was responsible
22 for staff expertise in key power plant systems as well as cogeneration and
23 advanced technologies including gasification and fluid bed combustion. For

1 two years I was with an independent power producer (IPP), Alternative
2 Energy Ventures and was actively engaged in the operations and development
3 of cogeneration projects as well as the development and farm-out negotiations
4 of coal seam methane property/leaseholds in Colorado. In 1990, I joined
5 C&B as a principal and co-owner and have been significantly involved in
6 power generation development and engineering projects on behalf of public
7 utilities, power developers, municipalities, as well as large industrial and
8 institutional clients since that time.

9 **Q. Have you previously provided testimony in a public utility proceeding?**

10 A. Yes. I submitted testimony in connection with the September 2003 Certificate
11 of Public Convenience and Necessity application for Wisconsin Electric
12 Power Company's filing for construction of the Elm Road Generating Station
13 - 2 x 615 MW Supercritical coal-fired power project, Docket No. 05-CE-130.
14 The purpose of my testimony was to discuss and present C&B's work
15 associated with the bid evaluation and project development for the
16 Engineer/Procure/Construct (EPC) contractor selection with commentary and
17 opinion as to the reasonableness of the contracting approach and competitive
18 bid/development process focused on the resulting design and target EPC price
19 being submitted for the project.

20 **Q. Are you sponsoring any part of the Need Study for this proceeding?**

21 A. Yes. I co-sponsor Section III. G. of the Need Study.

II. PURPOSE

1

2

3 **Q. What is the purpose of your testimony in this proceeding?**

4 A. The purpose of my testimony is to present the conclusions of our independent
5 engineering review of the FPL contracting strategy and estimated cost for the
6 FGPP Project and render opinion based on the results of our evaluation as to
7 reasonableness and market competitiveness for this 2 x 980 MW ultra-
8 supercritical pulverized coal-plant development (with Unit 1 and 2
9 commercial operations dates targeted for mid-2013 and 2014 respectively).

10 **Q. What are the qualifications of Cummins & Barnard in offering
11 Independent Engineering testimony?**

12 A. C&B is very active in the present sub-critical (SPC) and large supercritical,
13 pulverized coal-fired (SCPC) power project market serving as Owner's
14 Engineer on multiple projects in various states of development, bidding and
15 construction. Key representative and active projects include:

16

- 17 • We Energies Elm Road Generating Station – Two x 615 MW SCPC units
18 presently under construction with commercial operating dates (COD) set
19 for 2009 and 2010.
- 20 • E ON U.S. Trimble County Unit 2 – 750 MW SCPC unit presently under
21 construction with the EPC contract finalized and issued July 2006 with a
22 COD in 2010.

- 1 ● UAMP/IPA Intermountain Power Plant Unit 3 – 900 MW SCPC project
2 currently in the EPC bidding phase with a tentative COD of April, 2012.
- 3 ● Nevada Power Ely Energy Center – 2 x 750 MW SCPC in development
4 stage, with C&B currently working on finalizing contracting approach and
5 design development/bid documents for 2007 submittals for equipment and
6 EPC bidding.
- 7 ● Target priced EPC contract development with design, construction and
8 pricing monitoring through Owner’s Engineer assignments on five large
9 Air Quality Control System (AQCS) retrofit projects on existing coal-fired
10 units.

11 **Q. Are you presently involved in any major coal-fired generation projects**
12 **and contracting strategy or cost development?**

13 A. Yes. As previously noted, I am managing our engineering assignments for
14 both the We Energies 2 x 615 MW Elm Road Generation Project and the E
15 ON U.S. 750 MW Trimble County Unit 2 Project. Our scope of work for both
16 assignments has involved project cost estimating, EPC contract development,
17 major equipment selection, technical and commercial bid review, and related
18 tasks. I am also familiar with and review similar cost estimation and
19 development engineering efforts for the other active in-house coal-fired
20 generation and AQCS retrofit projects for clients including Nevada Power,
21 UAMP/IPA, Consumers Energy, Constellation, and FirstEnergy.

1 **Q. What steps did you take in completing an independent engineering**
2 **evaluation of the FGPP project?**

3 A. FPL established the overall cost estimate for FGPP, as documented in the
4 testimony provided by Mr. William Yeager. FPL provided access to major
5 equipment bid tabulations, EPC cost estimates, transmission interconnection
6 and integration data, and financial cash flow calculations that C&B used in
7 our independent evaluation. Representatives of C&B including myself also
8 completed a series of interviews with FPL and EPC contractor personnel to
9 review the process, data and costs used to construct the FGPP estimate.
10 Lastly, we compared the resulting FPL FGPP approach and costs to cost data
11 and contracting options from other active coal projects to establish our
12 independent opinion.

13

14 **III. OVERALL PROJECT COST ESTIMATE AND CONTRACTING**
15 **STRATEGY**

16

17 **Q. What constitutes the total installed cost estimate for the FGPP Project?**

18 A. The overall installed cost for the two-unit FGPP, as located on a new site not
19 previously developed and remote from interconnecting utilities (termed "green
20 field"), includes several major cost components as presented in the testimony
21 of Mr. William Yeager (Exhibit WLY-1). These major cost components
22 include the following:

- 1 • Power Plant Costs, including major equipment (Boilers, Steam
2 Turbine/Generators (ST/Gs) and Air Quality Control Systems
3 (AQCS)), balance-of-plant equipment and commodities, construction;
4 and startup/commissioning costs.
- 5 • Transmission Interconnection and Integration Costs, between the
6 FGPP generator step-up transformers and the existing high voltage
7 grid, as outlined and defined in Mr. Jose Coto's testimony.
- 8 • Owner's Costs, including Power Plant and Transmission line Land
9 acquisition costs and allowance for funds used during construction
10 (AFUDC).

11 **Q. On what aspects of the total FGPP cost did you focus your independent**
12 **engineering efforts and why?**

13 A. C&B principally focused on the Power Plant Costs, including assessment of
14 the commercial and contracting strategy that resulted in the major equipment
15 and EPC contract pricing being submitted by FPL. Additionally, we reviewed
16 the design basis and cost estimate for the Transmission Interconnection and
17 Integration portion of FGPP and certain Owner's Costs (specifically the
18 allowance for funds used during construction (AFUDC)).

19 The results of our independent review are contained in Sections IV (Power
20 Plant), V (Transmission Interconnection and Integration) and VI (Owner's
21 Costs) of this testimony.

1 **Q. Please describe your understanding of the overall contracting approach**
2 **and competitive pricing options being pursued by FPL as part of**
3 **establishing the FGPP project cost.**

4 **A.** FPL followed what I will term as a “hybrid EPC” contracting strategy for
5 project development and definition of Power Plant costs. This strategy
6 involves the direct purchase of major equipment by the Owner with the
7 development of the EPC scope, price and terms on an open-book basis to
8 conform a fixed price EPC contract.

9
10 Based on the efficient, power generation thermal cycle and major equipment
11 requirements established by FPL for the Power Plant, a competitive
12 solicitation, negotiation, and award process was conducted by FPL for the
13 major equipment contracts (boilers, steam turbine/generators, air quality
14 control systems). In parallel to major equipment competitive bidding, FPL
15 undertook “open book” project definition and commercial negotiation of an
16 engineer-procure-construct (EPC) contract with their selected contractor that
17 was benchmarked against a recent, similarly sized, competitively bid project.
18 The scope of this EPC contract did include design engineering for balance-of-
19 plant equipment as well as materials procurement, construction, startup and
20 commissioning services for the complete Power Plant inclusive of installation
21 of major equipment noted above with commercial terms based on the
22 competitively bid West County Energy Center EPC Agreement.

1 With respect to Transmission Interconnection and Integration, FPL selected a
2 multiple supplier self perform strategy for development and cost estimation
3 consistent with its past practice. The FPL Transmission Group completed all
4 preliminary transmission line routing, and conceptual design, for the
5 Transmission Facilities. This conceptual design served as the basis from
6 which cost estimates for each portion of the Interconnection and Integration
7 were developed. We understand that FPL will ultimately utilize a competitive
8 bidding process for major equipment procurement from multiple sources and
9 for specialized construction services for transmission lines consistent with
10 past FPL practice. Section V of my testimony contains further commentary
11 on Transmission Interconnection and Integration costs.

12 **Q. What is meant by the term “open book” as defined and utilized in the**
13 **EPC Contract development?**

14 A. The term “open book” definition refers to the collaborative efforts of an owner
15 and contractor to establish the EPC scope, price, and terms. For FGPP,
16 engineered equipment, commodity quantities and costs, construction labor
17 hours and rates, as well as construction indirect costs, were initially prepared
18 by the contractor utilizing a similar project database that was subsequently
19 used as the basis and proxy for contractor and FPL negotiations for FGPP.

20 **Q. Is this hybrid contracting approach used by FPL unique in the market**
21 **place?**

22 A. No. The hybrid EPC contracting strategy implemented by FPL has many
23 similarities to strategies being utilized by other public utilities and energy

1 companies. The hybrid strategy is particularly appropriate and prevalent in
2 today's very active market place, given that both EPC contractors and major
3 equipment manufacturers are resource-constrained and selective in which
4 projects or processes they are willing to participate in, typical of a seller's
5 market.

6 **Q. Would other contracting strategies, such as a competitively-bid lump sum**
7 **turnkey (LSTK) strategy, have yielded a more accurate estimate of the**
8 **EPC costs for the Power Plant?**

9 A. No. As stated, resource constraints and current activity levels within the ranks
10 of experienced EPC contractors and major equipment manufacturers, along
11 with forecast uncertainties for material and labor escalation coupled with the
12 timeline of FGPP development, would not be supportive of a competitive
13 LSTK strategy. Even if the front end schedule supported a competitive bid
14 process, the ability to secure an adequate number of qualified EPC contractors
15 would be a significant challenge in today's market and we do not believe such
16 an approach would yield a more accurate estimate of Power Plant costs.
17 Combining the resources of FPL and an experienced EPC contractor to
18 collaboratively establish EPC pricing on an open book basis, in parallel to
19 confirming major equipment pricing, allowed for a comprehensive
20 consideration of project-specific configuration issues as well as overall
21 constructability and costs. Utilizing a detailed estimate from a similar proxy
22 project on an open book basis to match FGPP project schedule and design

1 requirements further reduced uncertainty for both parties (see Section IV.2 for
2 additional testimony).

3

4

IV. POWER PLANT COSTS

5

6 **Q. What constitutes the Power Plant cost?**

7 A. The Power Plant Cost includes major equipment pricing, EPC contract
8 pricing, and other Owner's Costs. The bulk of the Power Plant Cost
9 (approximately 75 percent) is comprised of major equipment and EPC costs.
10 The basis for these two cost components is reviewed in Parts IV.1 and IV.2
11 respectively, with comments on overall Power Plant cost included in Part IV.3
12 of my testimony. Owner's Costs are addressed in Part VI.

13 **Q. What influence does the contracting strategy employed have on Power
14 Plant cost?**

15 A. The contracting strategy employed by an Owner directly affects the accuracy
16 of the Power Plant component of the overall project cost estimate, of which
17 the two largest components are major power generating equipment and
18 balance-of-plant EPC costs. Certain strategies such as those employed on the
19 FGPP project and further defined in this testimony reduce cost uncertainty via
20 upfront negotiation of the pricing with reputable manufacturers and
21 contractors.

1 The contracting strategies employed on recent and current-day major coal unit
2 developments were compared and contrasted to the strategy implemented by
3 FPL. Results of this comparison, with focus on the reasonableness of major
4 equipment and EPC pricing received, are contained in Sections IV.1 and IV.2
5 respectively. Section IV.3 of this testimony provides commentary on the
6 Power Plant cost component in total.

7

8

IV.1 MAJOR EQUIPMENT

9

10 **Q. What constitutes “major equipment” and what contracting strategy was**
11 **taken to define the major equipment scope of supply and pricing?**

12 **A.** Major equipment for the two-unit FGPP consists of the boilers (with boiler
13 auxiliaries including fans, economizers, air heaters, pumps, selective catalytic
14 reduction equipment, and other equipment), steam turbine/generators (ST/G,
15 with auxiliaries), and air quality control systems (AQCS). The AQCS scope
16 includes a pulse jet fabric filter, induced draft fan, wet flue gas desulfurization
17 equipment, and a wet electrostatic precipitator. The major equipment in each
18 of the two units is separate but identical. FPL chose to bid, negotiate, and
19 select major equipment using a competitive bid process with defined technical
20 and commercial requirements, as a means of confirming price and delivery to
21 reducing price uncertainty and escalation in today’s active market.

1 All equipment was based on FPL's selection of an ultra-supercritical thermal
2 cycle for this coal-fired power generation project. The equipment
3 requirements were extrapolated from the ultra-supercritical design prepared by
4 FPL and their engineering consultant, with defined performance requirements
5 and airborne emissions limits consistent with those defined in the Site
6 Certification (SCA) and Prevention of Significant Deterioration (PSD) permit
7 applications submitted for the FGPP.

8
9 As was presented to us, the competitive bid process included at least three
10 bids for each of the major equipment type (e.g., boilers) from what we would
11 agree are recognized, qualified and experienced manufacturers. Bid tab
12 comparison of manufacturer submittals were prepared by FPL staff, with
13 technical and performance factors compared and evaluated to establish the
14 lowest evaluated selection for each major equipment type.

15 **Q. Was the selected strategy appropriate for obtaining competitive pricing**
16 **for FGPP-specific major equipment in the current marketplace?**

17 A. Yes. Given the very active market place, FPL did receive bids for each major
18 equipment type and the competitive bidding process with defined commercial
19 and technical requirements were compared to other strategies in use and found
20 to be reasonable and representative of a well-managed process.

1 **Q. What is the total price for the Unit 1 and 2 major equipment and is this**
2 **considered reasonable in today's marketplace?**

3 A. The pricing for the boilers, ST/Gs, and AQC systems for both FGPP units, as
4 noted, was established through a competitive bid and evaluation process that
5 was provided for our review. From this process, the capital price summation
6 for major equipment in December, 2006 dollars was established at
7 [REDACTED]. On a dollars per net kilowatt (\$/kW) basis, this represents a
8 cost of \$ [REDACTED].

9
10 My independent review of this pricing in comparison to recent 2006
11 procurements and pending awards on other projects found such pricing to be
12 reasonable and representative of current market trends.

13 **Q. What are industry trends for major equipment pricing looking forward,**
14 **based on manufacturing capacity, prices for labor and materials, and**
15 **other factors?**

16 A. Current and near-term industry trends for major equipment pricing are still
17 escalating upward from early 2006 pricing, as a result of the heavy
18 commitment of space within major manufacturer's production schedules,
19 combined demand for equipment for both new plants and existing plant
20 retrofits, limited number of manufacturers, and continued escalation of key
21 commodity materials such as high alloy steel. A contracting strategy wherein
22 the equipment design requirements are established to match thermal cycle and
23 emission limits, and then competitively bid, is considered to be a "least-cost"

1 approach, particularly for projects having commercial operating dates targeted
2 for 2013 and 2014, and as such will reduce exposure to potential price
3 escalation and ensure that the equipment will be available in accordance with
4 the project construction schedule.

5 **Q. Why is the AQC system pricing within the overall major equipment**
6 **budget not completely firm and lump-sum as for other equipment, and**
7 **how will the actual incurred costs for such be closely controlled to reduce**
8 **exposure?**

9 A. Approximately 35 percent of the AQCS contract value was bid on a non-firm
10 (provisional) basis. The pricing volatility in the high alloy steel marketplace
11 is the result of a limited number of global producers of high alloy materials
12 and demand for such material from many active projects. Our experience on
13 recent projects involving AQCS systems has been that between 20 and 50
14 percent of the total AQCS price has been on a provisional basis. The
15 approach typically used to control such provisional sums is to tie adjustments
16 to published market indices (termed indexing) for future up-or-down true-ups.
17 This indexing is generally based on a published control standard allowing use
18 of a reasonable Owner's contingency to mitigate future risks of cost change
19 for which neither owner or the manufacturer have control over. FPL's
20 proposed use of an indexing mechanism as included in Mr. William Yeager's
21 testimony is consistent with this approach and consistent with our market
22 experience.

1 **Q. What are your specific conclusions regarding the reasonableness of FGPP**
2 **Major Equipment pricing received?**

3 A. FPL utilized a competitive bidding process involving reputable equipment
4 manufacturers. FPL conducted a detailed evaluation and is at the time of our
5 review finalizing negotiations with the selected manufacturers for each major
6 equipment component noted, that appears to be on the basis of lowest
7 evaluated cost. This selection process was determined to be consistent with
8 standard industry practices. As previously noted, the timing of major
9 equipment procurements was viewed to be suitable to minimize the effects of
10 market place price escalation and to support the overall project schedule (risk
11 of delayed equipment delivery).

12

13 **IV.2 ENGINEERING, PROCUREMENT, AND CONSTRUCTION (EPC)**

14

15 **Q. What constitutes the EPC price?**

16 A. The EPC price includes all direct and indirect equipment, commodity and
17 construction costs associated with the complete Power Plant, less the major
18 equipment purchases discussed earlier. Major cost components within the
19 EPC price include procurement of balance-of-plant materials, engineered
20 equipment, and construction labor for EPC supplied equipment as well as
21 major equipment erection costs.

1 Q. What was the contracting strategy that FPL used to select an EPC
2 contractor and how was the method used to develop pricing for the EPC
3 component of the Power Plant cost?

4 A. During the formative stages of the FGPP project, we understand that FPL
5 contacted a select group of domestic EPC contractors to determine relative
6 interest in project participation and to discuss potential bid and contracting
7 strategies. These discussions confirmed that the EPC marketplace was highly
8 subscribed and that contractors were non-supportive of competitively bidding
9 such a large project, particularly on a lump-sum turnkey basis. Zachry
10 Construction did indicate interest and resource availability to support FGPP
11 through a joint venture of Black & Veatch Corporation and Zachry
12 Construction (BVZ). This team was willing to pursue this project on a
13 negotiated "open book" basis, utilizing a detailed estimate database from a
14 number of similar supercritical coal projects, to develop a firm, lump sum
15 EPC contract. We understand that BVZ was recently awarded the West
16 County combined cycle project by FPL following a competitive bid process
17 and have successfully executed several other EPC contracts for gas-based
18 power projects in Florida for FPL. They also have a strong resume of coal-
19 fired power generation projects with several recent EPC awards for domestic
20 supercritical coal projects from competitive bidding.

21
22 The result was that FPL and BVZ agreed to develop the EPC price and
23 contract for FGPP, using "open book" adjustment of the costs from a

1 comparably sized project as the proxy for scope definition and pricing. The
2 proxy project is a similarly sized Texas-based, single supercritical coal-fired
3 unit with design and cost development data based on mid-2006 timing; we
4 understand that BVZ was the lowest evaluated bidder for the EPC on this
5 proxy project.

6
7 The open book adjustment process considered differences in project size (e.g.,
8 two units versus one), site development differences, scope changes (e.g., dry
9 to wet AQCS scrubber conversion, increased common system sizes, larger
10 cooling tower), specific major equipment suppliers and thermal cycle and fuel
11 differences as a means of defining equipment and commodity requirements
12 and changes to the benchmarked proxy project. Labor adjustments were also
13 made, for differences such as craft/crew size changes for the different state
14 and sites, but reflective of the 50-hour construction work week similar to the
15 proxy. The adjusted EPC estimate for FGPP was then adjusted for escalation
16 based on anticipated timing for procurements and construction activities. This
17 FGPP estimate thus reflects the level of detail that would typically be prepared
18 for a competitive bid, but tailored specifically for FGPP site, fuel, and
19 technology requirements.

20
21 This open book process, as we reviewed it, provided a means for FPL to
22 participate in project development and cost data in parallel. As was
23 previously mentioned, the parties agreed that the commercial terms and

1 conditions for the recently negotiated West County project would be the basis
2 for the FGPP EPC agreement with minor adjustments. Given that the proxy
3 project had been awarded to BVZ in a competitive bid process and that
4 comparable commercial terms had been recently (2006) negotiated between
5 the parties, the strategy of open book development and negotiation was
6 viewed to be well-structured and cost-effective means of establishing the EPC
7 scope and price for FGPP. This position is reinforced in today's active
8 marketplace, wherein we are assisting other plant owners with the
9 implementation of similar hybrid EPC contracting strategies to control costs
10 and schedule and gain early commitments from key suppliers.

11 **Q. Is the selected EPC contractor capable and qualified to execute the**
12 **project?**

13 A. The BVZ joint venture has a resume of successful EPC power generation
14 projects throughout the United States, and is actively involved in a number of
15 current domestic coal-based projects including OPPD's Nebraska City Unit 2
16 and CPS's Spruce Unit 2 projects. Additionally, BVZ has constructed
17 multiple EPC-based projects for FPL in Florida in the last five years and as
18 such is also very familiar with the construction labor market in Florida. In
19 conclusion, we have found BVZ to be a very qualified EPC contractor and
20 well-suited to execute the coal-based EPC contract for the FGPP.

1 **Q. How was the price for balance-of-plant (BOP) engineered equipment and**
2 **commodities established within the EPC cost estimate, and was the basis**
3 **for such considered reasonable?**

4 A. Using the open book approach, BVZ and FPL collectively defined BOP
5 equipment and commodities required for the FGPP conceptual design through
6 adjustment of a detailed take-off for the proxy supercritical power generating
7 plant that BVZ previously competitively bid. This process accounted for
8 project-specific differences as well as multiple units and common plant
9 system differences. This approach produced both a detailed ledger of BOP
10 equipment/commodities and a means and basis for defining the amount of
11 construction labor (craft types, crew sizes, number of labor hours) and
12 indirects required for the EPC pricing effort. The costs within the ledger were
13 then adjusted via escalation factors to account for expected future timing for
14 procurement and specific construction activities. This approach was
15 considered to be appropriate and effectively managed by FPL to conform the
16 technical BOP scope and price for the FGPP.

17
18 As the FGPP design is still conceptual at this time for many of the BOP
19 system requirements, prices for the following BOP components were defined
20 and negotiated on a provisional basis: combined Unit 1/2 chimney, Unit 1 and
21 2 surface condensers, fuel/limestone/gypsum material handling, mechanical
22 draft cooling tower, site work, and water supply and wastewater injection
23 wells. Review of these provisional sums determined that such were

1 considered reasonable and representative of current market costs for the FGPP
2 requirements, and that any future adjustments to these components to reflect
3 final project design will have a nominal impact on the total Power Plant cost.

4 **Q. How was the Construction Labor wage rate established within the FGPP**
5 **estimate, and was such consistent with your experience?**

6 A. Construction labor represents a significant portion of the overall EPC price,
7 and consists of the labor wage rate multiplied by the number of hours
8 expected to complete all tasks. The construction labor wage rate established
9 for the West County project in mid-2006 was utilized as a starting point for
10 wage rate calculation for the FGPP Power Plant cost. This wage rate was
11 adjusted for current market conditions (e.g., fringe benefits component
12 increase) and was then escalated to account for a later FGPP construction start
13 in 2008. Due to uncertainty with respect to actual escalation that will be
14 incurred, the general wage rate was agreed to be provisional and an index
15 control standard was created to adjust the rates used in the EPC cost estimate
16 for the impacts of unexpected labor availability or wage rate changes during
17 project execution. Our experience from other projects has been that this
18 indexing process is common in the current EPC market. FPL has proposed
19 that the indexing mechanism included in Document WLY-2 attached to Mr.
20 William Yeager's testimony be used.

1 **Q. How was the overall price for Construction established within the FGPP**
2 **estimate?**

3 A. The overall Construction and Startup and Commissioning requirements for
4 FGPP were established in a similar approach as was employed for BOP
5 Equipment and Commodities. Use of a detailed estimate from the proxy
6 project with adjustment to reflect the FGPP conceptual design and associated
7 details furnished by major equipment manufacturers that provided a
8 reasonable basis for definition of the overall labor required to construct and
9 commission the FGPP. It is noted that the number of skilled trades hours
10 established by BVZ to construct the FGPP are fixed and not subject to future
11 adjustments. Direct and indirect labor man-hours for FGPP were reviewed
12 and compared to similar statistics for multiple supercritical generating plants,
13 and found to be reasonable for the green field site and productivity of the local
14 construction labor market.

15 **Q. Is the EPC Price for the FGPP consistent with those for other current**
16 **major coal-fired power generating stations in the United States?**

17 A. The overall EPC price offered for the FGPP project non-inclusive of major
18 equipment including escalation to support 2013/2014 commercial dates was
19 [REDACTED], or [REDACTED]/kW. Without escalation, the overnight EPC price
20 for FGPP construction in December, 2006 was estimated to be [REDACTED]/kW.
21 For reference the EPC price for the competitively bid proxy project used as
22 the basis for the FGPP estimate was [REDACTED]/kW on a December, 2006 basis.
23 Although project-specific differences can impact the correlation on a project-

1 to-project basis, the FGPP EPC price compares favorably with others
2 proposed or currently under construction (overnight EPC pricing has typically
3 been in the range of \$1000/kW to \$1,400/kW). Given the relatively larger
4 size of the FGPP project and green field construction, the EPC price for the
5 project was judged to be in-line with market and a reasonable estimate of the
6 future cost of this project.

7 **Q. Were commercial terms and conditions established governing the EPC**
8 **portion of the FGPP, as such influence the EPC price?**

9 A. Yes. The base EPC commercial terms and conditions used for the FGPP
10 consisted of those from another recently executed contract between FPL and
11 BVZ. Review of primary "risk" terms in the draft FGPP contract found such
12 to be reasonably consistent with those used on the West County project. The
13 required contractor security to be provided to FPL (combination of
14 guarantees, letters of credit, and surety bonds) was found to be lower than we
15 have seen on other coal-fired projects, but as other security is being provided
16 by the major equipment manufacturers, our general conclusion was that the
17 current market and EPC price basis for FGPP is reasonable and cost-
18 competitive.

19 **Q. Was the approach taken to establish commercial terms and conditions**
20 **reasonable and appropriate with respect to influence on overall FGPP**
21 **price and risks?**

22 A. Yes. As previously stated, there is reasonable alignment between the
23 commercial terms and conditions used on FGPP and those on other projects in

1 industry and such translated into equitable contingency within the EPC pricing
2 offered by BVZ.

3 **Q. What are your specific conclusions regarding the reasonableness of the**
4 **commercial basis and EPC pricing established for the FGPP Project?**

5 A. The process employed by FPL as a means of obtaining an accurate EPC price
6 was based on working with an experienced EPC contractor on an "open book"
7 basis to conform a recently developed, detailed EPC cost estimate from
8 another project to the FGPP specific conceptual design. This allowed for
9 detailed scope, current pricing, and commercial term definitions, with
10 negotiations that resulted in an FGPP project-specific price development in a
11 very active and challenged EPC market.

12
13 Through interviews and review of documents associated with the EPC basis
14 for computation and assessment of the EPC scope, price and terms, our
15 conclusion from comparison of the FGPP development to other projects is that
16 the EPC price component of the FGPP Power Plant cost is reasonable and in-
17 line with the current competitive market.

1 IV.3 POWER PLANT COST ESTIMATE – SUMMARY

2

3 **Q. Please provide your conclusions regarding the reasonableness of the**
4 **Power Plant Cost Estimate prepared for the FGPP and its correlation to**
5 **cost at project completion.**

6 A. As previously mentioned in this testimony, the two largest cost components
7 under the Power Plant Cost are those for major equipment and EPC work.
8 The contracting strategy employed by FPL in our view produced a very
9 accurate estimate of these costs through competitive bidding and open book
10 adjustment and negotiations of a recent detailed EPC cost basis from another
11 project to match to the FGPP conceptual design. Early upfront definition of
12 the plant conceptual design and thermal cycle by FPL was also crucial to this
13 strategy. Our experience to date has indicated that there is strong correlation
14 between a bottom-up cost estimate and actual costs. Understanding this
15 correlation in turn allowed FPL to include what is viewed as a reasonable
16 contingency against the Power Plant cost estimate (included in Owner's
17 Costs). As a result, I have concluded that the Power Plant cost established and
18 indices used to control several provisional items are reasonable and
19 representative of current market conditions.

1 V. TRANSMISSION INTERCONNECTION COSTS

2

3 **Q. What was the process used in developing the scope and details of the**
4 **Transmission Interconnection and Integration configuration for the**
5 **FGPP?**

6 A. As illustrated in testimony provided by Mr. Coto, the FPL Power Delivery
7 Projects and Engineering Group and Transmission Services and Planning
8 Group were involved in the assessment of the interconnection and integration
9 requirements for the FGPP project. We met with the FPL Power Delivery
10 Group and received design and cost estimate data for review from which Mr.
11 Coto's testimony was also based. The basis of the Transmission
12 Interconnection and Integration design appeared to be very comprehensive
13 and consistent with FPL standards regarding interconnection of the FGPP with
14 the existing transmission grid. Issues such as overall grid stability, reliability,
15 maintenance, minimization of electrical/system losses, post-project load flow
16 on the grid, land and right-of-way constraints, existing grid limitations,
17 avoidance of environmental impacts, and capital costs for new transmission
18 facilities were stated to be factored in the selection of the most appropriate
19 interconnection and integration plan. Cost information for the defined
20 Transmission Interconnection and Integration (hereinafter referred to as
21 "Interconnection") were based on conventional FPL estimating methods. A
22 summary of these costs was included in the testimony provided by Mr. Coto.

1 As a result, no significant changes to the plan, as reviewed, are anticipated
2 that would significantly alter the FPL cost estimate.

3 **Q. How were capital costs estimated for the Electrical Interconnection, and**
4 **what importance did capital costs have on route selection and**
5 **configuration?**

6 A. FPL utilized a "bottom-up" estimating process to determine project costs
7 associated with the Transmission Interconnection between the FGPP generator
8 step-up transformers and existing grid. This estimating process principally
9 utilized budgetary equipment and labor quotes, as well as FPL's in-house data
10 base of labor and material unit costs, and was based on a conceptual design of
11 overhead 500 kV circuits and supporting structures, in accordance with the
12 National Electric Safety Code (NESC) and other corporate and industry
13 standards. Equipment (e.g., transformers, circuit breakers, switches,
14 insulators) costs were stated to be established from vendor quotes and FPL's
15 database that we understand are maintained from current and historic
16 construction efforts. Similarly, the unit costs for 500 kV and 230 kV
17 conductors, supporting structures, and other commodities were also obtained
18 from budgetary vendor quotes and in-house historical data.

19
20 Capital costs were an important factor in defining the voltage class, routing
21 requirements (e.g., circuit and structure types and land/easement needs), and
22 interconnection to the existing grid. However, other factors including system

1 reliability appeared to have equal or greater weighting as further addressed in
2 Mr. Sanchez's testimony.

3 **Q. Is the capital cost estimate for the Interconnection reasonable in the**
4 **current marketplace?**

5 A. Yes. The FPL Power Delivery Group's initial capital cost estimate was based
6 on current industry standard practices and costs for construction metrics
7 common in the transmission and distribution field. The capital cost estimate
8 was then factored using historically derived escalation factors for both
9 equipment and material based on the timing of when such materials would be
10 purchased and labor would be expended. Given the remote FGPP site
11 location, early installation of at least one of the 500 kV circuits from the
12 existing grid to FGPP substation is needed to provide power to support FGPP
13 testing prior to commercial operations.

14
15 We independently verified the costs estimated for various components of the
16 Transmission Interconnection system (with the exception of land and right-of-
17 way costs) using in-house methods and conceptual design basis. We found
18 that the costs established by FPL were representative of overhead circuit
19 installation costs. On a cost per lineal mile basis, the 500 kV circuit segments
20 of the conceptual Interconnection design fell within our typical metrics
21 without considering land and right-of-way costs. The costs included for
22 intermediary substations, based on conceptual design, were also found to be
23 reasonable.

1 **Q. What are your specific conclusions regarding the reasonableness of FGPP**
2 **Transmission Interconnection Costs?**

3 A. Our review of the equipment and construction costs estimated for FPL's
4 Transmission Interconnection found such to be reasonable and consistent with
5 industry metrics in today's marketplace. FPL applied escalation factors to
6 present-day capital cost estimates for materials and labor that are consistent
7 with published industry rates, using anticipated material purchase dates and
8 construction timeline per the overall project schedule, as a means of arriving
9 at a final cost estimate for the Interconnection work. The testimony provided
10 by Mr. Coto provides further insight on the costs associated with the
11 Interconnection.

12

13 VI. OWNER'S COSTS

14

15 **Q. What are "Owner's Costs", and how were the Owner's Costs for FGPP**
16 **established?**

17 A. Owner's Costs on a new power generation project typically include the
18 following components: land acquisition (green field projects); project
19 development costs (e.g., technology development, environmental permitting);
20 utility interconnections (e.g., water, wastewater); spare parts and non-capital
21 equipment (e.g., rail cars, plant furnishings); Owner's project management
22 and operating staff salaries; plant startup and commissioning support (e.g.,
23 training, fuel purchase); professional services costs (e.g., legal and tax

1 advice); Owner's overall contingency; and, financing costs (e.g., AFUDC,
2 credit facility administration).

3
4 The Owner's Costs for the FGPP were developed and estimated by the FPL
5 project team, based on significant experience with power generation plant
6 development and construction in the state of Florida. Certain Owner costs,
7 such as simple utility connections, land acquisition, and environmental permit
8 application fees, seem to be established with reasonable certainty based on
9 FPL current work and previous experience. Other Owner's costs, including
10 AFUDC, spare parts, training, and staff costs, were computed based on
11 developed project cash flows, and expected spare parts and staffing
12 requirements specific to FGPP. The last category of Owner's Costs, including
13 fees and costs for utility needs during construction and professional services
14 fees we understand were estimated from similar needs on historical projects
15 and have limited impact to the overall Owner's Cost component.

16
17 As indicated in Mr. Yeager's testimony, Owner's costs associated with Power
18 Plant and Transmission Interconnection and Integration were included with
19 their respective direct costs. Costs for Power Plant and Transmission line
20 Land and AFUDC were separately listed.

1 **Q. How was AFUDC computed on the FGPP project and, based on other**
2 **similar projects, are such AFUDC cost estimates for FGPP reasonable?**

3 A. We reviewed the computation basis for AFUDC values reported in Mr.
4 Yeager's testimony and compared such to AFUDC calculations for other
5 similar projects. This comparison yielded strong correlation between the
6 accrual of AFUDC over the construction phase of a typical coal generation
7 project. The AFUDC value for Unit 1 was significantly affected by the early
8 upfront costs for land acquisition (green field development) and down
9 payments to secure major equipment; the AFUDC value for Unit 2 was
10 principally affected by the extended project schedule from joint award for
11 major equipment with Unit 1 equipment and the EPC contractor's initial fees.
12 My general conclusion from this review was that accurate unit-based AFUDC
13 costs were calculated by FPL for the FGPP in accordance with the anticipated
14 cash flows from project approval through commercial unit operations.

15 **Q. What level of contingency is included in the FGPP cost estimate, and is**
16 **such comparable to that seen on other active coal fired power generation**
17 **projects?**

18 A. The owner contingency included by FPL against the total FGPP project is on
19 the order of 9%. While 5-7% is more typical of owner contingencies applied
20 on other active coal-fired generation projects, based on the provisional sums
21 being carried in the Power Plant cost and schedule uncertainties, this amount
22 of contingency was viewed to be reasonable in the current marketplace given
23 the complexity of this project.

1 **Q. What are your specific conclusions regarding the reasonableness of FGPP**
2 **Owner's Costs, particularly with respect to AFUDC?**

3 A. We reviewed FPL's development of Owner's Costs for the FGPP project, as
4 documented in specific Power Plant and Transmission Interconnection costs
5 and in total, as furnished by FPL. We also conducted several interviews to
6 confirm the process used in quantification of these costs. Subsequently, we
7 compared the magnitude of these costs including contingency and AFUDC to
8 those budgeted for several other major coal-fired generating plants. On the
9 basis of this comparative review, I have concluded that the process used for
10 developing Owner's Cost and their magnitude within the total FGPP project
11 cost estimate are reasonable and comparable in industry for other complex
12 generating station projects.

13

14

VII. CONCLUSIONS

15

16 **Q. Please summarize your testimony.**

17 A. As independent engineers, we completed a review of the estimated FGPP
18 project costs to determine whether such costs were reasonable in magnitude,
19 comparable to market conditions, and consistent with industry estimating
20 practices. This review included comparison of FGPP Owner's and Power
21 Plant Cost components to those of other active projects of similar
22 configuration, checking FPL's Transmission Interconnection cost build-up,
23 and assessed FPL's cash flow model used to compute AFUDC costs.

1 Through these reviews, a conclusion was drawn that the FGPP costs listed in
2 Mr. William Yeager's testimony are reasonable and competitive in today's
3 marketplace.

4
5 As pointed out in Mr. Yeager's testimony, the FGPP is a complex project and
6 a number of external factors could produce delays to the project schedule and
7 unit in-service dates. The FGPP project cost was established on the basis of
8 2013 and 2014 in-service dates.

9 **Q. Does this conclude your direct testimony?**

10 A. Yes.

In re: Florida Power & Light Company's)
Petition to Determine Need for FPL Glades)
Power Park Units 1 and 2 Electrical Power Plant)

Docket No: 070098-EI

ERRATA SHEET

DIRECT TESTIMONY OF WILLIAM H. DAMON III

<u>PAGE #</u>	<u>LINE #</u>	<u>CORRECTION</u>
22	19	Change \$1,214 to \$1,226

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER AND LIGHT COMPANY**

3 **DIRECT TESTIMONY OF HECTOR J. SANCHEZ**

4 **DOCKET NO. 07____-EI**

5 **JANUARY 29, 2007**

6

7 **Q. Please state your name and business address.**

8 A. My name is Hector J. Sanchez. My business address is Florida Power and
9 Light Company, 4200 West Flagler Street, Miami, FL 33134.

10 **Q. By whom are you employed and what is your position?**

11 A. I am employed by Florida Power and Light Company (FPL) as the Director of
12 Transmission Services and Planning.

13 **Q. Please describe your duties and responsibilities in that position.**

14 A. I am responsible for matters relating to the provision of transmission services
15 on the FPL system and for planning the expansion of the FPL transmission
16 system to meet the requirements of FPL's retail customers, wholesale
17 customers, and its transmission service obligations.

18 **Q. Please describe your educational background and professional
19 experience.**

20 A. In December 1985, I received a Bachelor of Science degree in Electrical
21 Engineering from the University of Miami. In 1990, I completed the
22 Southeastern Electric Exchange's Course in Modern Power Systems Analysis
23 held at Auburn University. In 1991, I received a Master of Business

1 Administration degree from Florida International University. Additionally, I
2 have completed various other power system courses offered by Power
3 Technology Incorporated, courses offered internally at FPL, and business and
4 management courses at Columbia University.

5
6 Since joining FPL in 1985, I have held positions of increasing responsibility.
7 My first positions at FPL were as an Applications Engineer in the Power
8 Systems Control group and as an Engineer in the Protection and Control
9 department. In 1989, I joined the System Operations group in the area of
10 operations planning where I was responsible for performing technical analyses
11 associated with short-term planning and operation of the FPL system. In 1994
12 I became a Transmission Business Manager where I was responsible for
13 issues associated with the provision of transmission service. Subsequent to
14 that assignment, in March 2000, I held the position responsible for the
15 planning of the bulk transmission system and interconnections. In January of
16 2006 I became responsible for the operation and dispatch of the FPL system
17 on a real time basis. Lastly, in March of 2006 I assumed my current position
18 as Director of Transmission Services and Planning.

19 **Q. Are you sponsoring an exhibit in this case?**

20 **A.** Yes. I am sponsoring an exhibit which consists of the following documents:

21 Document No. HJS-1: Summary of Required Facilities and Performance for
22 the Fuel Diversity Expansion Plan with Coal;

1 Document No. HJS-2: Summary of Required Facilities and Performance for
2 the Expansion Plan without Coal;

3 Document No. HJS-3: Peak Load Comparison of Transmission Losses for the
4 Fuel Diversity Expansion Plan with Coal versus the Expansion Plan
5 without Coal; and

6 Document No. HJS-4: Average Load Comparison of Transmission Losses for
7 the Fuel Diversity Expansion Plan with Coal versus the Expansion
8 Plan without Coal.

9 These documents tabulate the following transmission inputs provided for the
10 economic analysis:

- 11 • FPL System – Interconnection and Integration Facilities Requirements
- 12 • Peak and Average Losses
- 13 • Annual Loss differences between plans
- 14 • Third party transmission service requirements and costs, if any
- 15 • Southeast Florida import limits

16 **Q. Are you sponsoring any sections in the Need Study document?**

17 A. Yes. I am sponsoring the portions of Section III. D. addressing Transmission
18 Facilities – Interconnection and Integration. In addition, I sponsor
19 Appendices A and J, and co-sponsor Appendix O of the Need Study
20 document.

21 **Q. What is the purpose of your testimony?**

22 A. The purpose of my testimony is to describe how FPL developed the most cost
23 effective transmission plan for the interconnection and integration of FPL's

1 Glades Power Park (FGPP). I discuss the overall transmission evaluation
2 process, and the attendant results of power flow studies used in determining
3 the most cost effective manner to interconnect and integrate into the
4 transmission system the Fuel Diversity Expansion Plan with Coal (Plan with
5 Coal) that includes the two ultra-supercritical pulverized coal units at FGPP
6 for the period of 2012 through 2016. I also discuss the performance of,
7 technical aspects related to, and the evaluation of transmission related costs
8 associated with the interconnection and integration of the Fuel Diversity
9 Expansion Plan with Coal. Mr. Coto discusses the physical characteristics,
10 schedule, permitting requirements and estimated costs associated with the
11 transmission upgrades and new transmission facilities required for the Fuel
12 Diversity Expansion Plan with Coal.

13
14 Secondly, I provide an overview of the transmission related requirements for
15 the Expansion Plan without Coal (Plan without Coal) for the same period that
16 was provided to me by Dr. Sim for a comparative analysis associated with this
17 Need Filing. The Expansion Plan without Coal includes only gas-fired,
18 combined-cycle units in the same 2012 through 2016 time frame.
19 Transmission requirements and performance for the Expansion Plan without
20 Coal will be presented separately. The testimony of Mr. Coto also provides
21 an assessment of the required transmission facilities and estimated costs for
22 the Expansion Plan without Coal.

1 **EVALUATION PROCESS FOR DETERMINING FPL'S**
2 **TRANSMISSION SYSTEM REQUIREMENTS**
3

4 **Q. Please describe FPL's evaluation process for new generation resources**
5 **that results in determining the most cost effective transmission**
6 **interconnection and integration plan.**

7 A. The process commences with a team, including engineers from transmission
8 and substation planning, operations, engineering, project management,
9 permitting and siting who together use their combined knowledge and years of
10 experience to perform the evaluation and develop the most cost effective
11 transmission interconnection and integration plan. The evaluation process
12 considers many factors as outlined below in order to develop a feasible cost
13 effective transmission plan. In some instances the determination of the most
14 cost effective transmission interconnection and integration plan is relatively
15 straight forward; however, other times it requires an iterative assessment of
16 the various factors and a substantial amount of time to perform studies. The
17 resultant plan is in compliance with North American Electric Reliability
18 Council (NERC) reliability standards and will provide firm transmission
19 service.

20
21 Generally, the first step in the process is to evaluate the proposed generating
22 plant site location to determine its proximity to existing transmission facilities.
23 To the extent there are existing transmission facilities nearby, they are then

1 assessed to determine their capabilities for reliably interconnecting and
2 integrating the proposed new generation into the transmission system as a firm
3 FPL generation resource. Next, other factors such as those listed below are
4 considered as applicable:

- 5 • Amount of generation (MW) being added at the new generation site, and
6 the dispatch profile of the new generation resource relative to FPL's other
7 generation resources in serving FPL's load;
- 8 • Capabilities to upgrade existing facilities (e.g., can the conductor on an
9 existing transmission line be upgraded on the existing structures or would
10 the entire transmission line have to be rebuilt?);
- 11 • Capability of transmission lines needed, right-of-way requirements,
12 existing right-of-way capabilities, siting of new right-of-way, permitting
13 requirements, and expected time-frame to acquire right-of-way and
14 necessary permits;
- 15 • Ability to transport power efficiently (e.g., would using higher voltages be
16 more cost effective by reducing the amounts of transmission losses
17 incurred when moving large amounts of power over long distances?);
- 18 • Existing and new substation requirements, capabilities and availability;
- 19 • Impact on existing facilities (e.g., does the proposed interconnection or
20 integration plan result in an overload on an existing facility or does it
21 result in a material adverse impact somewhere else on the transmission
22 system?);

- 1 • Constructability (e.g., can the transmission facilities necessary be
2 constructed without having to take clearances on existing operating
3 facilities during periods that would result in an adverse reliability
4 impact?);
- 5 • Overall compatibility with the system (e.g., do the new facilities being
6 added require new material stocking requirements or the need for new
7 tools to maintain?);
- 8 • Compliance with NERC and FRCC Reliability Standards;
- 9 • Operating considerations (e.g., what are the maintenance requirements of
10 the proposed interconnection and integration facilities, and how will they
11 impact the on-going operation of the system?);
- 12 • The timing and amount of power needed for testing of equipment such as
13 pumps and motors;
- 14 • Expected in-service testing and commercial operations dates for new
15 generation (e.g., which transmission facilities needed for interconnection
16 and integration need to be in-service prior to the commercial operations
17 in-service date for testing?);
- 18 • The need for procuring transmission service from a third party;
- 19 • Material adverse impact on third party transmission owner; and
- 20 • Costs (e.g., initial and on-going costs of facilities and operations).

21

22 The next step in the interconnection and integration evaluation process is to

23 perform power flow studies for a proposed transmission interconnection and

1 integration plan. These power flow studies are used to evaluate the
2 performance of the system, and to converge on specific new system facilities
3 and upgrades that would be needed to interconnect and integrate the new
4 generation into the transmission system.

5
6 When the evaluation team is satisfied that they have developed the most cost
7 effective transmission interconnection and integration plan that is in
8 compliance with NERC and FRCC reliability standards for the new generation
9 resources being proposed to serve FPL's load, the process is deemed
10 complete. If this result is not achieved, the evaluation process proceeds
11 iteratively, as needed.

12 **Q. Did the evaluation process discussed above result in the most cost**
13 **effective interconnection and integration plan for FGPP?**

14 **A.** Yes. FPL's evaluation resulted in the interconnection and integration plan
15 discussed later in my testimony, which I believe to be the most cost effective
16 plan to interconnect and integrate FGPP after considering the above factors.

17
18 I would also note that this evaluation process, including the power flow
19 studies is the same as that used in FPL's most recent Need Determination
20 proceedings in determining the most cost effective interconnection and
21 integration plan.

1 **Q. Please describe how FPL evaluated the transmission related costs**
2 **associated with the generation plans.**

3 A. FPL, in its evaluation of a generation plan, considers five different categories
4 associated with transmission that could result in costs that arise from the
5 proposed delivery of additional power over FPL's transmission system. These
6 categories are:

- 7 1) Transmission interconnection;
- 8 2) Transmission integration;
- 9 3) Third party transmission service costs (as applicable);
- 10 4) Transmission system losses; and
- 11 5) Impact of operating existing FPL generation units in Southeast Florida
12 out of economic order to maintain system reliability.

13

14 FPL evaluated each of these categories. FPL's Transmission Services and
15 Planning department evaluated the first three categories under my direction,
16 and provided transmission loss data and Southeast Florida import capabilities
17 for categories 4 and 5 for use as inputs in Dr. Sim's economic analyses.

18 **Q. Please describe in more detail each of the five categories associated with**
19 **transmission costs that you have identified.**

20 A. The five categories can be summarized as follows:

21 **Transmission interconnection requirements**

22 Transmission interconnection requirements are generally the facilities
23 necessary to connect the new generation to the system. These facilities

1 typically include generator step-up transformers, connection facilities from the
2 transformers to the switchyard and certain substation equipment at the point of
3 interconnection. Mr. Coto discusses the physical attributes and cost estimates
4 associated with the interconnection facilities.

6 **Transmission integration requirements**

7 Transmission integration requirements include system upgrades of existing
8 transmission facilities and new transmission facilities that power flow studies
9 have determined are necessary for the reliable operation and firm delivery of
10 the new FPL generation resources to FPL's load. Mr. Coto discusses the
11 physical attributes and cost estimates associated with the upgrades and new
12 facilities required for transmission integration.

13
14 As part of this assessment, any adverse impacts that result in reliability criteria
15 violations on third party transmission systems are identified. In such
16 instances, FPL would check with the parties to confirm that the violation is
17 valid and, if so, see if there is a mitigation measure already available, or
18 jointly develop mitigation measures to address the violation.

20 **Third party transmission service requirements and costs (as applicable)**

21 Third party transmission service requirements and costs are considered when
22 generation resources are connected to an external transmission provider's
23 system(s). These requirements may include the payment of transmission

1 wheeling charges, ancillary services, and losses. Because neither of the FPL
2 generation plans contains generation connected to a third party transmission
3 system, there is no need to procure transmission service for the delivery of
4 generation connected to a third party to the FPL system. Thus, third party
5 transmission service costs are not applicable to any of the FPL generation
6 plans evaluated.

8 **Transmission losses**

9 The two FPL generation plans contain new generation resources at the same
10 specific locations in relation to the FPL transmission system with different in-
11 service dates, and each plan will have an impact on FPL's transmission
12 system losses. The impact on losses is determined by a comparison of
13 resulting losses among generation plans that serve the same load. Losses were
14 calculated for each plan, at both the peak and the average load levels, for each
15 year in the period 2012 through 2016. The different generation plans are
16 evaluated with respect to losses in terms of the differences in incremental
17 losses among generation plans. Document No. HJS-3, Peak Load Comparison
18 of Transmission Losses for the Fuel Diversity Expansion Plan with Coal
19 versus the Expansion Plan without Coal summarizes the differences in peak
20 load losses and Document No. HJS-4, Average Load Comparison of
21 Transmission Losses for the Fuel Diversity Expansion Plan with Coal versus
22 the Expansion Plan without Coal summarizes the differences in average load
23 losses between plans by year.

1 **Impact of operating existing FPL generation units in Southeast Florida to**
2 **maintain reliability**

3 The Southeast Florida import limit is the amount of power that can be
4 imported into Southeast Florida in a reliable manner under various conditions.
5 In this context, Southeast Florida is generally defined as the portion of the
6 FPL system located south and east of, and including FPL's Corbett
7 Substation. During those periods when no additional power can be imported
8 into Southeast Florida, there is a reliability need to operate more expensive
9 generation in Southeast Florida out of economic order. Such occurrences
10 result in increased operating costs.

11
12 Dr. Sim presents the overall economic results for the two generation
13 expansion plans, including any increase in the production costs for each plan
14 resulting from the Southeast Florida import limit analyses.

15
16 **FPL'S EXPANSION PLANS' TRANSMISSION EVALUATION**
17 **TRANSMISSION SYSTEM REQUIREMENTS FOR FPL'S FUEL**
18 **DIVERSITY EXPANSION PLAN WITH COAL**

19
20 **Q. Please describe FPL's Fuel Diversity Expansion Plan with Coal for the**
21 **2012 through 2016 period for which transmission requirements are being**
22 **evaluated.**

23 **A. The Fuel Diversity Expansion Plan with Coal is described below:**

1 FGPP 1 (Coal) = 980 MW net coal unit (1,050 MW gross output) with the
2 potential at this time of being in-service as early as the second half of 2012, as
3 discussed in Mr. Silva's testimony.

4 FGPP 2 (Coal) = 980 MW net coal unit (1,050 MW gross output) with the
5 potential at this time of being in-service as early as the second half of 2013, as
6 discussed in Mr. Silva's testimony.

7 South Florida CC unit = 1,219 MW net combined cycle unit (1,243 MW
8 gross output) assumed for analysis purposes to be sited in the vicinity of the
9 West County Energy Center with an in-service date of June, 2015.

10

11 **Transmission Interconnection**

12 **Q. Please describe the transmission interconnection requirements for the**
13 **new generation in the Fuel Diversity Expansion Plan with Coal.**

14 **A.** The required transmission interconnection facilities for the Fuel Diversity
15 Expansion Plan with Coal are summarized in Document No. HJS-1, Summary
16 of Required Facilities and Performance for the Fuel Diversity Expansion Plan
17 with Coal.

18

19 These facilities include:

20 For FGPP 1 and 2 (Coal):

- 21 • The connection of FGPP 1 and 2 Generator Step Up (GSU) transformers
22 to the FGPP switchyard, and attendant bus equipment;

1 For South Florida CC unit:

- 2 • The connection of South Florida CC unit GSU transformers to the
3 collector yard, including attendant bus equipment, the collector yard, and
4 the string buses from the collector yard to the South Florida 230 kV
5 substation; and
- 6 • The circuit breaker and overhead ground wire upgrades required.

7

8 **Transmission Integration**

9 **Q. Please describe the transmission integration evaluation for the new**
10 **generation in the Fuel Diversity Expansion Plan with Coal.**

11 A. The integration evaluation is comprised of power flow studies. The power
12 flow studies are used to identify any upgrades to existing transmission
13 facilities or new transmission facilities that may be needed to integrate the
14 capacity additions in the Fuel Diversity Expansion Plan with Coal into the
15 transmission system as firm FPL generation resources while meeting
16 reliability criteria. The methodology used to perform these power flow
17 studies is the same as that used in connection with FPL's most recent Need
18 Determination proceedings, and is consistent with the methods used to ensure
19 compliance with the NERC reliability standards. I reviewed and approved the
20 results of the power flow studies, and reviewed the need for new facilities and
21 upgrades required to integrate the capacity additions for the Fuel Diversity
22 Expansion Plan with Coal into the transmission system as firm FPL
23 generation resources used to serve FPL's retail customers. Mr. Coto discusses

1 the permitting, construction and cost estimates associated with the new
2 transmission facilities and upgrades that were identified as being necessary for
3 the Fuel Diversity Expansion Plan with Coal.

4
5 My review determined that to reliably integrate the new generation resources
6 in compliance with NERC reliability standards, new system facilities and
7 upgrades are required for the Fuel Diversity Expansion Plan with Coal.
8 Document No. HJS-1, Summary of Required Facilities and Performance for
9 the Fuel Diversity Expansion Plan with Coal, summarizes the new system
10 facilities and facility upgrades required.

11 **Q. Please describe the power flow analyses performed.**

12 A. As discussed above, the in-service dates for the generation additions included
13 in the Fuel Diversity Expansion Plan with Coal span 2012 through 2016. As
14 Mr. Silva states in his testimony, at this time there is the potential that FGPP 1
15 and FGPP 2 could be in-service as early as the second half of 2012 and 2013,
16 respectively. Therefore, the transmission assessment performed, including the
17 power flow analysis, to determine the transmission facilities required to
18 interconnect and integrate these units addresses an in-service date consistent
19 with the potential that FGPP 1 and FGPP 2 could be placed in-service as early
20 as the second half of 2012 and 2013, respectively. First contingency,
21 Alternating Current (AC) power flow analyses were performed for the Fuel
22 Diversity Expansion Plan with Coal for each year to assess the need for
23 transmission system upgrades and new facilities. All analyses were

1 performed using the latest available 2006 FRCC power flow databank cases
2 that were used for the re-study of the Florida Central Coordinated Study
3 (FCCS), updated to reflect FPL's latest load and resource forecast as well as
4 the projects that resulted from the FCCS re-study. Since the FCCS re-study
5 only developed load flow cases through 2014, the 2015 and the 2016 cases
6 were developed by scaling FPL's load in the 2014 case to the latest available
7 load forecast for 2015 and 2016, incorporating FPL's most recent load and
8 resource data and available information on third party systems.

9
10 Analyses were performed using power flow simulations to identify the
11 facilities that may become overloaded because of the integration of the
12 generation additions contained in the Fuel Diversity Expansion Plan with
13 Coal, as well as the upgrades and new transmission facilities required to
14 mitigate such overload(s). An AC solution technique was also used to assess
15 the voltage performance of the system against reliability criteria. For all the
16 years of the analysis, the Fuel Diversity Expansion Plan with Coal was
17 subjected to a first contingency screening for loss of transmission elements or
18 generators out of service, one at a time, in accordance with reliability criteria.
19 This resulted in approximately 3,600 power flow calculations being performed
20 for each year assessed. All of the Peninsular Florida interconnected
21 transmission system was monitored to determine whether thermal or voltage
22 reliability criteria violations for system elements at voltages of 69 kV and
23 above occur as a result of the generation resource addition. Reliability

1 violations on any FPL or other Peninsular Florida system elements directly
2 related to the generation resource addition could indicate the potential need
3 for transmission reinforcements.

4 **Q. What factors associated with FGPP have a major impact on the results of**
5 **the analysis?**

6 A. The requirement to add major transmission facilities is the result of the need
7 to deliver 1960 MW (two 980 MW units) of new generation from a new site
8 in Glades County, an area where no major transmission infrastructure exists,
9 to Florida's East and West coasts, in order to serve FPL's load. This results in
10 significant transmission facilities being required. Mr. Coto addresses the
11 physical attributes of these major transmission facilities, scheduling and
12 permitting requirements, and attendant estimated costs to construct these
13 facilities.

14 **Q. Please provide a general description of the transmission upgrades and**
15 **new transmission facilities required for the Fuel Diversity Expansion**
16 **Plan with Coal.**

17 A. When the first unit is placed in-service, the unit will be connected to the FGPP
18 500 kV switchyard located at the FGPP site in Glades County. This
19 switchyard will be connected by two 500 kV transmission lines to the 500 kV
20 section of the Hendry 500 kV substation in Hendry County which will be
21 located approximately 25 miles south of the FGPP switchyard. The Orange
22 River to Andytown 500 kV line will be looped into the Hendry substation by
23 constructing two parallel 500 kV lines from the Hendry substation to the

1 existing 500 kV right-of-way, approximately 24 miles to the south. This
2 effectively creates two 500 kV lines; the Hendry to Orange River line, and the
3 Andytown to Hendry line. Additionally, Hendry substation will also have a
4 230 kV section. The Hendry 500 and 230 kV sections will be connected via a
5 500/230 kV auto-transformer. The Alva to Corbett 230 kV line, which is in
6 close proximity to the proposed Hendry substation, will be looped into the
7 Hendry substation.

8
9 The FGPP 2 980 MW net output coal unit will also be connected to the FGPP
10 500 kV switchyard before it enters into service. In order to integrate this
11 additional generation, a 500 kV transmission line from the Hendry substation
12 to the Levee substation will be necessary. This new 500 kV line will be
13 connected at Andytown to an existing Andytown to Levee 500 kV line,
14 forming the Hendry to Levee 500 kV line.

15
16 In 2015, the South Florida CC unit is assumed to be added in the vicinity of
17 the West County Energy Center by interconnecting it to the 230 kV section of
18 the South Florida substation. The South Florida 500 kV and South Florida
19 230 kV sections will be connected via a 500/230 kV autotransformer.
20 Additionally, the Corbett to Green 230 kV and the Corbett to Germantown
21 230 kV lines will be re-routed from the Corbett 230 kV substation to the
22 South Florida 230 kV substation. The facilities discussed above are
23 summarized as follows:

1 For FGPP 1 and 2 (Coal):

- 2 • The FGPP switchyard;
- 3 • Two 500 kV lines from FGPP 500 kV switchyard to Hendry 500 kV
- 4 substation;
- 5 • The Hendry 500/230 kV Substation;
- 6 • The looping in of the Andytown to Orange River 500 kV and the Alva to
- 7 Corbett 230 kV transmission lines into the Hendry substation; and
- 8 • The construction of a 500 kV transmission line spanning from the Hendry
- 9 to Levee substations. This transmission line will be constructed between
- 10 the Hendry and Andytown substations and connected to an existing
- 11 Andytown to Levee 500 kV line resulting in a Hendry to Levee 500 kV
- 12 transmission line.

13 For the assumed South Florida CC unit:

- 14 • The South Florida 230 kV substation; and
- 15 • Reroute the Corbett-Green 230 kV and the Corbett-Germantown 230 kV
- 16 lines into the 230 kV section of the South Florida substation.

17

18 These facilities for the Fuel Diversity Expansion Plan with Coal are also

19 summarized in Document No. HJS-1, Summary of Required Facilities and

20 Performance for the Fuel Diversity Expansion Plan with Coal.

1 **Q. Will either FGPP 1 or 2 increase the size of the single largest unit in the**
2 **FRCC when they enter service?**

3 A. No. Progress Energy Florida has recently filed with the Commission to
4 increase the size of their Crystal River 3 nuclear unit to approximately 1,080
5 MW gross output by the end of its planned refueling outage in 2011. FGPP 1
6 and 2 each have a 1,050 MW gross output rating with the first unit potentially
7 going into service as early as the second half of 2012. The 910 MW gross
8 output of FPL's St. Lucie nuclear units are currently the largest sized units in
9 the FRCC.

10 **Q. Will the size of the FGPP coal unit impact the FRCC's import capability**
11 **from the Southeast Electric Reliability Council (SERC)?**

12 A. No. FPL's assessment indicates that by 2012 the system becomes sufficiently
13 robust to support the sudden loss of 1,050 MW gross output of either FGPP 1
14 or 2 without reducing the current capability to import 3,600 MW into the
15 FRCC from the SERC.

16 **Q. How was the assessment performed to verify this conclusion?**

17 A. FPL's assessment was performed with the same load flow models used for the
18 2006 Southern/Florida long term screening evaluations, modified with the
19 addition of the FGPP generation and corresponding transmission facilities,
20 and using the same process that is currently followed every year to assess the
21 import capability of the FRCC from the SERC.

1 **Q. Do you know why the system becomes sufficiently robust in the 2012 and**
2 **forward time-frame to withstand the loss of a larger size unit?**

3 A. Based on a review of the load flow analyses performed for this Need Filing, it
4 is apparent that FPL's addition of almost 3,600 MW in Southeast Florida (i.e.,
5 the Turkey Point 5 unit with 1,144 MW of output in 2007, and the West
6 County 1 and 2 units, each with 1,219 MW of output in 2009 and 2010)
7 reduces the amount of power that is transferred from the north to the south on
8 FPL's 500 kV backbone facilities that span the entire length of the state.
9 Locating the above generation in southeast Florida closer to the load centers
10 has the effect of reducing the loading on the transmission system, resulting in
11 the ability to reliably increase the size of the largest unit in the FRCC while
12 still maintaining the 3,600 MW of import capability into the FRCC from
13 SERC.

14 **Q. Has this assessment, along with the FGPP interconnection and**
15 **integration requirements discussed above been reviewed by the FRCC?**

16 A. Yes. FPL's interconnection and integration plan for the FGPP and the FRCC-
17 SERC interface capability assessments discussed above was provided to the
18 FRCC to affirm that no reliability issues exist. The FRCC's review affirmed
19 FPL's results associated with the transmission plan, and determined that
20 FPL's interconnection and integration plan will be reliable, adequate and will
21 not adversely impact the reliability of the FRCC transmission system.

1 **Third Party Transmission Service Requirements and Costs**

2 **Q. Please describe the third party transmission service requirements and**
3 **attendant costs incurred by the Fuel Diversity Expansion Plan with Coal.**

4 A. The Fuel Diversity Expansion Plan with Coal involves new generation at the
5 FGPP site and, for purposes of the economic analyses, at the South Florida
6 site. These sites will be directly connected to the FPL transmission system.
7 Therefore, the Fuel Diversity Expansion Plan with Coal does not require or
8 incur third party transmission service costs.

9

10 **Transmission Losses**

11 **Q. Please describe how the effects of transmission losses were included in the**
12 **economic comparison of the two generation expansion plans and how the**
13 **loss calculations were performed.**

14 A. The transmission loss impact is a function of the location of generation
15 resources, output capability of each of the resources and system loading
16 conditions. The economic impact of transmission losses is determined by Dr.
17 Sim's economic analyses of the transmission losses that I provide.

18 **Q. Please describe the methodology applied in the determination of**
19 **transmission losses.**

20 A. The same methodology that was applied in FPL's two most recent Need
21 Determination proceedings was used to determine losses in each year of each
22 Plan. I will summarize that methodology.

1 Transmission losses are incurred by current (I) flowing through transmission
2 elements that have resistance (R). Losses are calculated as I^2R and occur in
3 each transmission element as the current flows from generator to load. The
4 further the generator is from the load, the larger the value of resistance and the
5 higher the losses. However, the current (I) and voltage (V) are inversely
6 proportional, so as a higher voltage level is used to transport the power
7 (assuming the same R), the same amount of power can be transported with
8 less losses. Therefore, integrating large amounts of generation in areas remote
9 and distant from the concentration of major load centers with major
10 transmission facilities (500 kV) accomplishes not only the requirement of
11 delivering such amounts of power to the various load centers, but also
12 mitigates incurring substantial transmission losses in the process. It is
13 important to note that there are multiple generators, transmission elements and
14 loads distributed throughout the system, and losses will vary as a function of
15 generator dispatch and load level.

16
17 Power flows and the losses in the transmission system will be impacted
18 whenever a new generating resource is dispatched. Therefore, the impact on
19 losses of a new generation resource and, more generally, a generation plan of
20 new generation resources, will depend both on where the new generation
21 resources are located and the characteristics of the resources. While base load
22 resources may operate and impact transmission losses most of the time, more

1 expensive peaking resources tend to operate, and impact losses, only at higher
2 load levels.

3
4 The impact of losses can be evaluated by power flow calculations assuming
5 that generation resources will be dispatched economically. This evaluation
6 can be performed with reasonable precision for the years 2012 through 2016.
7 However, for 2017 and beyond, increasing load will require additional
8 generation resources, the location and composition of which are uncertain at
9 this time. The expansion of the transmission system beyond 2017 is also
10 uncertain. Therefore, the impact of a particular generation expansion plan on
11 transmission losses becomes progressively more uncertain with time.

12
13 To deal with this uncertainty in a consistent fashion, it was assumed that the
14 transmission loss impacts for the year 2017 and beyond would be identical to
15 the transmission loss impacts calculated for the year 2016. While the
16 accuracy of the losses applied in this analysis can only be ascertained in
17 retrospect after the actual resource and transmission system expansions over
18 the 40 year life of the FGPP 1 and 2 is known, I believe that the methodology
19 developed is a reasonable one, is consistent with the methodologies applied in
20 previous Need Determination proceedings, and produces a fair assessment
21 associated with the impact of transmission losses.

1 **Q. Please describe how the power flow analysis was applied to calculate**
2 **losses.**

3 **A. Transmission losses were calculated for the years 2012 through 2016. Losses**
4 **were calculated for summer peak load conditions and for average system load**
5 **conditions. Losses calculated for summer peak load conditions were used by**
6 **Dr. Sim to estimate the cost of additional capacity required each year to**
7 **compensate for transmission losses.**

8
9 Peak load losses for the years 2012 through 2016 were determined using the
10 same power flow representation applied in the transmission integration
11 studies. Also, all FPL resources, other firm resources and the new generation
12 additions in the generation plan were assumed to be dispatched economically.
13 The losses calculated under this methodology reflected the transmission losses
14 only on FPL transmission facilities. Losses for average load conditions used
15 the same system model as for peak load conditions but with resources
16 dispatched economically to meet the lower load level.

1 **Increased Operation of Generating Units in Southeast Florida and**
2 **Associated Increased Operating Costs**

3 **Q. What was the rationale for including the increased operating**
4 **requirements arising from the uneconomic dispatch of generating units in**
5 **Southeast Florida as a transmission-related cost?**

6 A. The Southeast Florida import limit is the amount of power that can be
7 imported into Southeast Florida in a reliable manner under high load
8 conditions or during planned or forced outages of generation. In this context,
9 Southeast Florida is generally defined as the portion of the FPL system
10 located south and east of, and including, FPL's Corbett Substation. During
11 those periods where no additional power can be imported into Southeast
12 Florida, there is a reliability need to operate generation in Southeast Florida
13 out of economic order. Such occurrences result in increased operating cost.
14 Dr. Sim's testimony presents the production cost results for the Fuel Diversity
15 Expansion Plan with Coal.

16 **Q. Please describe the methodology and results obtained from the**
17 **calculation of the Southeast Florida import limits.**

18 A. Document No. HJS-1, Summary of Required Facilities and Performance for
19 the Fuel Diversity Expansion Plan with Coal, shows the Southeast Florida
20 import limit for the Fuel Diversity Expansion Plan with Coal for each year of
21 analysis. The limit is measured as the sum of the flows on the transmission
22 lines connecting the Southeast Florida load center to the rest of the Florida
23 system to the west and north. A power flow analysis was performed by

1 gradually increasing the interface flows and applying a critical contingency
2 until an acceptable solution could not be obtained. In all cases, the limiting
3 condition was the requirement to avoid voltage collapse in Southeast Florida
4 for the largest single contingency loss, which is a portion of the Turkey Point
5 Unit 5 (i.e., two of the four combustion turbines and the steam unit). These
6 import limits may be reduced as a function of planned operational outages of
7 transmission facilities in Southeast Florida. Conforming to operating
8 experience, this reduction in import limit may also vary with the amount of
9 generation on planned outages and other generation maintenance outages.
10 The table in Document No. HJS-1, Summary of Required Facilities and
11 Performance for the Fuel Diversity Expansion Plan with Coal, shows the
12 Southeast Florida import capability associated with the Fuel Diversity
13 Expansion Plan with Coal for each year, 2012 through 2016.

14 **Q. What are your conclusions based on the analyses involved in performing**
15 **an economic evaluation of the transmission-related costs?**

16 A. It is my opinion that these analyses provide reasonable estimates of the real
17 transmission-related costs arising from a generation plan and that all such
18 costs should be captured in performing an economic evaluation of different
19 generation plans. These analyses and costs should be relied upon by the
20 Commission.

**TRANSMISSION SYSTEM REQUIREMENTS FOR
THE EXPANSION PLAN WITHOUT COAL**

1
2
3
4 **Q. Please describe the Expansion Plan without Coal for the 2012 through**
5 **2016 period for which transmission requirements are being evaluated.**

6 A. The non-coal-based generation expansion plan, the Expansion Plan without
7 Coal, is described below:

8 The assumed South Florida CC unit = 1,219 MW net combined cycle unit
9 assumed for analysis purposes to be sited in the vicinity of the West County
10 Energy Center with an in-service date of June, 2012;

11 The assumed FGPP 1 (Gas) = 1,119 MW net sited at FPL's FGPP site in
12 Glades County (the Expansion Plan without Coal) with an in-service date of
13 June, 2014; and

14 The assumed FGPP 2 (Gas) = 1,119 MW net sited at FPL's FGPP site in
15 Glades County (the Expansion Plan without Coal) with an in-service date of
16 June, 2016.

17
18 **Transmission Interconnection**

19 **Q. Please describe the transmission interconnection for the new generation**
20 **additions included in the Expansion Plan without Coal.**

21 A. The transmission interconnection facilities are summarized in Document No.
22 HJS-2, Summary of Required Facilities and Performance for the Expansion
23 Plan without Coal.

1 These facilities include:

2 South Florida CC unit

3 • The connection of South Florida CC unit GSU transformers to the
4 collector yard, including attendant bus equipment, the collector yard, and
5 the string buses from the collector yard to the South Florida 230 kV
6 substation;

7 • Circuit breaker and overhead ground wire upgrades required; and

8

9 FGPP 1 and 2 (Gas)

10 • The connection of FGPP 1 and FGPP 2 CC GSU transformers to the
11 collector yard, including attendant bus equipment, the collector yard, and
12 the string buses from the collector yard to the FGPP switchyard.

13

14 The results of the assessment are summarized in Document No. HJS-2,
15 Summary of Required Facilities and Performance for the Expansion Plan
16 without Coal.

17

18 **Transmission Integration**

19 **Q. Please describe FPL's transmission integration assessment results for the**
20 **Expansion Plan without Coal.**

21 A. My review determined that to reliably integrate the Expansion Plan without
22 Coal in compliance with NERC reliability standards, new system facilities and
23 facility upgrades are required. Document No. HJS-2, Summary of Required

1 Facilities and Performance for the Expansion Plan without Coal summarizes
2 the new system facilities and upgrades required.

3
4 With respect to the Expansion Plan without Coal, the overall transmission
5 requirements are also very similar to those for the Fuel Diversity Expansion
6 Plan with Coal, except that the timing is reversed as to when the new
7 transmission facilities are required, based on the reversal in timing for the new
8 generation. In other words, those facilities in the Fuel Diversity Expansion
9 Plan with Coal that are needed in 2012 and 2013 would instead be postponed
10 from 2012 and 2013 to 2014 and 2016 in the Expansion Plan without Coal due
11 to new generation at the FGPP site in that later time frame.

12

13 **Third Party Transmission Service Requirements and Costs**

14 **Q. Please describe the third party transmission service requirements and**
15 **attendant costs incurred by the Expansion Plan without Coal.**

16 **A.** The Expansion Plan without Coal only includes new generation at the FGPP
17 and South Florida sites that will be directly connected to FPL. Therefore, the
18 Expansion Plan without Coal does not require or incur third party
19 transmission service costs.

1 **Transmission Losses**

2 **Q. Please indicate in general terms how the Expansion Plan without Coal**
3 **performs in terms of transmission losses.**

4 A. Document No. HJS-2, Summary of Required Facilities and Performance for
5 the Expansion Plan without Coal, lists the peak load level losses and average
6 load level losses for the Expansion Plan without Coal for the 2012 – 2016
7 period. The difference in losses between the Fuel Diversity Expansion Plan
8 with Coal and the Expansion Plan without Coal is not significant: only about
9 one-half of one percent (0.5%) of the total transmission losses.

10
11 Document No. HJS-3, Peak Load Comparison of Transmission Losses for the
12 Fuel Diversity Expansion Plan with Coal versus the Expansion Plan without
13 Coal, indicates the differences in losses between plans at peak load and
14 Document No. HJS-4, Average Load Comparison of Transmission Losses for
15 the Fuel Diversity Expansion Plan with Coal versus the Expansion Plan
16 without Coal, indicates the differences in losses between plans at average
17 load, and each extrapolates them over a 40 year period. These differences
18 were used by Dr. Sim to calculate the incremental capacity and energy costs
19 due to the differences in losses between plans.

1 **Increased Operation of Generating Units in Southeast Florida and**
2 **Associated Increased Operating Costs**

3 **Q. Please describe the results obtained from the calculation of the Southeast**
4 **Florida import limits for the Expansion Plan without Coal.**

5 A. The table in Document No. HJS-2, Summary of Required Facilities and
6 Performance for the Expansion Plan without Coal, indicates the Southeast
7 Florida import limits associated with the Expansion Plan without Coal.

8
9 Dr. Sim used the Southeast Florida import limits calculated for the Expansion
10 Plan without Coal in the production cost model so that the production cost
11 projections include any incremental operating costs. Dr. Sim's testimony
12 presents the production cost results for this generation expansion plan.

13 **Q. Please summarize your testimony.**

14 A. My testimony provides a description of the evaluation process used to develop
15 the most cost effective plan of transmission-related requirements for FGPP,
16 considering factors associated with planning, construction and operation of the
17 electric system. Additionally, I discuss five aspects of transmission-related
18 requirements that were evaluated for each of the two generation expansion
19 plans:

- 20 • The transmission interconnection requirements;
- 21 • The new transmission facilities and upgrades of existing transmission
- 22 facilities required to integrate the generation additions in each plan to the
- 23 FPL system;

- 1 • Third party transmission service requirements;
- 2 • Transmission losses during peak load and average load conditions
- 3 considering the transmission improvements required for the generation
- 4 additions in each plan based on the attendant operating characteristics
- 5 (with costs associated for these losses calculated by Dr. Sim); and
- 6 • The impact of Southeast Florida import limits (with costs associated with
- 7 these import limits included in production costs calculated by Dr. Sim).

8

9 Each of these transmission-related categories were included in the economic

10 evaluation of the two expansion plans. Their inclusion is necessary and

11 appropriate to capture a reasonable estimate of the transmission-related

12 requirements and attendant costs arising from a generation plan.

13 **Q. Does this conclude your testimony?**

14 A. Yes.

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**
2 **FLORIDA POWER & LIGHT COMPANY**
3 **DIRECT TESTIMONY OF JOSE COTO**
4 **DOCKET NO. 07 _____-EI**
5 **JANUARY 29, 2007**
6

7 **Q. Please state your name and business address.**

8 A. My name is Jose Coto. My business address is Florida Power and Light
9 Company, Power System Engineering Division, 700 Universe Boulevard,
10 Juno Beach, Florida 33408.

11 **Q. By whom are you employed and what is your position?**

12 A. I am employed by Florida Power & Light Company (FPL) as Transmission
13 Engineering Manager in the Transmission Group.

14 **Q. Please describe your duties and responsibilities in that position.**

15 A. I am responsible for the oversight of transmission engineers in the group in
16 the performance of their duties associated with transmission system expansion
17 projects which include:

- 18 - Support of transmission line route selection;
19 - Preparation of permit and license applications;
20 - Structure layout;
21 - Application of Standards;
22 - Preparation of Bill of Materials;

- 1 - Preparation of plans and specifications for right-of way preparation and
2 line construction; and
3 - Preparation of cost estimates and project schedules.
4

5 In addition, I am also responsible for reviewing the feasibility of proposed
6 transmission system expansion projects and associated costs of these
7 expansions.

8 **Q. Please describe your educational background and professional**
9 **experience.**

10 A. I obtained a Bachelor of Science Degree in Electrical Engineering from the
11 University of Miami in December 1979. I am a registered Professional
12 Engineer in the State of Florida and a member of the Institute of Electrical &
13 Electronics Engineers (IEEE).

14
15 Since joining FPL in 1978, I have held various positions of increasing
16 responsibility within Power Delivery, either in the Transmission or Substation
17 Areas. From 1979 to 1985, I was a transmission line engineer. During this
18 time, I engineered transmission line projects ranging in voltage from 69kV up
19 to 500 kV. From 1985 to 1999, I held various supervisory positions in the
20 Transmission Lines Group and the Transmission Substation Group. In 1999, I
21 became Project Manager in the Transmission Projects Group responsible for the
22 central area of FPL's service territory. As Project Manager, I was responsible

1 for the oversight of both transmission and substation projects. In March of
2 2006, I assumed my current position of Transmission Engineering Manager.

3 **Q. Are you sponsoring any exhibits in this case?**

4 A. Yes. I am sponsoring an exhibit consisting of 7 documents attached to my
5 direct testimony. Those 7 documents are:

- 6 ● Document No. JC-1 Cross Sectional View of 350 Feet Right-of-Way
- 7 ● Document No. JC-2 Cross Sectional View of 494 Feet Right-of-Way
- 8 ● Document No. JC-3 Cross Sectional View of 330 Feet Right-of-Way
- 9 ● Document No. JC-4 Cross Sectional View of 660 Feet Right-of-Way
- 10 ● Document No. JC-5 One Line Diagram for FGPP
- 11 ● Document No. JC-6 Geographical Map Showing the Locations of FGPP
12 and the Transmission Line Corridors Associated with the Project
- 13 ● Document No. JC-7 Summary of Required Transmission Facilities, Cost
14 and Schedule for the Fuel Diversity Expansion Plan with Coal

15 **Q. Are you sponsoring any sections in the Need Study document?**

16 Yes. I sponsor Section III. D. 2. Transmission Facilities – Cost, Construction
17 and Schedule. In addition, I sponsor Appendix I and co-sponsor Appendix O
18 of the Need Study document.

19 **Q. What is the purpose of your testimony?**

20 A. The purpose of my testimony is to describe the physical characteristics of the
21 transmission facilities required to interconnect and integrate, into the
22 transmission system, the two coal units at FPL's Glades Power Park (FGPP)
23 and other non-coal units contained in the 2012-2016 generation plan

1 associated with FPL's Fuel Diversity Expansion Plan with Coal.
2 Additionally, I discuss permitting requirements, engineering, construction,
3 schedule and estimated costs associated with these transmission facilities.

4
5 Secondly, I will also provide an overview of the facilities required to
6 interconnect and integrate the Expansion Plan without Coal into the
7 transmission system.

8
9 The technical requirements of the facilities needed to interconnect and
10 integrate the Fuel Diversity Expansion Plan with Coal and the Expansion Plan
11 without Coal into FPL's transmission system were developed by and provided
12 to me by Mr. Sanchez.

13
14 **DESCRIPTION OF TRANSMISSION FACILITIES REQUIRED FOR**
15 **THE FUEL DIVERSITY EXPANSION PLAN WITH COAL**

16
17 **Q. Please describe the transmission facilities required for the Fuel Diversity**
18 **Expansion Plan with Coal.**

19 A. The transmission facilities associated with the Fuel Diversity Expansion Plan
20 with Coal are described below:

- 21 1. The connection of FGPP 1 and 2 Generator Step Up (GSU) transformers
22 to the FGPP switchyard, and attendant bus equipment; (TF-1)
23 2. The FGPP switchyard; (TF-2)

- 1 3. The Hendry 500/230 kV Substation; (TF-3)
- 2 4. The two 500 kV transmission lines from the FGPP switchyard to the
- 3 Hendry Substation; (TF-4)
- 4 5. The looping in of the Andytown to Orange River 500 kV and the Alva to
- 5 Corbett 230 kV transmission lines into the Hendry substation; (TF-5)
- 6 6. A new 500 kV transmission circuit from the Hendry to Levee substations.
- 7 This transmission line will be constructed between Hendry and Andytown
- 8 substations and connected to an Andytown to Levee 500 kV line resulting
- 9 in a Hendry to Levee 500 kV transmission line; (TF-6)
- 10 7. The connection of South Florida CC unit GSU transformers to the
- 11 collector yard, including attendant bus equipment, the collector yard, and
- 12 the string buses from the collector yard to the South Florida 230 kV
- 13 substation; (TF-7)
- 14 8. The South Florida 230 kV substation; (TF-8)
- 15 9. The re-route of the Corbett-Green and the Corbett-Germantown 230 kV
- 16 lines from Corbett substation to South Florida substation; (TF-9) and
- 17 10. The circuit breaker and overhead ground wire upgrades required. (TF-10)
- 18 **Q. Please describe the physical characteristics of the facilities that connect**
- 19 **FGPP 1 and FGPP 2 GSU transformers to the FGPP switchyard, and**
- 20 **attendant bus equipment. (TF-1)**
- 21 A. The GSU transformers are located in close proximity to the generator. The
- 22 GSU transforms the output from the generator from a lower voltage to a
- 23 higher voltage so that the power can be transmitted to the load. From the high

1 voltage side of the GSU transformers string buses will extend and connect to
2 the FGPP switchyard.

3 **Q. Please describe the physical characteristics of the FGPP switchyard. (TF-**
4 **2)**

5 A. The FGPP switchyard will be located at the FGPP site. It will be a fenced
6 area approximately 600 by 800 feet that contains switches, circuit breakers,
7 buses and other electrical equipment. The FGPP switchyard will have a total
8 of six transmission terminals. Two of the terminals will be used to connect
9 the GSU transformers for FGPP 1 and 2. The GSU transformers associated
10 with FGPP 1 and 2 will be connected via string buses to the FGPP switchyard.
11 Another two terminals will be used to connect to equipment used for the start-
12 up power for FGPP 1 and 2 and the remaining two terminals are used for the
13 500 kV lines that will connect the FGPP switchyard and Hendry substation.

14 **Q. Please describe the physical characteristics of the proposed Hendry**
15 **substation. (TF-3)**

16 A. Hendry substation will be a fenced area approximately 800 by 1,200 feet that
17 contains switches, circuit breakers, buses, transformers and other electrical
18 equipment. Hendry substation will have a 500 kV section (the 500 kV
19 substation) and a 230 kV section (the 230 kV substation) connected via a
20 500/230 kV autotransformer. A total of five 500 kV and two 230 kV
21 transmission lines will connect to Hendry substation. Two 500 kV lines will
22 connect the Hendry substation to FGPP switchyard, two 500 kV lines will
23 connect Hendry substation to Orange River and Andytown substations and a

1 fifth 500 kV transmission line will connect Hendry substation to Levee
2 substation. The two 230 kV lines will connect Hendry substation to Alva and
3 Corbett substations.

4 **Q. Please describe the physical characteristics of the two proposed**
5 **transmission lines required between FGPP switchyard and Hendry**
6 **substation. (TF-4)**

7 A. Two 500 kV transmission lines will connect the FGPP switchyard and Hendry
8 substation. The distance between FGPP switchyard and Hendry substation is
9 estimated to be approximately 25 miles, depending on the final route of the
10 right-of-way for these transmission lines. These transmission lines will be
11 located within a proposed right-of-way that will be 350 feet in width. The
12 current plan is for these transmission lines to be constructed using H-frame
13 type steel structures. The centerline to centerline spacing of the structures will
14 be 144 feet. Structures will typically be spaced at approximately one quarter
15 mile intervals, but this spacing may vary depending on existing land features.
16 The typical structure will be approximately 125 feet in height. The
17 transmission line conductors will consist of a bundle of three aluminum
18 conductors per phase and will have a minimum clearance to ground of 35 feet.
19 These two lines will each have two overhead ground wires. One of these
20 overhead ground wires on each line will contain optical fibers that will be
21 used for line communications and line protection.

1 The physical characteristics of the typical structures, spacing, span length and
2 height, conductor configuration and ground clearance described above will be
3 used for all other 500 kV lines on this project. Document No. JC-1, Cross
4 Sectional View of 350 Feet Right-of-Way, provides a representative
5 illustration of the right-of-way that I describe above.

6 **Q. Please explain why the distance between structures may vary.**

7 A. The distance between structures can vary for a number of reasons. For
8 example, variations are often necessary in order to minimize impacts to
9 wetlands or other land features, to provide proper clearances over roads and
10 canals or other existing obstructions, or to reduce the height of structures
11 where shorter structures are required. If spans are consistently shorter than
12 anticipated, it would translate to more structures per mile and could have a
13 direct impact on the total cost of the project.

14 **Q. Please describe the physical characteristics of the proposed transmission**
15 **lines that constitute the looping of the Orange River to Andytown 500 kV**
16 **and the Alva to Corbett 230 kV transmission lines into the Hendry**
17 **substation. (TF-5)**

18 A. Two of the 500 kV transmission lines connecting to Hendry substation will
19 result from looping in the Andytown-Orange River 500 kV line. The distance
20 between Hendry substation and the Andytown-Orange River 500 kV right-of-
21 way is estimated to be approximately 24 miles, depending on the final route of
22 the right-of-way for these transmission lines. These 500 kV transmission lines
23 will be located within a proposed right-of-way that will be 494 feet in width

1 spanning from Hendry Substation to the point where this new corridor
2 intersects with the existing Andytown-Orange River transmission line right-
3 of-way. These two 500 kV transmission lines will be constructed in the same
4 manner with regard to structures, spacing, span length and height, conductor
5 configuration and ground clearance as the previously described 500 kV
6 transmission lines, except that the overhead ground wires will not contain
7 optical fibers. Document No. JC-2, Cross Sectional View of 494 Feet Right-
8 of-Way, provides a representative illustration of the right-of-way that I
9 describe above.

10

11 Additionally, the Alva to Corbett 230 kV line, which is in close proximity to
12 the proposed Hendry substation, will be looped into Hendry substation. The
13 structures used to loop the Alva to Corbett 230 kV transmission line will be
14 concrete poles. The typical structure will be approximately 85 to 100 feet
15 above ground and spaced approximately 300 to 600 feet apart. The
16 transmission line will have a single aluminum conductor per phase and will
17 have a minimum clearance to ground of 25 feet.

18 **Q. Please describe the physical characteristics of the proposed Hendry to**
19 **Levee 500 kV transmission line segment between Hendry and Andytown**
20 **500 kV substations that will connect to the Andytown to Levee 500 kV**
21 **transmission line. (TF-6)**

22 A. From Hendry substation this transmission line will be located within the same
23 494 feet wide proposed right-of-way with the same spacing and configuration

1 as the looped Andytown-Orange River line from Hendry substation to the
2 point where this corridor intersects with the existing Andytown-Orange River
3 right-of-way. From this point, the Hendry-Levee 500 kV line will be located
4 within the existing Andytown-Orange River right-of-way and continue to
5 Andytown substation. The distance between the points where the new
6 corridor intersects the existing Andytown-Orange River 500 kV right-of-way
7 to Andytown substation is estimated to be approximately 50 miles. There are
8 two basic configurations of the existing Andytown-Orange River 500 kV
9 right-of-way that this line segment will follow, a 330 feet and a 660 feet right-
10 of-way. Document Nos. JC-3, Cross Sectional View of 330 Feet Right-of-
11 Way, and JC-4, Cross Sectional View of 660 Feet Right-of-Way, show a
12 representative illustration of the right-of-ways that I describe above. This 500
13 kV transmission line will be constructed in the same manner as the previous
14 500 kV transmission lines that I discussed. One of the overhead ground wires
15 installed will contain optical fibers that will be used for line communications
16 and line protection.

17 **Q. Please summarize the transmission facilities required to interconnect and**
18 **integrate FGPP.**

19 A. The project will require the construction of the following:

- 20 ● Two string buses between the GSU transformers and FGPP switchyard;
- 21 ● One 500 kV switchyard (FGPP);
- 22 ● One 500/230 kV substation (Hendry);
- 23 ● Five 500 kV lines or line sections totaling 172 circuit miles in length; and

- 1 • Looping of the Alva-Corbett 230 kV line.

2

3 Document No. JC-5, One Line Diagram for FGPP, provides a one line
4 representation of the project with the distances between FGPP and the existing
5 FPL infrastructure.

6 **Q. Does the location of the FGPP site in relation to existing transmission**
7 **infrastructure have a bearing on the extent of 500 kV transmission line**
8 **construction required on this project?**

9 A. Yes. The location of the FGPP site does have a bearing on the extent of 500
10 kV transmission lines required for this project. The amount of transmission
11 line construction required is driven by the distance between the FGPP site and
12 existing transmission infrastructure. This is depicted in Document No. JC-6,
13 Geographical Map Showing the Locations of FGPP and the Transmission
14 Line Corridors Associated with the Project.

15 **Q. Please describe the physical characteristics of the facilities that connect**
16 **South Florida CC unit GSU transformers to the South Florida substation,**
17 **including the GSU transformers, attendant bus equipment, the collector**
18 **yard and the string buses that connect the collector yard with South**
19 **Florida substation. (TF-7)**

20 A. The GSU transformers are located in close proximity to the generators. From
21 the high voltage side of the GSU transformers, string buses will extend and
22 connect to the collector yard. From the collector yard, there will be string
23 buses that will connect to the South Florida 230 kV substation.

1 **Q. Please describe the physical characteristics of the South Florida 230 kV**
2 **substation. (TF-8)**

3 A. The South Florida 230 kV substation will be located adjacent to and
4 connected to the South Florida 500 kV substation. It will be located within a
5 fenced area approximately 800 by 900 feet that contains switches, circuit
6 breakers, buses and other electrical equipment. The 500 and 230 kV
7 substations will be connected via a 500/230 kV autotransformer. The 230 kV
8 substation will have a total of four transmission terminals. Two of the
9 terminals will be used to connect the string buses coming from the collector
10 buses of South Florida CC unit. The other two terminals will be used for the
11 230 kV lines that will connect South Florida substation to Green and
12 Germantown substations.

13 **Q. Please describe the physical characteristics of the re-route of the Corbett-**
14 **Green and the Corbett-Germantown 230 kV lines from Corbett**
15 **substation to South Florida substation. (TF-9)**

16 A. The Corbett-Green and Corbett-Germantown 230 kV lines, which are in close
17 proximity to South Florida substation, will be rerouted to terminate at South
18 Florida instead of Corbett substation. The structures used to reroute these
19 transmission lines will be concrete poles. The typical structure will be
20 approximately 85 to 100 feet above ground and spaced approximately 300 to
21 600 feet apart. The transmission line conductors will consist of a single
22 conductor per phase and will have a minimum clearance to ground of 25 feet

1 under maximum operating conditions. The structures will have one overhead
2 ground wire.

3 **Q. Please describe the physical characteristics of the circuit breaker and**
4 **overhead ground wire upgrades required for short circuit duty associated**
5 **with the addition of South Florida CC unit. (TF-10)**

6 A. As a result of the interconnection and integration of the South Florida CC unit
7 into the transmission system, the fault interruption capability of several 230
8 kV breakers will be exceeded and will require upgrading. In addition,
9 sections of overhead ground wire on various transmission lines will need to be
10 upgraded because their fault current carrying capacity will also be exceeded.

11

12 **DISCUSSION OF PHASES OF CONSTRUCTION SCHEDULE, COST**
13 **AND PERMITS REQUIRED FOR THE PROPOSED FACILITIES**

14

15 **Q. Please describe the approach FPL used in preparing the construction**
16 **schedule and cost estimates for the transmission facilities required to**
17 **interconnect and integrate FGPP.**

18 A. As stated in Mr. Silva's testimony, FPL plans to bring FGPP 1 and 2 into
19 service as soon as reasonably possible. FPL believes that the earliest possible
20 date that it can place the first FGPP unit into service is during the second half
21 of 2012, and the second unit during the latter half of 2013. In order to ensure
22 that these transmission facilities will be available to deliver electricity from
23 FGPP as soon as the units are available, FPL developed a transmission

1 facilities construction schedule sufficient to support an early in service date.
2 However, for the purpose of the economic analysis performed in support of
3 this filing, FPL used the in-service dates of June 2013 for FGPP 1 and June
4 2014 for FGPP 2. The cost estimates for the transmission facilities are also
5 based on these in-service dates.

6 **Q. Please describe the phases of construction for the facilities that connect**
7 **FGPP 1 and FGPP 2 GSU transformers to the FGPP switchyard, and**
8 **attendant bus equipment. (TF-1)**

9 A. The site will be prepared by clearing and removing any undesirable material
10 from the site. Fill material will then be hauled in, placed and compacted to
11 the required elevation. The next step will be to install the foundations
12 required to set the equipment. After the foundations have been installed, the
13 structural and electrical equipment portion of the project begins. This will
14 include the installation of the GSU transformers and attendant buses. This
15 will be followed by the installation of the protective relay equipment and
16 commissioning activities associated with placing equipment in-service.

17 **Q. What is the schedule for the construction of this portion of the project?**

18 A. Construction of this portion of the project is expected to begin once the Site
19 Certification Order is issued, the land rights have been secured, post-
20 certification reviews have been completed and all required federal permits
21 have been obtained. At this time, FPL anticipates that construction will begin
22 on or about September 2009 and be completed by November 2010. This

1 portion of the project is important since it will be required to provide power to
2 the plant during testing prior to commercial operation.

3 **Q. Please describe the costs associated with this portion of the project.**

4 A. The costs associated with this portion are as follows:

The connection of FGPP 1 and 2 Generator Step Up ("GSU") transformers to the FGPP switchyard, and attendant bus equipment; (TF-1)	
String buses	\$ 2,295,000
Total	\$ 2,295,000

5
6 **Q. Please describe the phases of construction for the FGPP switchyard. (TF-2)**

7
8 A. The site will be prepared by clearing and removing any undesirable material
9 from the site. Fill material will then be hauled in, placed and compacted to
10 the required elevation. This area will have a perimeter fence installed and the
11 relay vault will be constructed. The next step will be to install the foundations
12 required to set the equipment. After the foundations have been installed, the
13 structural and electrical equipment portion of the project begins. This will
14 include the installation of structures, switches, circuit breakers, buses and
15 other electrical equipment. This will be followed by the installation of the
16 protective relay equipment and commissioning activities associated with
17 placing equipment in-service.

18 **Q. What is the schedule for the construction of this portion of the project?**

19 A. Construction of the FGPP switchyard is expected to begin once the Site
20 Certification Order is issued, the land rights have been secured, post-
21 certification reviews have been completed and all required federal permits

1 have been obtained. At this time, FPL anticipates that construction will begin
 2 on or about September 2009 and be completed by November 2010. This
 3 portion of the project is important since it will also be required to provide
 4 power to the plant during testing prior to commercial operation.

5 **Q. Please describe the costs associated with this portion of the project.**

6 A. The costs associated with this portion are as follows:

The FGPP switchyard; (TF-2)	
Switchyard Construction	\$ 19,090,000
Total	\$ 19,090,000

7
 8 **Q. Please describe the phases of construction for the Hendry substation.**
 9 **(TF-3)**

10 A. The phases of construction for the Hendry Substation will be accomplished in
 11 the same manner as the FGPP switchyard.

12 **Q. What is the schedule for the construction of this portion of the project?**

13 A. Construction of the Hendry Substation is expected to begin once the Site
 14 Certification Order is issued, the land rights have been secured and all
 15 required permits have been obtained. FPL anticipates that construction will
 16 begin on or about January 2009 and be completed by November 2010. This
 17 portion of the project will be required to provide power to the plant during
 18 testing prior to commercial operation.

19 **Q. Please describe the costs associated with this portion of the project.**

20 A. The costs associated with this portion are as follows:

The Hendry 500/230 kV Substation; (TF-3)	
Site Acquisition	\$ 1,560,000
Substation Construction	\$ 54,475,000
Total	\$ 56,035,000

1

2 **Q. Please describe the phases of construction for the two 500 kV**
3 **transmission lines from FGPP switchyard to Hendry substation. (TF-4)**

4 A. The first step will be to clear the right-of-way of vegetation that might
5 interfere with the safe and reliable operation of the transmission lines. Then,
6 where roads are not available for access, new roads will need to be
7 constructed. Roads will be constructed from fill material and will not be
8 paved. Roads will provide a suitable driving surface that will be used for
9 access during construction, future patrol and maintenance of the transmission
10 lines. At structure locations, a structure pad will be constructed using the
11 same process as the access roads. After the roads and pads have been built,
12 foundations will be constructed at each structure location. Once foundations
13 are completed, tubular steel structures will be hauled to the site, assembled,
14 framed and erected on the foundations. Once the structures have been erected,
15 the conductors and overhead ground wires will be installed.

16 **Q. Where roads are constructed how will existing water flow be maintained?**

17 A. Water flow will be maintained by avoiding road construction in wetlands
18 areas wherever practicable. In addition, culverts or other drainage structures
19 will be installed under the road as required to maintain flow.

1 **Q. How will the location and size of culverts in the access roads ultimately be**
2 **determined?**

3 A. Engineering calculations will be performed to determine flow patterns,
4 drainage areas and ultimately the size and location of culverts using field
5 survey data, U.S. Geodetic surveys, aerial photographs and any other available
6 data.

7 **Q. What techniques will be used in order to minimize the potential for**
8 **erosion of roads in areas adjacent to wetlands during construction?**

9 A. Filtration devices such as fabric fences or straw bales will be used as required
10 in order to minimize the potential for soil erosion from roads in areas adjacent
11 to wetlands.

12 **Q. Where there is an existing road, how will access to the structures be**
13 **provided?**

14 A. The existing road will be upgraded as required to provide a suitable driving
15 surface. Then a finger road extending from the existing road to the structure
16 pad will be constructed.

17 **Q. What is the schedule for the construction of this portion of the project?**

18 A. Construction of the FGPP to Hendry 500 kV lines is expected to begin once
19 the Site Certification Order is issued, the land rights have been secured, post
20 certification reviews have been completed, and all required federal permits
21 have been obtained. FPL anticipates that construction will begin on or about
22 March 2009 and be completed by November 2010 for one of the 500 kV
23 transmission lines. This portion of the project will also be required to provide

1 power to the plant during testing prior to commercial operation. The second
 2 line is expected to be completed by November 2011, prior to commercial
 3 operation of FGPP 1.

4 **Q. Please describe the costs associated with this portion of the project.**

5 A. The costs associated with this portion are as follows:

The two 500 kV transmission lines from the FGPP switchyard to the Hendry Substation; (TF-4)	
Right of Way Acquisition	\$ 27,950,000
Transmission Line Construction	\$ 95,511,000
Total	\$ 123,461,000

6
 7 **Q. Please describe the phases of construction for the 500 kV transmission**
 8 **lines from Hendry Substation that connect to Orange River, Andytown**
 9 **and Levee substations and the looping of the Alva-Corbett 230 kV line.**
 10 **(TF-5) and (TF-6)**

11 A. The phases of construction for the 500 kV transmission lines from Hendry
 12 Substation that connect to Orange River, Andytown and Levee substations
 13 will be accomplished in the same manner as the lines between FGPP
 14 switchyard and Hendry substation. The phases of construction for the Alva to
 15 Corbett 230 kV loop into the Hendry substation will be similar to the methods
 16 previously described; the main difference is that the 230 kV loop will be
 17 constructed using concrete poles rather than steel poles with foundations.

18 **Q. What is the schedule for the construction of this portion of the project?**

19 A. Construction of the loop of the existing Alva-Corbett 230 kV transmission
 20 line into the Hendry substation is expected to begin once the Site Certification
 21 Order is issued, the land rights have been secured, and all required local, state

1 and federal permits for the substation and loop have been obtained. FPL
2 anticipates that construction for these lines will begin on or about May 2010
3 and be completed by November 2010. This portion of the project will be
4 required to provide power to the plant during testing prior to commercial
5 operation.

6
7 Construction of the lines from Hendry substation to the existing Andytown-
8 Orange River right-of-way is expected to begin once the Site Certification
9 Order is issued, the land rights have been secured, post certification reviews
10 have been completed, and all required federal permits have been obtained.
11 FPL anticipates that construction for these lines will begin on or about March
12 2009 and be completed by November 2011. This portion of the project will
13 be required prior to FGPP 1 entering commercial operation. The construction
14 of the Hendry to Levee 500 kV from Hendry to the intersection of the
15 Andytown to Orange River right-of-way will follow the same schedule as the
16 other two lines. However, from the intersection of the Andytown-Orange
17 River right-of-way to Andytown substation, construction will continue and
18 will be completed by November 2012. This portion of the project will be
19 required prior to FGPP 2 entering commercial operation.

20 **Q. Please describe the costs associated with this portion of the project.**

21 A. The costs associated with this portion are as follows:

The looping in of the Alva to Corbett 230 kV and the Andytown to Orange River 500 kV transmission lines into the Hendry substation; (TF-5)	
Right of Way Acquisition	\$ 43,686,000
Transmission Line Construction	\$ 128,149,000
Remote Station Construction	\$ 731,000
Total	\$ 172,566,000

1

A new 500 kV transmission circuit from the Hendry to Levee substations. This transmission line will be constructed between Hendry and Andytown substations and connected to an existing Andytown to Levee 500 kV line resulting in a Hendry to Levee 500 kV transmission line; (TF-6)	
Transmission Line Construction	\$ 96,020,000
Total	\$ 96,020,000

2

3 **Q. Please describe the costs associated with the facilities that connect South**
4 **Florida CC unit GSU transformer to the South Florida substation,**
5 **including GSU transformers, collector yard, attendant bus equipment**
6 **and the string buses that connect the collector yard with South Florida**
7 **substation. (TF-7).**

8 A. The costs associated with this portion would be as follows:

The connection of South Florida CC unit GSU transformers to the collector yard, including attendant bus equipment, the collector yard and the string buses from the collector yard to the South Florida 230 kV substation; (TF-7)	
Collector yard and string buses	\$ 6,900,000
Total	\$ 6,900,000

9

10 **Q. What would be the schedule for the construction of this portion of the**
11 **project?**

12 A. Construction for this portion of the project would begin on or about August
13 2013 and be completed by July 2014.

1 **Q. Please describe the costs associated with construction for the South**
 2 **Florida 230 kV substation. (TF-8)**

3 A. The costs associated with this portion would be as follows:

The South Florida 230 kV substation; (TF-8)	
Substation Construction	\$ 43,700,000
Total	\$ 43,700,000

4
 5 **Q. What would be the schedule for the construction of this portion of the**
 6 **project?**

7 A. Construction for this portion of the project would begin on or about May 2013
 8 and be completed by July 2014.

9 **Q. Please describe the costs associated with the re-route of the Corbett-**
 10 **Green and the Corbett-Germantown 230 kV lines from Corbett**
 11 **substation to South Florida substation. (TF-9)**

12 A. The costs associated with this portion would be as follows:

The re-route of the Corbett-Green and the Corbett-Germantown 230 kV lines from Corbett substation to South Florida substation; (TF-9)	
Transmission Line Construction	\$ 4,000,000
Total	\$ 4,000,000

13
 14 **Q. What would be the schedule for the construction of this portion of the**
 15 **project?**

16 A. Construction for this portion of the project would begin on or about August
 17 2013 and be completed by July 2014.

1 **Q. Please describe the costs associated with the circuit breaker and overhead**
 2 **ground wire upgrades required. (TF-10)**

3 A. The costs associated with this portion would be as follows:

The circuit breaker and overhead ground wire upgrades required; (TF-10)	
Substation Construction	\$ 2,700,000
Transmission Line Construction	\$ 1,100,000
Total	\$ 3,800,000

4
 5 **Q. What would be the schedule for the construction of this portion of the**
 6 **project?**

7 A. Construction for this portion of the project would begin on or about January
 8 2014 and be completed by April 2014.

9 **Q. Please summarize the cost and schedule for the required transmission**
 10 **facilities for the Fuel Diversity Expansion Plan with Coal?**

11 A. The total cost and schedule for the required transmission facilities for the Fuel
 12 Diversity Expansion Plan with Coal are shown on Document No. JC-7,
 13 Summary of Required Transmission Facilities for the Fuel Diversity
 14 Expansion Plan with Coal.

15 **Q. Do you believe that the estimated total cost associated with the**
 16 **transmission facilities required for the interconnection and integration of**
 17 **FGPP are reasonable?**

18 A. Yes. I believe that the estimated total cost of the transmission facilities are
 19 representative of what would be expected to interconnect and integrate the
 20 FGPP plant due to its remote location relative to FPL's existing transmission
 21 infrastructure.

1 In addition, to ensure the reasonableness of these estimated costs, FPL also
2 hired the services of a consultant, Cummins & Barnard, who performed an
3 independent detailed review of the installed cost estimate for interconnection
4 and integration of FGPP. In his testimony, Mr. William Damon of Cummins
5 & Barnard affirms that the estimates were found to be reasonable.

6

7

PERMIT REQUIREMENTS

8

9 **Q. What permits will be required for the transmission facilities associated**
10 **with this project and how long will it take to obtain these permits?**

11 A. All State of Florida, local government and state agency permits for
12 transmission lines associated with FGPP in new right-of-way, will be secured
13 through the FGPP Site Certification approval process under the Florida
14 Electrical Power Plant Siting Act (PPSA). However, if wetlands are impacted
15 as a result of the construction of the structure pads and access roads, FPL will
16 have to file for dredge and fill permits with the U.S. Army Corps of
17 Engineers. Any applicable federal, State of Florida, local government and
18 state agency permits and approvals required for the Hendry substation and
19 Alva-Corbett 230 kV loop into that substation will also be secured through the
20 appropriate governing agency. These non-PPSA permits may take up to 12 to
21 18 months to obtain.

1 FPL must also go through a formal consultation with the U.S. Fish and
2 Wildlife service and obtain a Biological Opinion to determine if
3 primary/secondary impacts to endangered species (e.g., Florida Panther) will
4 occur during or after construction. The U.S. Army Corps will not issue the
5 wetland dredge or fill permit without a Biological Opinion report from the
6 U.S. Fish and Wildlife Service. The Biological Opinion report from the U.S.
7 Fish and Wildlife Service may take from to 3-12 months to obtain.

8 **Q. What are the consequences of a delay in obtaining approval from the U.S.**
9 **Army Corps of Engineers for the dredge and fill permits associated with**
10 **the construction of pads and access roads?**

11 A. Any delay in issuing these permits will have a direct impact on the start of
12 construction. The installation of the structure pads and access roads is one of
13 the first activities to be completed. A delay of 30 days or less, should not
14 have a serious impact on the project, however a longer delay could impact the
15 completion date of the transmission line. If the construction of pads and roads
16 are not permitted, construction access would have to be provided via
17 temporary pads and access roads or by changing construction techniques or a
18 combination of the two. Typically, temporary access is provided through the
19 installation of matting or board roads which must be removed after
20 construction. Generally speaking, in addition to the cost of temporary access,
21 FPL can also expect to pay a premium for construction labor in this
22 circumstance. These costs would be somewhat mitigated by the savings of
23 not building the permanent structure pads and roads but depending on final

1 right-of-way alignment, FPL may experience an increase in the overall project
2 cost. In addition, any future benefit associated with operation and
3 maintenance activities of the transmission line would be lost if permanent
4 structure pads and roads are not constructed.

5
6 An alternative to permanent access would be constructing the line using
7 "road-less" construction techniques which would include using specialized
8 equipment and helicopters. Similar to temporary access, the increased cost of
9 using "road-less" construction techniques does not offset the savings of not
10 building permanent access in most situations. Therefore, construction costs
11 could increase without any corresponding future benefit.

12 **Q. What are the consequences of a delay in obtaining approval from U.S.**
13 **Army Corps of Engineers for the dredge and fill permits associated with**
14 **the construction of Hendry substation?**

15 A. If permits are required and they cannot be obtained within the allotted
16 timeframe, FPL would not be able to start construction of the substation as
17 scheduled. This could have an impact on the schedule to provide start up
18 power for FGPP.

19 **Q. What codes, standards, and industry guidelines will be used for the**
20 **design and construction of the transmission facilities?**

21 A. FPL's transmission facilities are designed to comply with all applicable codes,
22 guidelines and standards. The primary code used in the design of the
23 transmission line is the National Electrical Safety Code (NESC). The NESC

1 is an American National Standard Institute (ANSI) standard that covers
2 electrical clearances, loading and strength requirements including extreme
3 wind. There are other agencies and standard organizations that provide rules,
4 guidelines and conditions for particulars not specified by the NESC, such as:

- 5 • Occupational Safety & Health Administration Rules (OSHA), provides
6 requirements for safe minimum approach distances;
- 7 • American Society of Civil Engineers (ASCE) Manual 74, “Guidelines for
8 Electrical Transmission Line Structural Loading” and Standard 48-05,
9 “Design of Steel Transmission Pole Structures”;
- 10 • Federal Aviation Administration (FAA) Guidelines, covers requirements
11 in the vicinity of airports; and
- 12 • FPL Standards and Transmission Engineering Manual Documents.

13
14 These codes, guidelines and standards, discussed above, provide design
15 parameters and guidelines with the primary goal of protecting public safety.
16

17 **DISCUSSION OF DEVELOPMENT OF COST ESTIMATES AND THE**
18 **UNCERTAINTY ASSOCIATED WITH THESE ESTIMATES.**

19
20 **Q. How were the estimates for the transmission facilities related to the**
21 **substation portion of the project developed?**

22 **A.** The estimates were developed using FPL’s estimating processes, using current
23 quotes received for similar transformers and other electrical equipment, and

1 projected labor rates for 2007. These estimates were then escalated to the year
2 that the expense would be incurred.

3 **Q. What are the uncertainties associated with the estimates for the**
4 **transmission facilities related to the substation portion of the project?**

5 A. A major driver for the uncertainties associated with substation estimates is
6 associated with the costs for transformers and other major electrical
7 equipment. Although our current estimates are based on the most current
8 quotes for the type of transformer required, due to the limited number of
9 suppliers and high global demand for this type of equipment, pricing can not
10 be guaranteed until orders are actually placed. From 2005 to 2006, FPL
11 experienced increases in some cases as high as 28 percent. Future increases of
12 this magnitude would have a direct impact on total project costs.

13 **Q. How were the estimates for the transmission facilities related to the**
14 **transmission line portion of the project developed?**

15 A. For the 500 kV lines, a preliminary design was developed for the typical
16 tangent H-frame structure. Using the preliminary design weight of this
17 structure, FPL estimated the design weight of the other structures by
18 comparing to previous designs. A similar process was used to develop the
19 preliminary foundation designs. FPL then obtained non-binding quotes for
20 the major material components, such as fabricated steel, foundations
21 (including concrete and steel) and the conductor. For the remainder of the
22 materials, FPL used current pricing. FPL next obtained non-binding
23 preliminary quotes for the labor to construct the access roads and transmission

1 line. All of these cost components were assembled to develop the per mile
2 cost that was used in the estimates previously provided. All costs were
3 estimated in 2007 dollars and then escalated to year that the expense would be
4 incurred.

5

6 With regard to the estimates associated with the construction of the 230 kV
7 line and upgrades, these estimates were developed using FPL's estimating
8 processes, including projected labor rates for 2007. These costs were then
9 escalated to the year that the expense would be incurred.

10 **Q. What are the uncertainties associated with the transmission facilities**
11 **related to the transmission line portion of the project?**

12 A. The major drivers for the uncertainties associated with the transmission line
13 estimates are associated with the cost of steel and zinc that is required for
14 foundations, structures and hardware, the aluminum for the conductors and the
15 concrete for the foundations. Although FPL's current estimate is based on
16 current but non-binding quotes from vendors, the high global demand for
17 these commodities can cause large price fluctuations. Pricing cannot be
18 guaranteed until orders are placed. Although there are some indications that
19 prices may have leveled off, if FPL experiences the spikes that were seen in
20 2004 and 2005, further increases would have a direct impact on total project
21 cost.

1 The other large driver is the cost of labor associated with transmission line
2 construction. Transmission line construction is done by a limited number of
3 highly specialized workers and equipment. It is not uncommon for these
4 workers to travel from job to job in a region and sometimes nationwide. The
5 risk of price increases associated with transmission line construction labor will
6 be directly related to the regional or national demand for transmission line
7 construction services at the time the project is ready to be constructed. If
8 there is a high level of transmission line construction in the U.S. at the time
9 the project is scheduled, the labor costs would increase. Additionally, if a
10 natural disaster similar to the ones that occurred in 2004 and 2005 re-occur
11 during the construction time frames for this project, significant increases in
12 labor costs are possible because of the high demand for services during those
13 times. As an example, during the aftermath of Hurricane Wilma, FPL
14 experienced labor costs increases of approximately 40%. Such an increase
15 would have a direct impact on total project costs.

16 **Q. How were the estimates for the real estate portion of the project**
17 **developed?**

18 A. The estimates for the real estate component of the project address all real
19 estate acquisition costs for the project, including the estimated value of
20 property interests to be acquired and associated title, survey, appraisal, and
21 project management/administration expenses. These combined costs were
22 used to calculate an estimated cost per acre for the project. A review of local
23 market sales provided a range of land values dependent upon size, use and

1 location of the property. The estimated costs of title, survey, appraisal,
2 management/administration fees are based on experience in recent acquisition
3 projects.

4 **Q. What are the uncertainties associated with the estimates for the real**
5 **estate portion of the project?**

6 A. Real estate values are affected by numerous market influences which are not
7 always predictable. Uncertainty as to the willingness of property owners to
8 convey necessary property interests also contributes uncertainty as to total
9 acquisition costs. The current land uses in Glades and Hendry County are
10 dominated by agriculture. These uses involve citrus, sugar cane, ornamental
11 plant nurseries, and row crops, each being affected by various economic
12 influences.

13

14 **DESCRIPTION OF TRANSMISSION FACILITIES REQUIRED FOR**
15 **THE EXPANSION PLAN WITHOUT COAL**

16

17 **Q. Please describe the transmission facilities required for the Expansion**
18 **Plan without Coal.**

19 A. The only difference between the facilities required for the Expansion Plan
20 without Coal as compared to the Fuel Diversity Expansion Plan with Coal is
21 that in the Expansion Plan without Coal, FGPP would be combined cycle gas
22 fired units instead of coal units. The combined cycle units would require
23 additional GSU transformers and a collector yard that would then connect to

1 FGPP switchyard via two string buses. This arrangement would be similar to
2 the way South Florida CC unit is connected to the transmission system as
3 previously discussed.

4

5 These facilities include:

- 6 1. The connection of FGPP 1 and FGPP 2 CC GSU transformers to the
7 collector yard, including attendant bus equipment, the collector yard, and
8 the string buses from the collector yard to the FGPP switchyard, and
9 attendant bus equipment; (TFND-1)
- 10 2. The FGPP switchyard; (TFND-2)
- 11 3. The Hendry 500/230 kV Substation; (TFND-3)
- 12 4. The two 500 kV transmission lines from the FGPP switchyard to the
13 Hendry Substation; (TFND-4)
- 14 5. The looping in of the Andytown to Orange River 500 kV and the Alva to
15 Corbett 230 kV transmission lines into the Hendry substation; (TFND-5)
- 16 6. The creation of a new 500 kV transmission circuit spanning from the
17 Hendry to Levee substations. This transmission line will be constructed
18 between Hendry and Andytown substations and connected to an existing
19 Andytown to Levee 500 kV line resulting in a Hendry to Levee 500 kV
20 transmission line; (TFND-6)
- 21 7. The connection of South Florida CC unit GSU transformers to the
22 collector yard, including attendant bus equipment, the collector yard, and

1 the string buses from the collector yard to the South Florida 230 kV
2 substation; (TFND-7)

3 8. The South Florida 230 kV substation; (TFND-8)

4 9. The re-route of the Corbett-Green and the Corbett-Germantown 230 kV
5 lines from Corbett substation to South Florida substation; (TFND-9) and

6 10. The circuit breaker and overhead ground wire upgrades required. (TFND-
7 10)

8 **Q. What is the schedule for the construction of the facilities associated with**
9 **TFND-1?**

10 A. At this time, FPL anticipates that construction of this portion of the project
11 would begin on or about May 2012 and be completed by July 2013.

12 **Q. Please describe the costs associated with this portion of the project.**

13 A. The costs associated with this portion are as follows:

The connection of FGPP 1 and 2 CC unit GSU transformers to the collector yard, including attendant bus equipment, the collector yard and the string buses from the collector yard to the FGPP switchyard, and attendant bus equipment; (TFND-1)	
Substation Construction	\$ 20,100,000
Total	\$ 20,100,000

14
15 **Q. What is the schedule for the construction of the facilities associated with**
16 **TFND-2?**

17 A. At this time, FPL anticipates that construction of this portion of the project
18 would begin on or about May 2012 and be completed by July 2013.

19 **Q. Please describe the costs associated with this portion of the project.**

20 A. The costs associated with this portion are as follows:

The FGPP switchyard; (TFND-2)	
Switchyard Construction	\$ 24,000,000
Total	\$ 24,000,000

1

2 **Q. What is the schedule for the construction of the facilities associated with**
3 **TFND-3?**

4 A. At this time, FPL anticipates that construction of this portion of the project
5 would begin on or about September 2011 and be completed by July 2013.

6 **Q. Please describe the costs associated with this portion of the project.**

7 A. The costs associated with this portion are as follows:

The Hendry 500/230 kV Substation; (TFND-3)	
Site Acquisition	\$ 1,600,000
Substation Construction	\$ 60,000,000
Total	\$ 61,600,000

8

9 **Q. What is the schedule for the construction of the facilities associated with**
10 **TFND-4?**

11 A. Construction of the FGPP to Hendry 500 kV lines is expected to begin on or
12 about August 2011 and be completed by July 2013 for one of the 500 kV
13 transmission lines. The second line is expected to be completed by May 2014,
14 in time for the commercial operation of FGPP 1.

15 **Q. Please describe the costs associated with this portion of the project.**

16 A. The costs associated with this portion are as follows:

The two 500 kV transmission lines from the FGPP switchyard to the Hendry Substation; (TFND-4)	
Right of Way Acquisition	\$ 29,000,000
Transmission Line Construction	\$ 101,700,000
Total	\$ 130,700,000

1

2 **Q. What is the schedule for the construction of the facilities associated with**
 3 **TFND-5?**

4 A. Construction of the loop of the existing Alva-Corbett 230 kV transmission
 5 line is expected to begin on or about January 2013 and be completed by July
 6 2013. Construction of the lines from Hendry substation to the existing
 7 Andytown-Orange River right-of-way is expected to begin on or about August
 8 2011 and be completed by May 2014.

9 **Q. Please describe the costs associated with this portion of the project.**

10 A. The costs associated with this portion are as follows:

The looping in of the Alva to Corbett 230 kV and the Andytown to Orange River 500 kV transmission lines into the Hendry substation; (TFND-5)	
Right of Way Acquisition	\$ 45,400,000
Transmission Line Construction	\$ 137,400,000
Remote Station Construction	\$ 800,000
Total	\$ 183,600,000

11

12 **Q. What is the schedule for the construction of the facilities associated with**
 13 **TFND-6?**

14 A. Construction of the line from Hendry substation to the existing Andytown-
 15 Orange River right-of-way is expected to begin on or about August 2011 and
 16 be completed by May 2014. The construction of the Hendry to Levee 500 kV
 17 from Hendry to the intersection of the Andytown to Orange River right-of-

1 way will follow the same schedule as the other two lines. However, from the
 2 intersection of the Andytown-Orange River right-of-way to Andytown
 3 substation, construction will be completed by November 2015.

4 **Q. Please describe the costs associated with this portion of the project.**

5 A. The costs associated with this portion are as follows:

A new 500 kV transmission circuit from the Hendry to Levee substations. This transmission line will be constructed between Hendry and Andytown substations and connected to an existing Andytown to Levee 500 kV line resulting in a Hendry to Levee 500 kV transmission line; (TFND-6)	
Transmission Line Construction	\$ 100,100,000
Total	\$ 100,100,000

6
 7 **Q. Please describe the costs of the facilities associated with the connection of**
 8 **South Florida CC unit GSU transformers to the collector yard, including**
 9 **attendant bus equipment, the collector yard and the string buses from the**
 10 **collector yard to the South Florida 230 kV substation (TFND-7).**

11 A. The costs associated with this portion are as follows:

The connection of South Florida CC unit GSU transformers to the collector yard, including attendant bus equipment, the collector yard and the string buses from the collector yard to the South Florida 230 kV substation; (TFND-7)	
Substation Construction	\$ 6,100,000
Total	\$ 6,100,000

12
 13 **Q. What would be the schedule for the construction of this portion of the**
 14 **project?**

15 A. Construction for this portion of the project would begin on or about August
 16 2010 and be completed by July 2011.

1 **Q. Please describe the costs associated with the South Florida 230 kV**
 2 **substation (TFND-8).**

3 A. The costs associated with this portion are as follows:

The South Florida 230 kV substation; (TFND-8)	
Substation Construction	\$ 39,000,000
Total	\$ 39,000,000

4
 5 **Q. What would be the schedule for the construction of this portion of the**
 6 **project?**

7 A. Construction for this portion of the project would begin on or about May 2010
 8 and be completed by July 2011.

9 **Q. Please describe the costs associated with the re-route of the Corbett-**
 10 **Green and the Corbett-Germantown 230 kV lines from Corbett**
 11 **substation to South Florida substation (TFND-9).**

12 A. The costs associated with this portion are as follows:

The re-route of the Corbett-Green and the Corbett-Germantown 230 kV lines from Corbett substation to South Florida substation; (TFND-9)	
Transmission Line Construction	\$ 3,600,000
Total	\$ 3,600,000

13
 14 **Q. What would be the schedule for the construction of this portion of the**
 15 **project?**

16 A. Construction for this portion of the project would begin on or about August
 17 2010 and be completed by July 2011.

1 **Q. Please describe the costs associated with the circuit breaker and overhead**
 2 **ground wire upgrades required (TFND-10).**

3 A. The costs associated with this portion are as follows:

The circuit breaker and overhead ground wire upgrades required; (TFND-10)	
Substation Construction	\$ 2,400,000
Transmission Line Construction	\$ 1,000,000
Total	\$ 3,400,000

4
 5 **Q. What would be the schedule for the construction of this portion of the**
 6 **project?**

7 A. Construction for this portion of the project would begin on or about January
 8 2011 and be completed by April 2012.

9 **Q. Please summarize your testimony.**

10 A. My testimony provides a description of the physical characteristics, schedule
 11 and cost of the transmission facilities required to interconnect and integrate
 12 the Fuel Diversity Expansion Plan with Coal and the Expansion Plan without
 13 Coal into FPL's transmission system. Specifically, I discussed the
 14 transmission facilities required for FGPP, including:

- 15 • A 500 kV switchyard at FGPP
- 16 • A 500/230 kV substation at Hendry
- 17 • 172 circuit miles of 500 kV transmission lines including the looping of the
 18 Andytown-Orange River 500 kV line into Hendry substation
- 19 • The looping of the Alva-Corbett 230 kV line into Hendry substation

1 I discuss the phases of construction of each of the required portions of the
2 proposed facilities and the associated permits required.

3
4 The estimated total cost of the transmission facilities associated with FGPP is
5 \$469 million. This cost is representative of the remote location of FGPP
6 relative to the existing FPL transmission infrastructure that can support the
7 amount of generation at FGPP.

8
9 I discuss various uncertainties present at this time associated with the
10 transmission facilities. First, there is the potential for the inability to acquire
11 permits in a timely manner: for example, the U.S. Army Corps of Engineers
12 dredge and fill permits that are required for the construction of the roads, pads
13 and the Hendry substation. Secondly, the uncertainty associated with the cost
14 of materials such as steel, zinc and aluminum which are needed for the
15 construction of the required transmission facilities in significant quantities,
16 which commodities can vary according to world markets, and labor which
17 also can acutely increase under certain instances such as following hurricanes.
18 Finally, I discuss how real estate values are affected by numerous market
19 influences which are not always predictable and the uncertainty as to the
20 willingness of property owners to convey necessary property interests also
21 contributes uncertainty as to total acquisition costs.

22 **Q. Does this conclude your testimony?**

23 **A. Yes.**

In re: Florida Power & Light Company's)
 Petition to Determine Need for FPL Glades)
 Power Park Units 1 and 2 Electrical Power Plant)

Docket No: 070098-EI

ERRATA SHEET

DIRECT TESTIMONY OF JOSE COTO

<u>PAGE #</u>	<u>LINE #</u>	<u>CORRECTION</u>
3	11-12	Delete: Document No. JC-6 Geographical Map Showing the Locations of FGPP and the Transmission Line Corridors Associated with the Project.
11	12-14	Delete: This is depicted in Document No. JC-6, Geographical Map Showing the Locations of FGPP and the Transmission Line Corridors Associated with the Project.
NA	NA	Remove: Document No. JC-6, Page 1 of 1, in the exhibit section.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION
FLORIDA POWER & LIGHT COMPANY
DIRECT TESTIMONY OF GERARD YUPP
DOCKET NO. 07___ EI
JANUARY 29, 2007

Q. Please state your name and business address.

A. My name is Gerard J Yupp. My business address is 700 Universe Boulevard, Juno Beach, Florida 33408.

Q. By whom are you employed and what is your position?

A. I am employed by Florida Power & Light Company (FPL) as Director of Wholesale Operations in the Energy Marketing and Trading Division.

Q. Please describe your duties and responsibilities in that position.

A. I am responsible for managing the daily activities of the Wholesale Operations Group. Daily activities include natural gas and fuel oil procurement and fuel management among plants for FPL's oil and/or natural gas burning plants, coordination of plant outages with wholesale power needs, real-time power trading, short-term power trading, transmission procurement and scheduling. Longer-term initiatives include fuel planning and evaluating opportunities within the wholesale power markets based on forward market conditions, FPL's outage schedule, fuel prices and transmission availability.

1 **Q. Please describe your educational background and professional experience.**

2 A. I graduated from Drexel University with a Bachelor of Science Degree in
3 Electrical Engineering in 1989. I joined the Protection and Control Department
4 of FPL in 1989 as a Field Engineer and worked in the area of relay engineering.
5 While employed by FPL, I earned a Master of Business Administration degree
6 from Florida Atlantic University in 1994. In May of 1995, I joined Cytex
7 Industries as a plant electrical engineer where I worked until October of 1996.
8 At that time, I rejoined FPL as a real-time power trader in the Energy Marketing
9 and Trading Division. Since rejoining FPL in 1996, I have moved from real-
10 time trading to short-term power trading, power trading manager and assumed
11 my current position in December, 2004.

12 **Q. Are you sponsoring any sections of the Need Study document?**

13 A. Yes. I am sponsoring Sections V.A.2.a., V.A.2.b. , V.A.2.c. (Parts i, ii, v and vi)
14 and V.A.4.a.ii and I co-sponsor Appendix E of the Need Study.

15 **Q. What is the purpose of your testimony?**

16 A. The purpose of my testimony is to present and explain: (1) the benefits of fuel
17 diversity in FPL's system resulting from the addition of two 980 MW solid fuel
18 units, including the benefits of on-site fuel inventory; (2) the inherent uncertainty
19 in oil and natural gas price forecasts which necessitates the use of scenario
20 analysis in the long-term economic evaluation of FPL Glades Power Park
21 (FGPP); (3) the methodology for the multiple oil and natural gas price forecasts
22 used by Dr. Sim in FPL's economic evaluation of FGPP; (4) the projected price
23 differential between the delivered price of natural gas to the FPL system and the

1 delivered price of solid fuel (coal and petroleum coke) to FGPP; and (5) the
2 estimated costs of building and operating fuel inventory capability for a 1,960
3 MW gas fired generating plant that would be equivalent to the 60-day inventory
4 capability of FGPP.

5 **Q. What are the benefits of maintaining fuel diversity in FPL's system?**

6 A. The primary benefits of maintaining fuel diversity are greater system reliability
7 and reduced fuel price volatility. An electric system that relies on a single fuel to
8 generate all the electricity needed to meet its customers' demand, all else being
9 equal, is less reliable than a system that uses a more balanced, fuel-diverse
10 generation portfolio. In addition, greater fuel diversity mitigates the impact of
11 sudden swings in the price of any one fuel, a phenomenon that has characterized
12 the oil and natural gas market over the last several years.

13 **Q. Please explain how fuel diversity enhances system reliability.**

14 A. An electric system that relies exclusively on one fuel is more susceptible to
15 events that cause delays or interruptions in the production and delivery of that
16 fuel. For example, in 2005 a significant number of natural gas production
17 facilities in the Gulf of Mexico were shutdown as a result of hurricanes. FPL
18 was forced to manage its system fuel requirements with much lower than normal
19 natural gas volumes. Although these supply disruptions presented many
20 challenges to FPL in the area of fuel management, FPL continued to produce
21 sufficient energy to meet its customers' demand for electricity. In part, this was
22 attributable to FPL's fuel-diverse system (in 2005: 42% natural gas, 17% fuel
23 oil, 19% nuclear, 18% coal, and 4% from other sources). Because FPL's system

1 offers a significant amount of flexibility through its diverse fuel mix and storage
2 capability, FPL was able to continue to meet its customers' demand for
3 electricity with alternate fuel sources until natural gas production was restored.
4 Had FPL's system relied to a substantially greater extent on natural gas to
5 produce electricity, there would have been a greater risk of failing to meet
6 customers' requirements.

7 **Q. Does FPL believe that future additions of natural gas-fired generation will**
8 **require changes to the current natural gas infrastructure serving Florida?**

9 A. Yes. The existing natural gas pipeline infrastructure into peninsular Florida is
10 comprised of two pipelines from the Gulf Coast region. While this infrastructure
11 has provided a high level of reliability over the years, the demands on both
12 pipelines have continued to grow. In fact, by mid-2009, these pipelines will be
13 fully subscribed. Therefore, the addition of incremental natural gas-fired
14 generation will require an expansion of one or both pipelines into Florida. Even
15 with expansion of the existing pipelines to meet additional demand, the need to
16 consider alternatives that will help promote the diversity of natural gas supply
17 will become imperative. As described above, natural gas production
18 curtailments as a result of 2005 hurricanes, limited the amount of natural gas
19 available to Florida for a period of time. Simply expanding the existing
20 infrastructure will not help reduce this vulnerability. Therefore, as more natural
21 gas-fueled generation increases demand, the need to consider alternatives to
22 maintain reliability will also become imperative. These alternatives could
23 include the addition of a new interstate pipeline, additional underground natural

1 gas storage, on-site Liquefied Natural Gas (LNG) storage facilities, and
2 identifying alternate supply sources, including access to new producing regions
3 as well as the addition of LNG supply. LNG imports are projected to increase to
4 meet U.S. natural gas demand growth from approximately 1.6 BCF per day in
5 2006 to approximately 14.3 BCF per day by 2020. By 2020, LNG supply is
6 projected to account for approximately 20% of total U.S. natural gas supply.
7 Although LNG supply is projected to play an essential role in helping meet U.S.
8 natural gas demand growth, it is important to note that as LNG's percentage of
9 total U.S. natural gas supply increases, the risks associated with foreign supply
10 fuel sources will become more prevalent in the overall U.S. natural gas picture.
11 FPL has recognized the need to implement alternative strategies even in today's
12 environment. In an effort to create supply diversity and help strengthen
13 reliability, FPL recently contracted for additional natural gas storage and firm
14 transportation on a new pipeline that will bring on-shore natural gas supply from
15 East Texas into the Mobile Bay area in the Gulf of Mexico. While both projects
16 will help strengthen reliability by helping mitigate FPL's exposure to supply
17 disruptions, the new pipeline will also provide long-term supply diversity. The
18 cost of implementing these strategies will vary depending on the type of
19 alternative being considered. However, it is important to recognize that this
20 investment will have to be made in order to maintain today's level of natural gas
21 reliability in the future as demand for natural gas grows.

1 **Q. Please explain how fuel diversity reduces price volatility.**

2 A. Fuel diversity helps to mitigate the impact of price increases in one or two fuels
3 on the total system cost of fuel. Natural gas and oil have experienced extreme
4 price increases over the past several years. As indicated in Mr. Seth Schwartz's
5 testimony, oil and natural gas prices are historically much more volatile than
6 coal prices. The increase in natural gas prices since 1992 has been three times
7 the increase in coal prices over the same period (and up to nine times the
8 increase at the peak of natural gas prices in 2005). To the extent that multiple
9 fuels are used to produce electricity, the impact of price increases in any one fuel
10 is lessened when that particular fuel does not make up a significant percentage of
11 the total fuel mix. Stated another way, a more balanced fuel portfolio will result
12 in less volatile total fuel costs. Although it is impossible to predict future fuel
13 prices with certainty, based on current fuel price forecasts, the exclusive addition
14 of natural gas-fueled generation in the future would likely result in more volatile
15 and higher fuel costs over time.

16 **Q. Does the addition of FGPP with on-site fuel inventory enhance the**
17 **reliability of the FPL system compared with a natural gas-fired plant?**

18 A. Yes. FGPP will be able to store up to 60 days of solid fuel (coal and petroleum
19 coke) at the plant site. This equates to approximately 1,000,000 tons or
20 24,640,000 MMBtu of coal and petroleum coke available for consumption
21 regardless if FPL were to experience a curtailment in the solid fuel supply chain
22 for example, as a result of rail transportation disruption, labor disputes or
23 hurricanes. The capital cost and corresponding operation and maintenance

1 expenses, and working capital for this coal and petroleum coke storage
2 infrastructure is included in the economic evaluation of FGPP. In comparison, a
3 natural gas-fired plant will generally have three days of back-up fuel oil storage
4 on-site. Therefore, a natural gas-fired plant is more susceptible to interruptions
5 from fuel supply problems such as supply or pipeline curtailments.

6 **Q. Please identify the key factors that contribute to uncertainty in forecasting**
7 **the price of oil and natural gas.**

8 A. Projections for future prices of oil and natural gas are inherently uncertain due to
9 a significant number of unpredictable and uncontrollable drivers that influence
10 the short- and long-term price of oil and natural gas. These drivers include: (1)
11 current and projected worldwide demand for crude oil and petroleum products;
12 (2) current and projected worldwide refinery capacity/production; (3) expected
13 worldwide economic growth; (4) non-OPEC production and expected growth in
14 non-OPEC production; (5) OPEC production and the availability of spare OPEC
15 production capacity and the assumed growth in spare OPEC production
16 capacity; (6) the geopolitics of the Middle East, West Africa, the Former Soviet
17 Union, Venezuela, etc., as well as, the uncertainty and impact upon worldwide
18 energy consumption related to U. S. and worldwide environmental legislation,
19 politics, etc.; (7) current and projected North American natural gas demand; (8)
20 current and projected U. S., Canadian and Mexican natural gas production; and
21 (9) the worldwide supply and demand for LNG.

1 **Q. Why has FPL developed multiple oil and natural gas price forecasts to**
2 **support the economic evaluation of FGPP and the Plan without Coal?**

3 A. In the economic evaluation for FGPP, a solid fuel burning plant, the Plan
4 without Coal was based on units which burned natural gas. In this economic
5 evaluation, variations in natural gas price forecasts would impact the differential
6 between natural gas and solid fuel prices and therefore impact the potential fuel
7 savings from FGPP compared with the Plan without Coal. The inherent
8 uncertainty and unpredictability in the factors that affect natural gas prices today,
9 tomorrow, and in the future life of FGPP, clearly underscores the need to
10 develop a set of plausible oil and natural gas price scenarios that will bound the
11 reasonable set of long-term price outcomes for economic evaluation purposes.

12
13 Accordingly, to support the economic valuation of FGPP and the Plan without
14 Coal, FPL developed several fuel price forecasts. These forecasts are referred to
15 as: the Medium, Low, High and Shocked Medium price forecasts, all of which
16 are described in detail below.

17 **Q. Did FPL develop several oil and natural gas price forecasts to support the**
18 **economic evaluation in FPL's most recent Need Determination for the West**
19 **County Energy Center (WCEC)?**

20 A. No. In FPL's most recent Need Determination filing for WCEC, the primary
21 fuel for all of the alternate projects evaluated, as well as for FPL's self-build
22 project (WCEC), was natural gas. Accordingly, the economic evaluation of all
23 projects assumed the same natural gas price forecast using the same forecast

1 methodology in the Medium price forecast which is described in detail below.
2 Variations in natural gas price forecasts would therefore impact each alternative
3 and FPL's self-build project equally.

4 **Q. What is the methodology for the development of FPL's Medium price**
5 **forecast for oil and natural gas?**

6 A. FPL's Medium price forecast methodology, used in FPL's economic evaluation
7 of FGPP and alternative expansion plan, is consistent for oil and natural gas. For
8 oil and natural gas commodity prices, FPL's Medium price forecast applies the
9 following methodology: (1) for 2006 through 2008, the methodology used the
10 October 3, 2006 forward curve for New York Harbor one % sulfur heavy oil, U.
11 S. Gulf Coast one % sulfur heavy oil and Henry Hub natural gas commodity
12 prices; (2) for the next two years (2009 and 2010), FPL used a 50/50 blend of the
13 October 3, 2006 forward curve and monthly projections from The PIRA Energy;
14 (3) for the 2011 through 2020 period, FPL used the annual projections from the
15 PIRA Energy Group; and (4) for the period beyond 2020, recognizing that prices
16 cannot increase indefinitely and that significantly high prices have created, and
17 will continue to create, technological and economic opportunities for commodity
18 substitution in the energy markets, FPL applied the annual rate of increase in the
19 delivered price of solid fuel to the commodity cost of oil and natural gas. In
20 addition to the development of commodity prices, price forecasts also were
21 prepared for oil and natural gas transportation costs. The addition of commodity
22 and transportation projections resulted in delivered price forecasts. These

1 delivered price forecasts were used in the economic evaluation of FGPP and the
2 Plan without Coal.

3 **Q. What is the methodology for the development of the alternative oil and**
4 **natural gas price forecasts used in the economic evaluation of FGPP and**
5 **the Plan without Coal?**

6 A. The development of FPL's Low and High price forecasts for oil, natural gas,
7 coal, and petroleum coke prices were based upon the historical relationship of
8 prices realized by FPL's customers when compared to the average for the same
9 2000 through 2005 timeframe. For example, the 2000 through 2005 average
10 natural gas price delivered to FPL's system was \$6.45/MMBtu. The high price
11 range was \$9.34/MMBtu or 145% of the average and the low price range was
12 \$4.20/MMBtu or 65% of the average. These factors were multiplied by the
13 monthly Medium price forecast to determine the Low and High price for each
14 commodity for the duration of the forecast period. This same process was
15 applied to oil, coal and petroleum coke consistently. FPL developed these
16 forecasts to account for the uncertainty that exists within each commodity as
17 well as across commodities. These forecasts align with FPL's actual price
18 variability realized during the 2000 to 2005 period, thus ensuring that the
19 analyses of the two resource plans will reflect a range of reasonable forecast
20 outcomes.

21
22 The development of the Shocked Medium (Shocked) price forecast for oil and
23 natural gas was based on the same methodology as described above however;

1 the increase was applied to only the oil and natural gas prices and is consistently
2 applied through 2016. In 2017, FPL averaged the Medium price forecast with
3 the Shocked price forecast. From 2018 forward, oil and natural gas prices are
4 the same as prices in the Medium price forecast. FPL developed the Shocked
5 price forecast as a sensitivity to show the impact of what a significant price
6 increase in oil and natural gas will have on the value of adding FGPP to FPL's
7 portfolio of assets.

8 **Q. Are FPL's Medium, Low, High, and Shocked price forecasts for oil and**
9 **natural gas prices reasonable and necessary for the economic evaluation of**
10 **FGPP and the Plan without Coal?**

11 A. Yes. FPL's long-term oil and natural gas price forecasts are reasonable and
12 necessary for the economic evaluation of FGPP and the Plan without Coal.
13 FPL's fuel price forecasts identify a reasonable set of forecast outcomes based
14 on an actual historical range of prices realized by FPL's customers during the
15 2000 through 2005 period, a period of time that experienced high variability
16 among commodity prices, unprecedented price volatility on a domestic and
17 worldwide basis, and a period of low and high price differentials between
18 commodities.

19 **Q. Have you provided FPL's forecasts for the price of oil and natural gas?**

20 A. Yes. FPL's forecasts for the price of oil and natural gas are provided in
21 Appendix E of the Need Study document.

1 **Q. What is the projected price differential between the delivered price of**
2 **natural gas to the FPL system and the delivered price of solid fuel to FGPP?**

3 A. The projected price differential between the delivered price of natural gas to the
4 FPL system and the delivered price of solid fuel to FGPP is a major driver in the
5 economic evaluation of FGPP and the Plan without Coal. The four delivered
6 price forecasts for natural gas to the FPL system, as shown in Appendix E of the
7 Need Study document less the corresponding forecasts for the delivered price of
8 solid fuel to FGPP, as discussed in Mr. Schwartz's testimony, result in four
9 projected price differential forecasts between natural gas and solid fuel. These
10 price differential forecasts are shown in Appendix E of the Need Study
11 document. The economic evaluation of FGPP and the Plan without Coal
12 provides a range of potential cost outcomes given the potential price differential
13 scenarios. Although periods of lower natural gas prices will reduce the fuel cost
14 benefits to FPL's customers specifically from the addition of FGPP, periods of
15 lower gas prices will at the same time benefit FPL's customers due to the
16 significant level of natural gas generation in the FPL system.

17 **Q. Will future environmental regulations be a key determinant of the price**
18 **differential between natural gas and solid fuel?**

19 A. Yes. Future environmental regulations will be a key determinant of the price
20 differential between natural gas and solid fuel. As varying degrees of
21 environmental regulations impact the demand for natural gas and solid fuel, the
22 price differential between the fuels will be impacted. While it is difficult to
23 quantify how environmental regulations will impact this price differential, as

1 there are many variables to consider, certain intuitive assumptions can be made
2 to help better define the trend of this differential under varying degrees of
3 environmental regulation. In particular, if future environmental regulations were
4 to impose high compliance costs on solid fuel generating plants as opposed to
5 natural gas-fueled plants, the demand for natural gas would most likely increase
6 as natural gas-fueled generation would become preferable from an economic
7 standpoint. Conversely, in this scenario, the demand for solid fuel would likely
8 decrease. In general, an increase in demand for natural gas and decrease in
9 demand for solid fuel should result in a widening of the price differential
10 between natural gas and solid fuel. Therefore, although possible, we would not
11 expect to see a narrowing of the price differential between natural gas and solid
12 fuel as environmental compliance costs on solid fuel generation increase.

13 **Q. Has FPL estimated the cost of building and operating fuel inventory**
14 **capability for a 1,960 MW gas-fired generating plant that would be**
15 **equivalent to the 60-day inventory capability of FGPP?**

16 A. Yes. FPL estimated the cost of providing equivalent fuel inventory capability
17 using LNG and light fuel oil. FPL did not consider on-site natural gas storage
18 mainly due to the lack of economically viable geological formations to develop
19 natural gas storage in Florida. The only way to replicate this type of reliability
20 for natural gas would be to build a comparable on-site LNG storage facility
21 which would include liquefaction, storage and regasification. The Cumulative
22 Present Value of Revenue Requirements (CPVRR) to build, operate and
23 maintain this type of comparable LNG storage facility, including working

1 capital, would be approximately \$1.42 billion. Another on-site storage
2 alternative is to build, operate and maintain light oil storage and gain air
3 permitting approval from the Department of Energy (DOE) to burn light oil
4 beyond 500 hours per year. The CPVRR to build, operate and maintain this
5 light oil infrastructure, including working capital, would be approximately \$0.41
6 billion for a 3.7 million barrel tank farm, which would consist of 8-500,000
7 barrel tanks. Furthermore, assuming inventory turnover once per year with an
8 additional light oil cost of approximately \$6.00 per MMBtu higher than that of
9 natural gas, the total CPVRR for comparable light oil storage would be \$1.50
10 billion compared to a Plan without Coal.

11 **Q. Will FGPP reduce FPL's reliance on natural gas and fuel oil for electric
12 generation?**

13 A. Yes. FGPP will greatly reduce FPL's reliance on natural gas and fuel oil
14 compared to the Plan without Coal. The operation of FGPP will displace
15 approximately 100 BCF of natural gas consumption per year. Stated another
16 way, during its first 20 years of operation, FGPP will displace and prevent the
17 need for the consumption of as much natural gas as FPL's system consumed in
18 the six year period from 2001 through 2006.

19 **Q. Please summarize your testimony.**

20 A. Maintaining fuel diversity in FPL's generation portfolio will enhance reliability
21 and reduce fuel price volatility. First, a fuel-diverse system is more reliable than
22 one that is dependent on a single fuel source. As described in this testimony, a
23 system that maintains a balanced fuel portfolio is able to withstand delays or

1 interruptions in the delivery of any one particular fuel, as evidenced by FPL's
2 ability to withstand severe natural gas production curtailments during the 2005
3 hurricane season. Furthermore, FPL will be able to store up to 60 days of solid
4 fuel at the plant site, an option that a traditional analysis of a natural gas-fired
5 plant does not include. Second, a fuel-diverse system will help reduce fuel price
6 volatility as the susceptibility to severe price swings in any one fuel type is
7 mitigated in a more balanced fuel portfolio.

8
9 FPL developed multiple oil and natural gas price forecasts to address the
10 variability among fuels over time in the economic evaluation of FGPP because
11 projections for future prices of oil and natural gas are inherently uncertain due to
12 a significant number of unpredictable and uncontrollable drivers that influence
13 the short and long-term price of oil and natural gas. FPL's multiple oil and
14 natural gas price scenarios define a reasonable set of long-term price outcomes
15 for economic evaluation purposes.

16 **Q. Does this conclude your testimony?**

17 **A. Yes.**

1 CHAIRMAN EDGAR: Okay. It is approximately 1:00
2 o'clock. We will come back -- I hate to have short lunches
3 because there's so little opportunities for everybody, but
4 30 minutes? Do you want to do 30 minutes to keep things
5 moving?

6 Mr. Guest, it is your witness.

7 MR. GUEST: I think our next witness is going to be
8 Richard Furman. I think we are going to have to just let
9 Mr. Plunkett go back home for a second time here, unless we
10 can -- I know you can't control that. We have had, as I said
11 earlier, we had representation we were going to have about
12 20 minutes of cross from the staff. We had a relatively short
13 cross as you saw, that would have landed us around
14 11:00 o'clock, which would have been enough time to do the
15 cross-examination of Mr. Plunkett. I don't see a reasonable
16 possibility of them getting done, and so I think it might be --

17 CHAIRMAN EDGAR: Hang on. Excuse me just a moment.

18 Ms. Brubaker, does the staff, excuse me, have
19 questions for Witness Plunkett?

20 MS. BRUBAKER: In the interest of moving time along,
21 we are happy to waive any questions for Mr. Plunkett.

22 CHAIRMAN EDGAR: Mr. Anderson.

23 MR. ANDERSON: We have a short cross-exam.

24 CHAIRMAN EDGAR: Mr. Beck.

25 MR. BECK: (Indicating no.)

1 CHAIRMAN EDGAR: Mr. Krasowski.

2 MR. KRASOWSKI: Yes, I have quite a few questions for
3 Mr. Plunkett. A lot of my evidence is based on some of his
4 comments, the whole DSM issue.

5 CHAIRMAN EDGAR: I understand. This is what I would
6 suggest that we do. Commissioners, can you do about
7 30 minutes? Let's take 30 minutes for a very fast lunch. We
8 don't want anybody passing out this afternoon from low blood
9 sugar, and we will come back at about 1:35 by the clock on the
10 wall, and I will try to keep to that myself.

11 And before we all step out in different directions,
12 we're going to break now, but let's gather for just a few
13 minutes and talk schedules. And so we are on lunch break.

14 (Transcript continues in sequence with Volume 10.)

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF FLORIDA)

: CERTIFICATE OF REPORTER

COUNTY OF LEON)

I, JANE FAUROT, RPR, Chief, Hearing Reporter Services Section, FPSC Division of Commission Clerk, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorney or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 27th day of April, 2007.



JANE FAUROT, RPR
Official FPSC Hearings Reporter
FPSC Division of Commission Clerk
(850) 413-6732